

UNITED STATES DEPARTMENT OF ENERGY

ELECTRICITY ADVISORY COMMITTEE MEETING

Washington, D.C.

Monday, October 15, 2012

1 PARTICIPANTS:
2 EAC:
3 RICHARD COWART, Chair
4 Regulatory Assistance Project
5 WILLIAM BALL
6 Southern Company
7 LINDA BLAIR
8 RICK BOWEN
9 MERWIN BROWN
10 California Institute for Energy and
11 Environment
12 PAUL CENTOLELLA
13 Public Utilities Commission of Ohio
14 ROBERT CURRY
15 New York State Public Service Commission
16 CLARK GELLINGS
17 DIAN GRUENEICH
18 MICHAEL HEYECK
19 American Electric Power
20 PAUL HUDSON
21 SUSAN KELLY
22 American Public Power Association
23 BARRY LAWSON
24 National Rural Electric Cooperative
25 Association
26 RALPH MASIELLO
27 KEMA
28 DENNIS MCGINN

1 PARTICIPANTS (CONT'D):

2 DAVID MEYER
Designated Federal Officer

3

4 DAVID NEVIUS
North American Electric Reliability
Corporation

5

6 CHRIS PETERS

7

8 SONNY POPOWSKY

9

10 WANDA REDER
S&C Electric Company

11

12 PHYLLIS REHA
Minnesota Public Utilities Commission

13

14 BRAD ROBERTS
Electricity Storage Association

15

16 MATT ROSENBAUM

17

18 TOM SLOAN
Kansas House of Representatives

19

20 REBECCA WAGNER

21

22 GORDEN VAN WELIE
Independent System Operator of New England

23

24 MIKE WEEDALL
Bonneville Energy Administration

25

26 USDOE:

27

28 PATRICIA HOFFMAN
Assistant Secretary for Electricity Delivery
And Energy Reliability

29

30 LAUREN AZAR
Senior Advisor to the Secretary

1 PARTICIPANTS (CONT'D):

2 ANJAN BOSE
3 Senior Advisor to the Undersecretary

4 JAY CASPARY

5 Other Attendees:

6 ROBIN PODMORE
7 IncSys

8 EUGENE LITVINOV
9 ISO-New England

10 PETAR RISTANOVIC
11 California ISO

12 TOM O'BRIEN
13 PJM

14 BILL PARKS

15 ELLIOT ROSEMAN

16 CHRIS SHELTON

17

18 * * * * *

19

20

21

22

1 P R O C E E D I N G S

2 (1:56 p.m.)

3 MR. COWART: Okay, everybody, I think we
4 should begin.

5 Good afternoon. This is Richard Cowart,
6 Chair of the EAC.

7 And, as always in these meetings, we
8 make it clear from the beginning that the sessions
9 are public. A transcript is being prepared, and
10 for that reason it's important when people are
11 speaking that when you want to be recognized and
12 speak you should stick up your card, and we'll
13 call on you and try to keep it in order.

14 And also, for any members of the public
15 here, there is a registration that you can sign up
16 for the opportunity to address the Committee
17 tomorrow afternoon.

18 Are there any questions about that
19 procedure or additions that we should make?

20 MR. MEYER: A reminder for the --
21 because we are having a transcript made, when you
22 do offer comments or participate in the

1 discussion, identify yourselves, please.

2 This is David Meyer from the Department
3 of Energy.

4 (Laughter)

5 MR. COWART: That's known as a good
6 save, David. We have the great good fortune to
7 have some new members with us today. Whenever I
8 look at the Committee list, I have to admit that
9 I'm really perpetually pleased at the quality of
10 the people and the amount of expertise that the
11 Department has been able to attract to this
12 Committee, and that tradition continues with the
13 addition of some new folks today.

14 And so, I guess I would just like to
15 give them an opportunity to identify themselves
16 and say a little bit about who they are and their
17 backgrounds. I don't know where everybody is
18 sitting, but we have Paul Hudson, Linda Blair,
19 Dennis McGinn, Chris Shelton and Christopher
20 Peters here.

21 So -- and I think if we start down here,
22 we might -- it might work.

1 MS. BLAIR: Good afternoon. Thank you.
2 I'm Linda Blair wit ITC Holdings Corp. Thank you
3 so much for the opportunity to participate and
4 join the Electricity Advisory Committee. I'm
5 pleased to be here today.

6 For those of you that are not familiar
7 with who ITC is, we are the ninth largest
8 transmission owning entity in the United States.
9 We are the only truly independent transmission
10 company. We have absolutely no affiliation to any
11 market participant. And our assets sort of span
12 across the Midwest, throughout the states of
13 Michigan, Iowa, southern Minnesota, Illinois, as
14 well as development projects in Kansas and
15 Oklahoma, as well as a pending transaction to
16 acquire the high voltage transmission assets of
17 Entergy Corporation. So we are a significantly
18 large player in the transmission space.

19 And I really welcome and appreciate the
20 opportunity to be here today.

21 MR. MCGINN: Hi. I'm Denny McGinn, a
22 recovering sailor, having served 35 years in the

1 U.S. Navy. I'm the President of the American
2 Council on Renewable Energy. ACORE's mission is
3 to help build a more secure and prosperous America
4 with clean, renewable energy.

5 Prior to ACORE, I've had a variety of
6 jobs in the private sector since retiring from the
7 Navy, including five years with Battelle Memorial
8 Institute in which I had an opportunity to work
9 with many of the DOE labs.

10 I am pleased to be here among this
11 august group and hope that my experience in the
12 Navy and certainly during the last 10 years --
13 very, very much focused on all forms of energy --
14 can add some value to it.

15 Thank you very much.

16 MR. PETERS: Good afternoon. I'm Chris
17 Peters with Entergy Corporation. I'm our Vice
18 President of Critical Infrastructure Protection.

19 And, as Linda said -- alluded to -- I
20 want to echo her comments. It is an honor to be
21 on this group and to help provide some insights
22 from the private sector to help us in these key

1 areas we're focusing on here.

2 I'm a former Marine, and a lot of the
3 Navy folks I talk to say Marine stands for muscle,
4 a requirement, intelligence not essential. So I
5 always find that interesting.

6 (Laughter)

7 MR. PETERS: But I spent a couple years
8 at ICF International and worked with Elliot before
9 on cyber security issues and also spent some time
10 at Grant Thornton as well.

11 Again, I just want to say it's a
12 pleasure to be on this Committee, and I look
13 forward to getting to know everyone and working
14 with you on these issues.

15 MR. HUDSON: Good afternoon, everybody.
16 Also, thank you for the invitation to participate
17 here.

18 I'm Paul Hudson. I run a small
19 investment boutique, also advisory boutique, in
20 Austin called Stratus Energy Group. My ticket to
21 entry here, I think, was punched and where I met
22 many of you is I was a former chair and

1 commissioner in the Texas Commission. And I look
2 forward to working with the Committee over the
3 course of the coming months.

4 MR. COWART: Chris.

5 MR. SHELTON: Good afternoon. My name
6 is Chris Shelton. I'm the President of AES Energy
7 Storage, a part of AES Corporation.

8 I appreciate the opportunity to serve
9 and look forward to serving on the Storage
10 Subcommittee. My background is -- most of my
11 career is in AES. I've worked in retail
12 electricity, telecommunications and information
13 technology. So I look forward to participating on
14 the many facets of the Storage Subcommittee.

15 Thank you.

16 MR. COWART: All right. Thank you. One
17 heads up about -- that's everybody for whom this
18 is their first meeting, right? All right.
19 Anybody else which is to make an introduction who
20 hasn't? I think everybody else has been here
21 before. As the members of the subcommittees know,
22 the subcommittees have been incredibly active in

1 the last -- in the period since our June meeting,
2 and we're going to be seeing the fruits of all
3 that labor put in front of us this afternoon and
4 tomorrow. There's quite a lot of business in
5 front of us. So we're going to proceed pretty
6 quickly through the agenda.

7 For the new members, you've probably
8 received the David Meyer introductory lecture. So
9 I won't repeat much of it except simply to say
10 that we really look forward to your active
11 participation on the subcommittees and hope that
12 you like writing because that's the way it works.

13 So, welcome and let's get going. I've
14 been informed that Pat Hoffman is unable to be
15 with us right this minute but will join us soon.
16 But Lauren Azar is here, and I think we should
17 just skip to our part of the agenda.

18 MS. AZAR: Fantastic. Thank you. Good
19 afternoon, everybody, and delighted to be here. I
20 was asked to discuss the kind of work that I'm
21 doing on transmission institutional issues at the
22 Department. So let me go through the initiatives

1 I've been doing over the last 16 months. But
2 who's counting?

3 As most folks, I have been -- know that
4 I have been involved with the Rapid Response Team
5 for Transmission. The RRTT is currently doing --
6 I would say we've got two different modes going on
7 right now.

8 First of all, back in May, the -- there
9 are nine agencies that are a part of the Rapid
10 Response Team for Transmission. All of those
11 agencies are -- have some core participation in
12 the evaluation of federal transmission
13 applications.

14 The principals of the nine agencies in
15 May adopted a number of systemic changes that they
16 would like to see the agencies implement, which
17 are intended to streamline the federal permitting
18 process. It was a watershed as far as getting the
19 principals to sign on to these systemic changes.
20 Now, of course, the devil is in the details on
21 implementing those systemic changes. So we are
22 working on that.

1 The systemic changes include things like
2 creating a dedicated national transmission team,
3 pre-application processes, application tool kits,
4 trying to get cost recovery for all of the
5 agencies. One of the challenges is some of the
6 agencies do not have a way to pay for increase in
7 staffing for essentially focusing on transmission
8 projects, so taking a lot at cost recovery and how
9 we can get that done. Those are just a few
10 examples of what are included within the systemic
11 changes.

12 But, as a parallel process to that, I
13 think many of you know that the DOE back in 2005
14 was given a significant amount of obligatory
15 action as well as discretionary authority under
16 216(h) of the Federal Power Act. We have been
17 working through a number of different drafts of
18 rules implementing that authority. We are
19 currently working on an entirely new draft that
20 would speak to many of the comments that folks
21 here provided to us based on the last NOPR.

22 And we're in the process of negotiating

1 that rule with the other agencies before we
2 actually formally decide that we're going to
3 release it into the public domain for comment. So
4 we're still early in the process, but we've got a
5 nice rule at least ponied up for discussion
6 amongst those nine agencies.

7 Those are the primary activities in the
8 Rapid Response Team for Transmission.

9 DOE, the Office of Electricity, is
10 actually hiring some staff to implement its
11 authorities under 216(h), and so we're looking
12 forward to getting that staff on board. I think
13 the positions are on the street right now.

14 I don't know if you know, David, but
15 there are likely some openings.

16 There's Pat. Pat will be able to answer
17 that question.

18 Hi, Pat.

19 MS. HOFFMAN: Yes and no.

20 MS. AZAR: All right. With regards to
21 1222, which is another component of the DOE's
22 authorities that were provided to the DOE, that

1 was also provided back in 2005.

2 This Committee is actually -- I believe
3 either has or is about to take some positions on
4 DOE's implementation of 1222.

5 The last time I was here I told you guys
6 that we were about to take action on it, and I got
7 the sense that everybody was saying: Yeah, right.
8 It's been seven years. We'll see what happens.

9 Well, indeed, we did take action. Back
10 in April, the Deputy Secretary indicated that for
11 an application we had received under 1222 that it
12 was to the point that the project was mature
13 enough that it was to the point that we would
14 proceed into the NEPA analysis of that project.
15 That is a clean line application for a DC line
16 going from western Oklahoma into Tennessee. So we
17 are now embarking on the NEPA analysis for that
18 project.

19 As a part of our evaluation of that
20 application process, I can tell you we learned a
21 lot about DOE's implementation of the 1222 law,
22 and indeed, we learned that the guidance that we

1 had put out in the Federal Register -- oh, I'd say
2 2 or 3 years ago -- needs some improvement because
3 it doesn't necessarily track well with how
4 applications are going to actually come into us
5 and how we should be evaluating them.

6 So we are currently, right now, in the
7 process of figuring out a new way in which to
8 evaluate the 1222 applications, and we'll be --
9 actually, we're going to come to NARUC, as an
10 aside, and talk to the commissioners about it, and
11 we're holding a listening session in Tulsa on
12 November 29th on a potential new process there.

13 So the good news is we've done -- we're
14 in the process of moving forward on NEPA in one,
15 and we're coming up with a process that will --
16 should streamline our evaluation of future
17 applications.

18 And there is another application,
19 another clean line application, that's pending
20 right now. They have indicated that they don't
21 want us to move on it quite yet, but when they are
22 ready, they will be submitting an amended

1 application.

2 We're also discussing possibly a project
3 in the Western Area Power Marketing
4 Administrations' service territory under 1222.

5 So, anyway, for those folks who are
6 going to be in NARUC on November 13th and you want
7 to comment on 1222 and our process, please come to
8 the session we're going to have. It's late in the
9 afternoon.

10 Lastly, let me talk about -- well, I
11 guess it's not actually lastly -- the congestion
12 study which David Meyer is leading as far as the
13 preparation of it. We are working through the
14 2012 congestion study. It is hopeful that we will
15 release a draft before the end of the year for
16 public comment, and we are looking forward to
17 hearing all of your thoughts on this congestion
18 study because it is different than prior
19 congestion studies with regards to how the report
20 is going to be analyzing data and setting forth
21 the Department's conclusions.

22 Lastly, with regards to the Power

1 Marketing Administrations, they're -- as you know,
2 they own quite a lot of the transmission
3 infrastructure in the United States. We are
4 currently working with the PMAs on a number of
5 different issues. We're focusing a lot of our
6 efforts right now with regards to Western, and
7 there is right now a joint team of experts that
8 are drilling down and will be coming up with a
9 group of recommendations on how Western can
10 improve its services, mostly focused on
11 transmission services and transmission assets.

12 Those recommendations should be posted
13 in the Federal Register in early November with --
14 and that team is hoping to get its final
15 recommendations off to the Secretary by the end of
16 the year.

17 So that's all I've been working on. Any
18 questions?

19 MR. COWART: It takes me a second just
20 to relax after listening to all of that.

21 I do want to open it up to questions,
22 including sort of -- you can even ask her a

1 question that includes go back and say that again.

2 Mike.

3 MR. HEYECK: I just wanted to state that
4 the addition of Lauren -- as advisor to -- senior
5 advisor has been very helpful to our industry, and
6 I encourage her to get it all done by next
7 Thursday.

8 MS. AZAR: You guys are way too easy.

9 MR. COWART: Thank you, Lauren. Next on
10 the agenda will be Anjan. You can report on Grid
11 Tech. Pat's deferring to you for the moment.

12 MR. BOSE: I am going to use the slides.

13 (Pause)

14 MR. BOSE: All right, good afternoon.
15 This is the second time I think I'm talking about
16 the Grid Tech Team in front of you. So -- but
17 several of you are new, and so you won't know
18 this. But the previous people will actually
19 recognize some of these slides, and I will be
20 repeating some of the things.

21 And one of the reasons to repeat it is
22 because I keep getting asked by the same people

1 over and over again what the Grid Tech Team does.

2 So -- and this is within DOE.

3 (Laughter)

4 MR. BOSE: Just to give you an idea, the
5 Grid Tech Team was set up probably about a year
6 ago, or a little bit more than, that to try and
7 coordinate a lot of the work within DOE that is
8 done on the grid although a lot of it is done
9 within Pat Hoffman's office. There is quite a bit
10 that is done outside of Pat Hoffman's office. And
11 the whole idea was to try and see if there is some
12 overlaps in these things, gaps in these things and
13 how these things can be coordinated better.

14 So then, it starts from -- the whole
15 idea, of course, is that we do a lot of work on
16 components of the grid, and -- but putting all the
17 components together doesn't make the grid. Or,
18 another way to put it is many of the people who
19 are working on particular things like wind or
20 solar are finding that when they're connected to
21 the grid there are certain constraints on doing
22 that.

1 And so, what should the future grid look
2 like? So there's -- and you can read that as much
3 as I can, but the whole idea is to have a cost
4 effective electricity system, seamless, and from
5 generation to end use, taking into account things
6 like clean energy demands and the capacity growth,
7 while also allowing consumer participation and
8 electricity use.

9 So what are the major things that are
10 happening in that field? Well, clean energy. I
11 think you can see that there's a lot of need for
12 renewables but all kinds of clean energy as well.
13 On the distribution side, there are huge amounts
14 of changes taking place and including customer
15 demand side management as well as electric
16 vehicles being anticipated in large amounts,
17 distributed generation and so on.

18 So how do we design this system where
19 it's holistically efficient and reliable and
20 secure?

21 So the last line on that slide is
22 probably the key one, which says that ultimately

1 you've got to have a grid that's reliable, secure
2 and resilient.

3 So, on the left-hand side of this slide,
4 you see the different things that are changing,
5 that are kind of the trends, and changing the
6 supply makes the demand side is changing. The
7 complexity of the grid is changing, and all -- but
8 on the other hand, there's a lot of technology
9 that is going forward, including things like
10 computers and communications and controls and
11 sensing that allow you to do more things with the
12 grid.

13 The downside of all that new technology,
14 of course, and especially in the IT space, is that
15 it creates another set of vulnerabilities. I
16 mean, it's not just storms that bring down
17 transmission towers. It can also be hackers who
18 can bring down your computers. And so, there's a
19 bigger set of things that can go wrong even though
20 as you increase the ability to do better things
21 with the grid.

22 So, if you look at what we're doing here

1 in the grid modernization strategy from the
2 Department of Energy, we have -- again, on the
3 first green box there it says RD&D Activities, the
4 Research Development and Demonstration Activities.
5 And that's, of course, most of what DOE does. So
6 that's sort of the bread and butter, so to speak,
7 of DOE trying to bring out the viable technology
8 solutions.

9 Now one of the things that all of you
10 can appreciate is that we have -- one of the
11 barriers ends up being institutional issues, not
12 just technology, that just getting technologies
13 invented is not enough. And we'll talk a little
14 bit more about that.

15 So the other the other green box in the
16 middle says Initiatives there, and what we're
17 trying to do is try to understand and see whether
18 DOE can engage in some of these areas where
19 institutional and technologies issues kind of
20 intertwine in a way where both have to be solved
21 to get across the barriers.

22 And then, of course, we have the ability

1 to work directly with various parts of the
2 country, the regional activities and regional
3 engagements.

4 I mean, I think most of you are very
5 knowledgeable about how the different PUCs, the 50
6 different PUCs, engage in the grid activities and
7 how the different regional entities, planning
8 entities, transmission authorities and so on,
9 engage in this space.

10 So what are the things that we are
11 looking at doing the critical roles that we can
12 play as DOE -- is to convene the diverse
13 stakeholders. I think the EAC is probably one of
14 the ways to do that. The information exchange,
15 the aggregator and disseminator from both RD&D and
16 the strategic planning workshops and so on can all
17 be part of that. And, of course, finally, the
18 technical expertise and analytical capability goes
19 without saying for our RD&D operation.

20 As I said before, the research, the
21 technical research, is one big thing. The
22 initiatives, what we're calling initiatives, are

1 the things we're trying to do where we engage
2 different stakeholders into getting into the more
3 institutional challenges and then regional
4 engagements to try and move forward some of these
5 things.

6 So, now going back to the system
7 viewpoint of this thing, see -- in this slide, you
8 can see the generation, transmission,
9 distribution, end users -- those vertical boxes --
10 are the obvious ways people think of the grid as
11 connecting the transmission and distribution,
12 connecting the generation to the end users.

13 And that's all fine, but where does this
14 -- what is the grid?

15 What is the system? What are the issues
16 of the grid? And how do we differentiate? We
17 have spent quite a bit of time within the Grid
18 Tech Team kind of talking about this. And it's
19 those two boxes that are horizontally across on
20 those -- that whole picture. I think that's where
21 the Grid Tech Team comes into play -- the
22 efficient, reliable and secure system operation

1 and cost effective system planning and expansion.

2 Okay. We'll talk a little bit more
3 about this. So here's one way to kind of divide
4 up the things we're doing. Okay. You see the
5 three circles over there. The red circle, we call
6 understanding, and that has to do with the models,
7 the simulations, the physics of what the grid
8 does. This is different from the physics of just
9 the storage device or the mathematics of just the
10 power flow solution. It's the whole picture.
11 It's a simulation of all of those devices put
12 together. It's the modeling of the whole grid
13 with all the pieces.

14 So that's what -- to understand that
15 this is the knowledge part of it, this is the R&D
16 required there, is to look at the physics, the
17 math and so on.

18 The visibility, the green circle on the
19 right -- the visibility of it is just knowing.
20 Can you use what is happening?

21 And that has to do with sensing. That
22 has to do with SCADA systems, with EMS, with

1 phasor measurement units, with smart meters, with
2 how do you look at the grid. How do you see the
3 grid? How do you observe the grid?

4 What makes it observable? What makes it
5 controllable?

6 So, to know what is happening. So this
7 is the informational part and the -- and this is
8 where we are getting huge strides in computers,
9 communications, sensing devices, controllers.
10 Right.

11 So those are the things that make it a
12 lot more flexible, so to speak.

13 And then, finally, of course, the
14 flexibility of the grid itself or the physical
15 part of the grid -- this is where you have the
16 usual things of transformers and transmission line
17 and distribution lines and protective relays, and
18 so on and so forth.

19 So those are the different pieces of the
20 puzzle that come together in terms of our R&D
21 plans. So this is our way of looking at what the
22 R&D should be divided up and pursued.

1 We put on the side, on the right-hand
2 top corner there, the institutional factors of
3 markets, regulations, policies and standards which
4 all impact the actual implementation of any of
5 these technologies. So that's sort of the how we
6 look at the grid.

7 And what are we doing in the near term?
8 So, two sets of things. One I said was the
9 initiatives, and the other one was R&D activities.

10 So, the initiatives. The main
11 initiative we've taken on is this idea of how to
12 improve situational awareness and data sharing.
13 Okay.

14 And one of the things that came to us
15 sort of in a sequence of things -- you know, we
16 were talking. We sponsor the North American
17 SynchroPhasor Initiative, which is looking at all
18 the PMU data and what to do with it, and they're
19 running into issues of how to exchange this data.

20 The blackout report came out from the
21 Southwest blackout, and that pointed out all the
22 problems of not enough data being -- real-time

1 data being shared among the different utilities so
2 that the operators, many of the operators, were
3 unaware of what was going on in the system.

4 So the whole question of exchanging data
5 from planning to operations to markets to day
6 ahead planning -- those are all issues that we
7 think have both institutional and technology
8 aspects. And I'll tell you in a minute what we
9 did there.

10 And then, on the R&D activities, we
11 already have had a distribution system workshop to
12 talk about a road map for R&D in that area, and
13 then we're about to have one on the transmission
14 system.

15 The distribution workshop was held
16 December 24th and 25th. We still -- so the whole
17 idea was to bring together people who work on
18 distribution systems in one room. We had, I
19 think, 100 and some people there, and the idea is
20 to come up with an R&D road map.

21 What we did there, I think, will
22 probably interest you a bit on how we structure

1 that workshop because what we did -- we had
2 breakout sessions, which is a sort of normal way
3 to run these kinds of workshops.

4 The first breakout session was broken
5 out into this list of things on your left -- the
6 variable renewables. So we had the wind and solar
7 people in there, the dispatchable renewables, the
8 fuel cells and other dispatchables. The smart
9 grid technologies were in there, the micro grids
10 and so on. The electric fuel cells and fuel cell
11 vehicles, the electric vehicles people -- the
12 buildings was another one, and energy storage.

13 So -- but these groups were very
14 comfortable among -- within themselves because
15 they all knew each other. And they sat around,
16 and they said, what are the big barriers to
17 getting more of these things onto the grid?

18 Okay. So then they knew exactly. So we
19 got lots of very good ideas from that.

20 And then, in the afternoon, we mixed
21 them all up, and we said: Look at it. We don't
22 want you to talk about what you need to do to the

1 electric car but talk about what you need to do to
2 the grid that will make you do more with the
3 electric car.

4 So how do you make large amounts of
5 electric cars visible to the operator?

6 What do you need to know to be able to
7 model the behavior of large numbers of electric
8 vehicles being charging and discharging in terms
9 of system operations over a day or a weekly cycle?

10 What do you need in the grid so that
11 these electric vehicles can be charged at the
12 right time?

13 So what kind of flexibility does the
14 grid need? And that got everybody talking and
15 finding it rather hard to identify the barriers
16 when you start looking at your piece of expertise
17 in the context of everybody else's.

18 So I don't have here any pithy outputs
19 of this thing. We're still collecting all of the
20 outputs. It's been less than a month. But we
21 will have a report out of that as to what we think
22 the grid-related R&D should be done in terms of

1 the distribution.

2 One of the initiatives, as I said, was
3 data sharing. So we had a different meeting on
4 October 5th. This was a small meeting, about 14
5 invited, industry leaders. And the people
6 involved with that were the Secretary was
7 involved, Pat and Lauren and myself and Jay
8 Caspary and so on, from DOE.

9 And these were all industry leaders but
10 with intimate knowledge of the data sharing
11 issues. So some of them were from EMS, from
12 phasor measurement, others from the planning side
13 of the companies or from the ISOs, and so on.

14 So, here I can tell you -- I mean, this
15 was not supposed to be a big report or anything.
16 This was supposed to be an informal half a day's
17 worth of meetings and discussing what needs to be
18 done here, what are the institutional issues, what
19 are the technical issues, and so on.

20 So one -- so a couple of suggestions
21 that came out of it were that data exchange is
22 necessary for situational awareness, blackout

1 prevention and adequate planning. Now this
2 doesn't surprise anybody, that that was one of the
3 thoughts, but when you're running a large grid the
4 data exchange between the owners of the grid is an
5 absolute necessity.

6 The question that really needs to be
7 worked on is: What are the modalities of data
8 exchange that are needed for planning, for
9 operations, for markets, for day ahead planning?

10 So what are the entities that can decide
11 the kinds of formats and protocols and processes
12 that need to be in place to be able to do this
13 data sharing?

14 And so, that's something that I think
15 DOE has offered to help in any way the industry to
16 go ahead and start moving on this.

17 And, finally, we're going to have a
18 transmission workshop November 1st and 2nd. This
19 is going to be, again, breakout sessions and so
20 on. We're in the middle of planning this -- the
21 actual thing. We expect about 100 people again,
22 just like the distribution workshop. And this is

1 to come up with an R&D road map for, again,
2 looking at it from the grid point of view.

3 So, finally, this is my last slide.
4 I'll leave you with this. My mantra has been for
5 the last six months I've been here -- is Systems,
6 Systems, Systems.

7 And so, here are our three circles. The
8 visibility, understanding and flexibility are the
9 things we need to understand about the grid.

10 Thank you.

11 MR. COWART: Thanks, Anjan. Don't go
12 away in case there are questions.

13 Are there questions or follow-up on this
14 presentation?

15 Yes.

16 MR. BROWN: Merwin Brown with the
17 California Institute for Energy and Environment.

18 Anjan, on one of your slides on the
19 distribution, where you had that list on the left
20 that you broke out the first -- yeah. Those are
21 kind of apples and oranges lists because some of
22 those do things to distribution and some things do

1 for the distribution. Did you see a distinction
2 made when these people got together to work on
3 things?

4 In other words, I hear people make the
5 comments, as an aside, that smart grid
6 technologies are the problem. I always thought of
7 them as the solution. Yet, others are out there
8 are seen by the grid as a problem, like variable
9 renewable.

10 So did that distinction come out in this
11 list, in the results?

12 MR. BOSE: Well, yes, in the actual
13 feedback we got, of course, they could see the
14 distinction, but some of the smart grid
15 technologies -- but the reason it was divided up
16 that way is very simple. That's the way our
17 programs are divided up within DOE. So we had the
18 stakeholders right there.

19 MR. COWART: Can you go back one slide
20 before that? I'm just -- actually, keep going
21 because I'm looking for the goals. Oh, it's quite
22 a ways back. It's back to the beginning. Sorry.

1 I apologize. There we go. Reliable, secure and
2 resilient. Was it also part of the thinking of
3 your process that what you're looking for is a
4 grid that is reliable, secure and resilient while
5 delivering some other goals, namely, efficient,
6 delivery of power across power markets that can
7 lower costs or, as you say up at the top, that one
8 of the goals is to accept that a higher
9 penetration of renewables is necessary to meet
10 national objectives?

11 Is there something more to it than just,
12 well, we want the grid to work and we want the
13 grid while it's delivering these other things?

14 MR. BOSE: Yeah. I mean you raise the
15 main issue we struggle with. The grid is
16 everything to everybody, and so to try and come up
17 with some language that fits on a page or, rather,
18 a PowerPoint slide makes it difficult.

19 So, the question is, where do you put
20 these things, I guess.

21 So, yes, it does include that. In fact,
22 efficient -- efficiency shows up in one of the

1 pictures, I think, that I showed you. Cost
2 effective system planning and expansion shows up.
3 Efficient, reliable and secure system operation
4 shows up.

5 So, yes, you're right. We could write
6 this in different ways, and I think if you look at
7 many, many reports that are written about this
8 area you'll see people dividing up and using
9 different language to do it.

10 MR. COWART: I'll try to take them in
11 order. David.

12 MR. NEVIUS: Dave Nevius from NERC. I
13 was one of the folks at the October 5th meeting
14 Anjan mentioned, and maybe others want to comment
15 on this too. But in addition to talking about the
16 need to exchange data, there was also some
17 suggestion about DOE support for developing the
18 applications for system operators as to what the
19 data means.

20 It's fine to have PMU data with 30 scans
21 a second, but unless we can put that into a form
22 that the operator knows what he's looking at, it's

1 not very useful. So a common information model
2 and structures for exchanging the data are very
3 important but also equally important is the
4 development of applications.

5 MR. BOSE: Yeah, that's an interesting
6 thought, David, because it came out this way.

7 You know, people pointed out that PMUs
8 are going in, in a big way, but the biggest
9 barrier is that there are not enough applications
10 to justify the PMU installations. On the other
11 hand, to make the applications work, data sharing
12 agreements and processes must be in place.

13 So we have this kind of problem of the
14 chicken and the egg, and we have to kind of
15 ratchet it up together.

16 MR. COWART: I didn't catch who is next,
17 but why don't we just start with Dian?

18 MS. GRUENEICH: Thanks. Dian Grueneich,
19 strategic consultant and former commissioner with
20 California Public Utilities Commission.

21 Two quick items. One is on the cost,
22 and it strikes me that that's going to be a very

1 difficult item. I understand that it sounds like
2 the product out of this will be a proposed R&D
3 plan for DOE on both the distribution side and the
4 transmission side.

5 And because of the way our electricity
6 system is organized in the United States, the
7 approvals for passing on the costs of all these
8 components are generally either at the state
9 commission level when it's looking at the
10 distribution side, and each one of that is very,
11 very specific to the state's own rules.

12 And then, the actual utility system, if
13 you're in an organized market, then the
14 transmission side costs will obviously be through
15 the organized markets. If you're in an integrated
16 state, then that too will go to the state
17 commissions.

18 So when you talk about looking at this
19 cost effective manner, if you've cracked the
20 bullet -- cracked the nut on what on earth do we
21 possibly mean in the context of how we're
22 approaching the U.S. or how are people thinking

1 about it because what's cost effective for one
2 part of the country may be very not cost effective
3 for another. And what does that mean in terms of
4 the technology development that you need to have?

5 And then, real quickly, my second
6 comment was that in California we're doing a
7 re-look at the use of the R&D monies, and the
8 folks involved are submitting triannual investment
9 plans. And one aspect of R&D that is being called
10 out is not just the technical side but the process
11 side and the institutional side.

12 And I don't know if DOE can play a role
13 in this, but I've been doing a lot of thinking
14 about this and writing in this area, where there
15 is sort of an assumption that our current
16 institutions at the state commissions, at the
17 wholesale markets, everything else are going to be
18 able to rise to do this.

19 As a former commissioner, I have
20 complete confidence in everybody, but there's a
21 question to be asked, I think, which is: Is this
22 really going to be feasible, or at the end of the

1 day, despite tremendous efforts on R&D, without
2 addressing and actually changing some of the
3 institutional sides, are we running into a
4 problem?

5 MR. BOSE: Well, let me just say that
6 costs and efficiency and things like that are
7 always part of any R&D plan. So I think they are
8 obvious ones.

9 I think it's more difficult when you're
10 looking at it systemwide. That is, it's easier to
11 find out what the kilowatt value -- the value of
12 the kilowatt of installed PV -- is and see what it
13 would be if the technology changes. It's a lot
14 more different when you're trying to put together
15 a whole system where you've got so many different
16 variables.

17 So the tools needed to develop to do
18 that, for example, for planning tools, I mean
19 that's about what the cost of what the plan is
20 going to be of new transmission lines or new
21 control centers or whatever. The tools needed to
22 analyze that have to be in place.

1 So the planning tools need to get
2 better. It needs to be able to handle things like
3 what happens if you put a lot more PMUs in
4 addition to what happens if you put in a lot more
5 underground distribution lines, for example.

6 But on the other question, I think --
7 about the institutional side -- we, of course, end
8 up talking about it a lot. Whether an R&D
9 approach can handle it or not is still an open
10 question. About the institutional issues, I think
11 there are some parts that can be R&D.

12 But we have taken the approach here --
13 as I said, these initiatives are essentially
14 stakeholder talks. You know, discussions on how
15 to get around, get over, the institutional issues.

16 And this data thing we have taken up in
17 the beginning is because we felt that there are
18 several parts of the industry that are already
19 feeling it. The people who are dealing with PMUs,
20 we are hearing from. People who are trying to
21 make sure that they have the situational awareness
22 in the control centers, we are hearing about.

1 So the data issue is coming. I mean, we
2 don't know how to tackle it necessarily, but we
3 are at least starting the conversation to do it.

4 MR. COWART: Bob.

5 MR. CURRY: I guess I'm sort of -- this
6 is Bob Curry from Curry Energy, which is a
7 tautology for those of you who are paying
8 attention.

9 Sort of piling on to Dian's point, the
10 mantra for regulators -- and I was for six years a
11 New York commissioner -- is safe and adequate
12 service at just and reasonable prices.

13 Your target audience for anything that
14 comes out of this is either state commissions
15 and/or RTO ISOs.

16 The RTO ISO system is -- and Cheryl
17 LaFleur is not here to listen to this --
18 notoriously difficult to pin down when it comes to
19 transparency and costs and how they're allocated
20 among the various rate-paying groups.

21 The states, however, as Phyllis and I
22 pointed out in something that's not yet published

1 -- but hold on, by next March it will be -- point
2 out the need for M&V, measurement and verification
3 for whatever is done.

4 So I would endorse what Dian said. I
5 would suggest that as in any marketing exercise,
6 which this ultimately is, that you start with your
7 target audience and find out the language that
8 speaks to them. And before someone embarks on
9 something that might subsequently be seen as
10 imprudent by the next commission that comes along,
11 or even by someone changing their mind on an
12 existing commission, that you have as the end
13 product of your efforts a deliverable that speaks
14 to how does this make things better.

15 Now, in New York, we manage to spend a
16 half a billion dollars a year on energy efficiency
17 and other things that don't have a bottom line
18 return, that don't pass a collective M&V test,
19 because we realize that this is an art and not a
20 science and it takes a while to get to the
21 scientific end.

22 But unless you approach this -- because

1 I've seen this in the Eastern Interconnect. I've
2 seen it in a lot of things that happen in this
3 industry -- and I'm obviously not from this
4 industry -- where very many good, careful,
5 considerate, thoughtful, deliberate people go out
6 to do a really good job on something, but they
7 don't think about what the deliverable is and to
8 whom it's going to be delivered.

9 So I would simply -- I was hoping that
10 you'd call on me first instead of Dian, but at any
11 rate -- echo what Dian said because at the end of
12 the day this is the intersection of policy and
13 politics.

14 And we -- I was formerly -- I'm a
15 recovering regulator. We're responsible to a rate
16 base, and the rate base gets to raise certain
17 questions about what's going on. Unless you can
18 prove it out or accept the premise that this is
19 good for the country and articulate that in some
20 way that various stakeholders who decide who's
21 going to pay for this can hold on to -- and some
22 of these people will have something to say about

1 that -- that it is a worthy but not necessarily a
2 completely effective approach to some very
3 difficult problems.

4 MR. COWART: Paul.

5 MR. CENTOLELLA: Paul Centolello with
6 Analysis Group.

7 MR. CURRY: Also a recovering regulator.

8 MR. CENTOLELLA: Also a recovering
9 regulator, hopefully, on the way to recovery here.

10 It strikes me that in the discussion
11 around visibility you have touched on three really
12 quite distinct and different types of issues, each
13 of which has a different audience and a different
14 kind of problem statement. And I'm not sure what
15 the combination of things was that came out in
16 that meeting.

17 One is, you know, you talked about
18 format. You talked, David, about a common
19 information model. I mean, these are standards
20 questions. These are questions that are normally
21 taken up in standards development organizations
22 or, if it's appropriate, maybe the Smart Grid

1 Interoperability Panel. These are technical kinds
2 of questions. There may be new standards that are
3 required, or extensions of existing standards.
4 And if that's the case, you should be identifying
5 what those standards gaps are, and there are
6 processes that can be put in place for doing that.

7 I heard also there is an institutional
8 kind of question, you know much like the IPC took
9 up, and that may be an appropriate model. What
10 goes on in RTOs may be an appropriate model.

11 But that involves -- it involves
12 regulators. It involves RTOs. It involves a
13 totally different set of actors from the data and
14 standards question.

15 And then, I heard also, you know in
16 David's remarks, that there is an application
17 development, more of a strict R&D type problem,
18 which is a problem really for both vendors in the
19 space but also for DOE's R&D labs and R&D
20 programs.

21 And I think you really ought to be
22 thinking about this in all three of those ways,

1 depending upon what the needs were that were
2 identified rather than thinking about it as one
3 problem because I think it sounds like a
4 combination of problems to me.

5 MR. BOSE: Can I just clarify that a
6 little bit? In the meeting that we had -- because
7 it was more of an initiative, not an R&D thing,
8 that all of these issues came up because we were
9 trying to identify what -- exactly like you said,
10 where are the barriers here?

11 So, on the other hand, I should point
12 out that on the R&D side there is -- I mean, DOE
13 is doing a lot of R&D on the applications. In
14 fact, many are being even tested right now and
15 demonstrated.

16 See, we sort of keep feeling that our
17 R&D side is moving ahead without taking care of
18 some of the -- or not knowing whether some of
19 these institutional issues will ever be fixed, in
20 which case we're sort of going down the wrong
21 path.

22 And this is where we are doing this

1 other kind of discussions, where all three are
2 kind of mixed up. Or, even more. Maybe it's five
3 or six of these things that are mixed up.

4 MR. CENTOLELLA: I obviously wasn't in
5 the meeting. So I don't know kind of what
6 barriers people identified. But you know, you
7 talked about three different kinds of problems,
8 and you need to figure out where is the real
9 barrier and where do you need to leverage.

10 MR. COWART: Thank you. Gordon.

11 MR. VAN WELIE: So, Anjan, I was
12 wondering if I could help in the following way.
13 So I was going to sort of restate the premise here
14 and see whether you agree with me.

15 As I understood this, this is
16 essentially what I'd call a systems architecture
17 vision of the grid that sort of looks at how does
18 it, as an organism, interact amongst the various
19 components and not a recipe for saying one has to
20 invest in this particular kind of technology in
21 this area or that kind of particular technology in
22 this area.

1 And really, it's about trying to bring
2 some sort of coherent effort to the R&D efforts
3 that DOE already has underway in a way that these
4 technologies can interact with each other in a
5 sensible way.

6 So what I hear around the table, I
7 think, are sort of natural concerns that people
8 would have, which is:

9 How much is this all going to cost us?
10 Are we going to be forced to sort of implement
11 certain types of technology? Are there not sort
12 of policy considerations? I think all of those
13 are constraints ultimately on the deployment of
14 technology. My understanding was that what you
15 are trying to do here is create a blueprint for an
16 R&D effort as opposed to deploying anything out in
17 the field.

18 Am I correct in that?

19 MR. BOSE: I think your premise is
20 right. Now, on the other hand, there are things
21 being deployed just because of many of the
22 stimulus projects and so on. People are having

1 field experiences that are being collected right
2 now.

3 But the whole idea is -- yes, your
4 premise was right. The whole idea is to try and
5 get the R&D focus.

6 MR. VAN WELIE: I guess I would view
7 what's been deployed up to now as experiments.

8 MR. BOSE: Yes.

9 MR. VAN WELIE: Pilot projects. As
10 proof of concept. It's not sort of wholesale
11 deployment across the entire industry.

12 So I would imagine that DOE is going to
13 continue to want to invest in R&D to sort of move
14 the ball forward in various areas within the broad
15 technology space. And what you're looking for is
16 coherence amongst those efforts, and it would
17 provide some kind of blueprint for the industry to
18 be used if it felt that it made sense, if it was
19 cost effective.

20 MR. BOSE: That's absolutely right. But
21 the way -- the Grid Tech Team has a slightly
22 broader view of this than, say, the people who are

1 trying to solve the photovoltaics question. You
2 know, their focus is very much on how to get the
3 performance of the photovoltaics up and the costs
4 down, okay, whereas things get a little more
5 broader when you're looking at it from the grid
6 point of view because we have no idea how much
7 photovoltaics we're going to have in 2020 as
8 opposed to natural gas or anything else.

9 So this is where the resiliency of the
10 grid, the ability to handle different ways of the
11 grid, comes in. And that's -- we're kind of
12 focusing on that part of the R&D.

13 MR. COWART: Merwin, I'll defer to you.
14 Go ahead.

15 MR. BROWN: Thank you. Merwin Brown,
16 California Institute for Energy and Environment.
17 Let me get this closer. I don't know whether this
18 helps or even if it's correct or not, but if we're
19 looking at the place to have the most effective
20 R&D to handle-- to attack these institutional
21 issues, I look at it this way.

22 You've got two fundamental costs that

1 you've got to worry about.

2 The one you mentioned is the cost of the
3 commodity or the product. In other words, I put
4 an investment in, and I generate some electricity,
5 and I sell it. That's pretty well known. There
6 are some unknowns, but it's pretty easy to get
7 your arms around it from a regulator point of
8 view.

9 It's the cost of no electricity is the
10 one that's tough, and that's the one that's
11 related to reliability and resilience.
12 Fundamentally, it's an insurance question. How
13 much investment are you willing to make to prevent
14 a problem down the road that may never happen?

15 And there are probably some things you
16 can do in the research arena to try to put some
17 bounds on that. They translate to actuarial
18 tables.

19 But the point is you collect lots of
20 data, and you analyze and begin to find patterns
21 and cause and effect responses. So it does begin
22 to bring some -- what's the word I want to use?

1 Ability to quantify some of this uncertainty that
2 comes from the cost of a no-kilowatt hour.

3 MR. COWART: Anjan, I'm going to return
4 to the question I think I began with which -- and
5 push you a little --

6 MR. BOSE: The answer, obviously --

7 MR. COWART: Push you a little harder on
8 it. Well, it seems to me -- and I just am looking
9 for an articulation from you or perhaps from Pat
10 -- that the Department could be doing all this
11 work to facilitate the R&D that would help to
12 create the grid that could do a variety of
13 different things.

14 And you could have in mind a grid
15 architecture to connect up a large number of
16 central station plants. Let's say the nuclear --
17 the next generation of nuclear power plants or
18 connect, alternatively, huge wind farms in the
19 central U.S. To the East Coast, or something like
20 that.

21 Or, you could say, well, what we really
22 envision is a grid in which there will be a much

1 greater penetration of variable renewables. There
2 will be a much greater integration of distributed
3 customer response. We're going to -- we know that
4 going forward we are highly likely to see a lot
5 more electric vehicles, et cetera, et cetera.

6 You know, a different architecture to
7 facilitate the evolution of a different vision.

8 And I guess my question is are you
9 pursuing -- when you sit down to say this is how
10 we're organizing this work, are you entirely
11 neutral as to those futures, or do you actually
12 have in mind an architecture that you kind of
13 think, well, that's really what's coming and so we
14 better prepare for that?

15 MR. BOSE: I think the latter. That is
16 we -- saying that we're neutral to the future is
17 probably not the right way to say it, but we have
18 to be able to handle whatever the future brings,
19 which is -- so -- and that's the issue.

20 I mean, you know, let me put it slightly
21 in a more concrete way. Each group of people that
22 are doing R&D in certain areas, they actually have

1 R&D, say, on what is the penetration level that
2 the grid can handle for wind. All right. And we
3 have these numbers.

4 But it doesn't matter because suppose
5 you came up with that 80 percent wind can be
6 manageable by doing certain heroic things, but 80
7 percent of wind may or may not ever come. The
8 question is we have to be able to handle the
9 combination of things.

10 And the example I always put out is five
11 years ago none of us would have known that the
12 natural gas industry is going to be the big thing
13 for the next five years. And so, the question is,
14 what then?

15 Now that has certain impacts. Just
16 because you're going to have a whole bunch of
17 airplane engines running electricity, producing
18 electricity, you're going to have a lot of
19 different ways that the grid is going to perform
20 in both your markets, the way it does
21 demand-response, it does frequency control,
22 voltage control, all of those things.

1 And our question is, do we have the
2 tools to even analyze these things that the future
3 is going to bring?

4 Do we have the models, the analytical
5 tools, the computer systems, the computer systems
6 to operate these kinds of tools?

7 Do we have the -- are the PMUs' data
8 going to be available in a way that we can read
9 and calculate things that will let us run this
10 system efficiently?

11 So, you see, what we're trying to say is
12 some of these things are important, that we
13 develop these tools, these analytical capabilities
14 that are needed, these visibility capabilities,
15 the sensing and the control capabilities that we
16 have to put in to be able to handle these.

17 MR. COWART: Any other questions?

18 MR. PARKS: Can I comment on that too
19 and just to reinforce?

20 I think there are a number of
21 uncertainties about the future, and we want to
22 recognize that and really identify within certain

1 parameters. But I think there are also some
2 certainties that we ought to make sure we
3 remember.

4 And a couple of those, just to throw
5 them out there and not be too obvious -- there are
6 probably going to be wires to everybody's houses.
7 So we're going to have to think about distribution
8 in the foreseeable future. That's going to have
9 to be dealt with. Right?

10 That's not going to go away. So it's
11 something we need to deal with.

12 Costs are going to matter. And so, if
13 you start adding up the incremental costs -- to
14 Dian's point or in Robert's point earlier -- of
15 smart grid plus electric vehicles plus cyber
16 security plus everything else, are there ways we
17 can look at this holistically in order to get that
18 price tag down, knowing that we're going to have
19 to invest in this system because of its aging
20 structure, because of the new requirements that
21 we're putting on it?

22 So, how do we contain costs within a

1 system that we understand the number of variables
2 in play?

3 And I also think that we're going to be
4 faced with regional differences for the
5 foreseeable future. So we need to think about how
6 do we do this and how do we have -- how can we,
7 from a national standpoint, help the nation,
8 recognizing the world that we live in, both from a
9 regulatory and institutional standpoint and from a
10 technology standpoint?

11 And that's how we're trying to come at
12 this and capture the whole picture, and it is
13 difficult. And I think it will remain difficult,
14 and the best thing we can do is continue to
15 communicate about it.

16 Thank you very much.

17 MR. BOSE: Thank you, Bill. I should
18 recognize that Bill and David and several of the
19 Grid Tech Team members are here; Kerry and Caitlin
20 at the back.

21 And we have about something like 25
22 people on the Grid Tech Team, and we've been

1 working pretty hard at this. And I should -- I
2 get to talk up here, but actually there's a lot of
3 people working on this for the Department.

4 Thank you.

5 MR. COWART: All right. Thank you very
6 much, Anjan. All right. Pat is here, and now
7 we're going to hear from her on her view of where
8 we are and where the Department is going.

9 MS. HOFFMAN: I'm just going to pick up
10 where Anjan left off.

11 First of all, thank you, Anjan. I would
12 like to thank all the newcomers to the Electricity
13 Advisory Committee. First of all, thank you very
14 much for joining us, and I look forward to your
15 input in discussions.

16 I'd also like to thank the returning
17 members to the EAC as well.

18 Just so you're aware, the reason that I
19 value the Electricity Advisory Committee meetings
20 is because of the constructive discussions. I
21 feel this is a forum where we actually can debate
22 issues in a very technical, professional and

1 constructive manner, and really get at the heart
2 of the difficulty when we talk about the electric
3 system, the differences regionally, the difference
4 in its structure and makeup, for the system and
5 how the system should be the operate. And this
6 forum and this discussion really get to the heart
7 of some of those issues.

8 And so, the topics that we actually have
9 coming up later and tomorrow will continue to
10 investigate and address some of the difficult
11 issues that we need to address.

12 One of the things that I did want to
13 bring up to you all is we did do a slight
14 reorganization within our office. Some of you may
15 have heard about it. Some of you may not have
16 heard about it. So let me put the questions to
17 bed a little better or bring up some discussion
18 here.

19 And what we did was we created two new
20 subdivisions within our organization. So we have
21 the Office of Electricity Delivery and Energy
22 Reliability.

1 And, no, I could not change the title of
2 the organization although I tried. I wanted to
3 shorten the name, but apparently that's attached
4 to the definition of the Assistant Secretary. So
5 it takes a presidential declaration to change the
6 name of the organization. Learned that lesson.

7 Anyways, what we did was wanted to
8 highlight different aspects of our organization
9 and bring it out prominently, and we can discuss
10 this further later on during the break.

11 But first of all, we still have our R&D
12 Division. We've renamed it Power Systems -- Power
13 Engineering Systems, Research and Development.
14 Wanted to really clarify that we wanted to work on
15 systems viewpoint and look at the applied nature
16 of the electric grid, so we just renamed our R&D
17 organization to bring more clarity.

18 Our Permitting, Siting and Analysis
19 Division we renamed as National Electricity
20 Delivery Division. And the reason we did that was
21 to try to bring in more of the policy and
22 larger-scale issues that we wanted to address from

1 that point of view, not just the activities that
2 we work on, which is permitting, siting and
3 analysis.

4 We separated out and created a new
5 organization that's looking at the Recovery Act
6 projects. So we call it the Smart Grid Investment
7 Program.

8 And I do apologize that I did not
9 realize it had the same initials as the Smart Grid
10 Interoperability Panel, but this is life. It's
11 the smart grid.

12 But what -- the reason we pulled that
13 out was it was very hard for us as an
14 organization. The Recovery Act takes a lot of
15 time and effort from our staff's point of view,
16 and it was needed to pull that out as a separate
17 organization so we could continue to concentrate
18 on what should be some of the research issues,
19 what should be some of the policy issues and
20 institutional issues. And the Recovery Act
21 activities were overwhelming all the work within
22 the organization.

1 We still have our Infrastructure
2 Security and Energy Restoration Division. That is
3 the same as it was before, looking at the

4 resiliency aspects of the energy sector, providing
5 our emergency response activities and a couple
6 other activities with coordination across the
7 federal government.

8 The last organization that we created
9 was a -- let's see. It's EIMA.

10 SPEAKER: Electric Infrastructure
11 Modeling and Analysis.

12 MS. HOFFMAN: Thank you. Electric
13 Infrastructure Modeling and Analysis.

14 We created a new organization, and the
15 purpose of that organization is to get at some of
16 the issues that we started talking about here,
17 which is the value of the data, the applications
18 of the data, utility analytics. I really like the
19 IEEE magazine that came out on utility analytics
20 and some of the realm of the art of the possible
21 when we start taking a hard look at some of the
22 information that's out there and what can we use

1 it for.

2 I think from the synchrophasor stuff,
3 we've learned that there are some really
4 insightful validation tools that can be developed
5 as well as we want to push that even further
6 because there is a lot of value out there that can
7 be achieved. If we can exchange the data, take a
8 hard look at the data, marry the data up with
9 other data such as weather patterns, et cetera, I
10 think there's a lot of value that can be obtained
11 from that.

12 So we increased our emphasis from the
13 data analytics as well as modeling, to look at
14 advanced tools, advanced applications, and so that
15 is the purpose of that organization is to continue
16 to drive the tools and the applications that were
17 asked of the Department to develop.

18 Now you'll notice that I did not mention
19 once that we created a cyber security
20 organization, which may be to the surprise of some
21 of you. And I have a fundamental philosophy that
22 cyber security has to be part of every R&D

1 activity, every piece of developmental work that
2 we do as an industry or as an organization. So,
3 whether I'm talking about a smart grid project at
4 the distribution level or a transmission project,
5 we have to think about the cyber security, the
6 security issues.

7 So I'm trying, and will continue to try,
8 to push really hard that cyber security and
9 security resiliency be inherent to everything that
10 we do. So that's why it is not pulled out as a
11 separate organization.

12 So that is a brief summary of the
13 reorganization. Like I said, it's like tweaking
14 of what we're doing but trying to really emphasize
15 some of our strengths and what we should be
16 working on.

17 As for priorities in the organization, I
18 think a lot of it will continue to grow from some
19 of the discussions that we have here. But, right
20 now, it goes back to continuing to support the
21 reliability, the resiliency of the electric grid,
22 the functionality.

1 I liked how Anjan posed that it seems
2 we're being pulled in many directions, that the
3 grid has to be it to everything and be all to all
4 the folks out there. So, in order to be all that
5 it can be, it has to support a lot of different
6 policies.

7 And that's, I think, where the struggle
8 is. We have a lot of interests out there with
9 respect to investment strategies, and we have to
10 ensure that we maintain reliability while looking
11 at the diversification of our generation fleet,
12 the changing mix of the generation fleet and some
13 of the stuff that Anjan talked about.

14 I like the way, Gordon, you presented
15 that what we are doing is looking at the
16 architecture and how do we balance that
17 architecture in the future. I made note of that
18 -- that that is in some ways how we're trying to
19 take a systems approach and saying, really, where
20 are some of the gaps and where do we need to move
21 forward to get additional value or efficiency out
22 of the system.

1 In some ways, we have started some
2 pilots, some pretty big pilots. I think with the
3 success of some of those programs, now the
4 question is, how do we implement and execute on a
5 larger scale? And that's where you're starting to
6 get some of the challenges for data sharing and
7 information sharing, data exchanges.

8 I'd like to -- and especially as we get
9 into the next generation EMS system, Mike, is
10 really take a hard look at how do we define
11 success because I find it interesting that people
12 define success differently. So that's one of the
13 things that we need to go forward of -- what does
14 success look like -- and that is a question that
15 we started asking as we were looking at the
16 synchrophasor program.

17 We will achieve visibility across the
18 system, but is that good enough? What else can we
19 do with that?

20 And I think the industry has rightfully
21 said that we can do more with this technology and
22 we should be developing more applications. But I

1 also want to make sure that we do it in a proper
2 timing so that we actually have all the
3 information sharing agreements, all the things in
4 place, that we're successful at the end.

5 So those are some of the things that I'm
6 looking at. I know there are a lot of other
7 priorities that we'll continue to talk about
8 throughout the day.

9 But I just really wanted to, number one,
10 extend my thank you for you all being here. It's
11 an important forum for discussions, and I value
12 your input. And so, I just wanted to say thanks.

13 MR. COWART: Thank you very much, Pat.
14 We know you do, and your support for the Committee
15 has been terrific, and it's been obvious.

16 MS. HOFFMAN: With that, we're up to a
17 break.

18 MR. COWART: That's right. I think
19 we're up to a break time, but I want to just give
20 members of the Committee the opportunity to
21 comment or respond.

22 Gordon.

1 MR. VAN WELIE: Gordon Van Welie,
2 ISO-New England. Pat, I was just curious about
3 how does the Grid Tech Team fit into that
4 organization structure. Does it cut across it?

5 MS. HOFFMAN: We primarily support the
6 Grid Tech Team with several members on the Tech
7 Team. The Tech Team is actually across the whole
8 Department of Energy.

9 So we have the renewable programs that
10 participate, the fossil programs. So I would say
11 that we are probably an implementer-executer of
12 some of the activities of the Grid Tech Team,
13 primarily driving the systems approach.

14 So, as the other organizations are
15 looking at how do we reduce the cost of, you know,
16 a solar panel our wind, our role is how do we
17 ensure functionality, reliability and support for
18 the electric system.

19 So we're technology-neutral, but we're
20 going to drive the recommendations from the Grid
21 Tech Team from the systems point of view.

22 MR. VAN WELIE: I'm still not 100

1 percent clear on that. Is the Grid Tech Team
2 reporting to you, or is it part of one of those
3 divisions, or is it something that sits outside
4 the matrix?

5 MS. HOFFMAN: It actually sits outside
6 of DOE.

7 MR. VAN WELIE: Okay.

8 MS. HOFFMAN: And because it's a
9 departmental activity, right now it's a team that
10 reports to what we call the Undersecretary of
11 Energy, so the S3's office.

12 MR. COWART: Okay, we are up to our
13 break. I'm sorry. Others want to comment. I'm
14 sorry I didn't see it.

15 MR. PETERS: Chris Peters, Intergy.
16 Pat, based on the enormous attention from a cyber
17 perspective with regarding grid security and what
18 you've seen through your analysis from your
19 maturity model, where do you see the future of DOE
20 from a cyber perspective, supporting the industry
21 and working with your other, I guess, peers, with
22 DHS and NERC?

1 MS. HOFFMAN: So let me address that a
2 little bit. Cyber security will continue to gain
3 importance, and we all need to focus on it. Where
4 we want to drive -- and it's probably very similar
5 to, I would say, the analogy of the synchrophasor
6 activities -- is how can we build more capability
7 within the industry and the information sharing
8 agreements so we can get ahead of the game on what
9 potentially is seen on the system. And I think
10 that's the core of having utilities on our
11 operators, TOs, ISOs -- really look at their
12 situational awareness tools and capabilities.

13 And we're going to continue to address
14 each of the domains of the maturity model and look
15 at what is the appropriate level of information
16 sharing and development in the industry sector
17 with each of those domains. My highest one focus
18 on right now is situational awareness.

19 With respect to the interagency and the
20 coordination point of view, what you'll see
21 emerging as the role of the Department of Energy
22 is going to focus on R&D. So, from a

1 white-listing point of view, how can we help
2 secure, look at the next generation system?

3 I guess the point I'll make here is
4 securing the electric grid does not mean hardening
5 it from adding stuff to it -- more plates of --
6 you know, from a security point of view. When
7 people talk about security, they say, well, we'll
8 just add another layer of protection on. I think
9 it looks at fundamentally looking at the
10 architecture of the system and how do we modernize
11 while securing.

12 And so, that's what our role is going to
13 be -- how do we continue to look at it from a cost
14 effective point of view, securing the system?

15 There's going to be tradeoffs, and so
16 part of the things that we're going to have to
17 help with are the decisions of what are some of
18 those tradeoffs. We talk about the states making
19 -- having to make -- some of those difficult
20 decisions from a prudence and investment point of
21 view. But we know that we have to say, okay, what
22 is the most important, cost effective -- or most

1 important investment from a cyber security point
2 of view and what are some of the tradeoffs?

3 There may be some risks that we're going
4 to have to accept in the system, but how do we
5 start to dialogue on that?

6 And so, through the maturity model and
7 through what I believe the role of the Department
8 of Energy is, to help with some of those decisions
9 as we continue to modernize.

10 Where DHS falls into play is probably
11 from some of the incident management point of
12 view. We do report to DHS when there is an
13 emergency under ESF-12 from a hurricane point of
14 view. I see a very similar structure evolving
15 from a cyber point of view to that type of
16 analogy.

17 So I hope that helps.

18 MR. COWART: Anything else?

19 (Pause)

20 MR. COWART: All right. We'll be on
21 break until 3:30. Thank you.

22 (Recess)

1 MR. COWART: Okay, dear friends, please
2 take your seats, and we will begin.

3 (Pause)

4 MR. COWART: Our next topic is a panel
5 on Next Generation Energy Management Systems, and
6 I'll just turn the gavel over to Mike Heyeck.

7 MR. HEYECK: Thank you. I know you are
8 all excited at this late time in the afternoon to
9 talk about the geek in me and the geek in these
10 folks, about the next generation EMS. This is the
11 energy management system. This is the grid
12 operating system.

13 Let me draw an analogy to the problem.
14 I'm in central Ohio, which is ground zero for the
15 national political campaigns. We are data rich
16 and information poor.

17 (Laughter)

18 MR. HEYECK: Well, Clark Gellings and I
19 were, a couple years ago, visiting Red Eléctrica
20 who is the Spanish grid operator, and the Spanish
21 grid operator said there are three fundamentals,
22 and I never forget it. One is interconnection

1 standards, the second is interconnection, and the
2 third is visualization.

3 Interconnection standards, because they
4 had a fault in northwest Spain and 2000 megawatts
5 of wind just dropped off like that.

6 Interconnection, because of the
7 intermittency, or the variability really, of the
8 energy source that they have. They have a lot in
9 the Iberian Peninsula, not just Spain but also
10 Portugal. My wife is Portuguese.

11 The intermittency and the variability
12 require interconnection. Well, they only have a
13 1,400-megawatt tie with France, and they're about
14 to build something which might bring that up to
15 3,000 megawatts, to France. Well, they're the
16 size of ERCOT, somewhere in the neighborhood of
17 60,000 megawatts.

18 So, interconnection standards are
19 important. Interconnection, the capacity of
20 interconnection is important.

21 And then, visualization. And we were in
22 their control center. Not unlike control centers

1 all over the world, they have a great video board
2 and there's a lot of visualization, but it's built
3 on the technologies that were developed many years
4 ago, in the sixties and the seventies.

5 So I'd like to leave that anecdote there
6 for a moment.

7 Another anecdote is Recommendation 13.
8 Oddly numbered, Recommendation 13 of the Blackout
9 Report of 2003 stated that the Department of
10 Energy is to grow the phasor measurement units.

11 Now this is 2003. Dave Nevius and I
12 would recall before the PC was born we were
13 talking about phasor measurement --
14 synchrophasors. There you go. And they produce a
15 lot more data -- again data rich -- a whole lot
16 more data than the old SCADA systems.

17 The old SCADA systems' data frequency is
18 measured in seconds, and the data frequency of
19 phasor measurement units are measured in
20 milliseconds.

21 And on October the 5th, Terry Boston was
22 at that meeting, and he mentioned that in PJM they

1 have a 163,000 control points that they manage.
2 163,000.

3 Then, Ralph Masiello said you might as
4 well add three zeroes to that because that's where
5 we're going to be.

6 Think about the pole-top photovoltaic.
7 Think about the EV. Think about the distribution
8 management systems with the magnitude of data that
9 they're going to provide. The system is going to
10 be inundated with not thousands, but millions, of
11 times what we're seeing today. So how does a grid
12 get managed?

13 Now I've been a grid operator for a long
14 time, and a transmission owner, but the grid is
15 just fascinating machine. It is balanced every
16 moment of every day to make sure load is balanced
17 with generation. That's the fundamental thing.

18 But think about the grid of the future.
19 Today the grid is a big mass of stuff. The big
20 masses that are spinning today provide you the
21 shock absorbers that we've been used to. Those
22 big masses are going to be retiring, and smaller

1 masses are going to take their place. But also
2 taking their place is going to be a lot of
3 information, a lot of power electronics and so on.

4 So are we replacing mass with speed?
5 The shock absorbers of the grid are going to be
6 challenged in the future because of the magnitude
7 of the issues that we're going to deal with.

8 Now let's step back from that. The grid
9 operators today have some systems out. They're
10 from either Siemens or Alstom or some ABB or other
11 players out there. There are not many players out
12 there providing EMS systems. There are not many
13 customers either.

14 The grid operators are bigger, and there
15 are not many customers. Therefore, their margins
16 are low.

17 If their margins are low, how would we
18 advance the technology that's going to be needed
19 to deal with all the equipment we have today, and
20 the data and the frequency of data by which it
21 transmits to the central points?

22 So what are we going to need? Well,

1 David Meyer came up before and talked about the
2 conundrum that we're going to be dealing with, and
3 that's funding. How do we fund this?

4 But first, I wanted to have this panel
5 of experts talk about the issue of the day, and
6 that is: What is -- what are the problems and
7 what's the vision of the grid and the energy
8 management system for the grid?

9 And then, we can talk about funding
10 afterward. And I encourage you to write some
11 notes down for these experts that we have, and let
12 me introduce each of them. First, we have Robin
13 Podmore. And, first of all, I want to thank
14 Gordon and Ralph Masiello and some of you for
15 providing these names to us. The amount of talent
16 we have here is could be added up and come up to a
17 century of experience.

18 I'm not talking about your ages. Robin
19 Podmore. From 1974 to 1976, he managed the Power
20 Systems Research Group at Systems Control, now
21 ABB, in Palo Alto, California. And from 1979 to
22 1990, he was Director and Founder of ESCA

1 Corporation, now Alstom Grid. Since 1990, he has
2 been Founder and President of IncSys.

3 He has more than 40 years of managerial
4 and technical experience in the development and
5 implementation of power industry computer
6 applications. For more than 20 years, he has been
7 working on making operator training simulators
8 affordable, available and usable for all power
9 system operators. The IncSys power system --
10 power simulator product is now used to train more
11 than 50 percent of North American Electric
12 Reliability Corporation's certified power system
13 operators.

14 Next, we have Petar Ristanovic. He's
15 Vice President of Technology with the California
16 ISO. He joined the ISO in 2010 and has more than
17 25 years of experience in the electric utility
18 industry. Besides overseeing all technology
19 functions for the ISO, he also leads the Program
20 Management Office.

21 His career includes developing
22 strategies for technology use, introducing new

1 technologies and power system applications,
2 developing and deploying advanced IT solutions and
3 system architectures, and implementing
4 large-scale, complex utility control centers.

5 Next, we have Tom O'Brien from PJM.
6 He's the Vice President of Information and
7 Technology Services. He joined PJM in April 2002
8 and is responsible for all aspects of PJM's
9 information technology services activities,
10 including integration and application services and
11 infrastructure operations. Additionally, he has
12 provided active leadership for implementation of
13 the Advance Control Center Program, including
14 oversight of creation of a new information and
15 application architecture for PJM's energy
16 management and market management systems.

17 Next, we have Eugene Litvinov. He's
18 from the ISO- New England. He's Chief
19 Technologist there. He's responsible for advanced
20 system and market solutions, smart grid and
21 technology strategy, and is a lead of the research
22 and development activities in the organization.

1 He has over 35 years of professional experience in
2 the area of power system modeling, analysis and
3 operations, electricity markets design,
4 implementation and operation and information
5 technology. He has extensive management and
6 technical leadership in large engineering and
7 information technology projects.

8 And I'm going to start with Robin, and
9 then we'll continue with the next three after he's
10 completed. What we're going to do is have them do
11 opening remarks, and then we'll have a Q&A session
12 afterwards.

13 Robin.

14 MR. PODMORE: Yeah, thank you very much,
15 Mike. And, clearly, it's a great honor to be
16 here, and I appreciate the chance to share my
17 thoughts.

18 So what I put together was a few slides
19 that cover the main questions, but one of the
20 things I wanted to point out is that even with the
21 smart grid and smart grid controllers it's not a
22 matter of when the control systems will break --

1 I'm sorry. It's not a matter of if they will
2 break; it's a matter of when. Okay.

3 Even the best technology at some point
4 is going to have some issues. And so, at that
5 point we're going to have to have even very smart
6 grid controllers in place, aren't we? The
7 generation of operators that we train has to be
8 excelling at dealing with these complex systems.

9 You can probably tell from my accent I
10 grew up in a place way south of here called New
11 Zealand and came to the U.S. in '74. And I never
12 dreamt I would be at an audience like this, and I
13 never dreamt that my son would join the Naval
14 Academy and go to the Marine Corps. So I am an
15 extremely patriotic American, and I love this
16 country down to my boots.

17 And the military are amazing, the way
18 they train, and I have drawn a lot of parallels.
19 The Marine Corps training and the Navy training
20 are the best in the world. And so, there is a way
21 to go forward, to really -- we have some of the
22 best minds in the industry and the best men and

1 women in this country, and we've got some very
2 interesting challenges.

3 So one of the initial question is, how
4 are we going to handle all this variable
5 generation, and not just the distributed, but the
6 centralized?

7 Basically, my proposal is let's do it in
8 two steps. Let's not try to get to 1,000 times
9 the number of points. A thousand times the number
10 of points basically takes you down to every
11 customer transformer, every -- and even into the
12 appliances in the home.

13 Let's just start out and go to the
14 feeder breaker. All right?

15 If we're going to model where all these
16 PV solar and local wind turbines are, we need know
17 at least what feeder breaker they're on. Right
18 now, most feeder distribution systems run
19 radially. So, if we aggregate at that level, then
20 we know exactly where those devices are.

21 I think the idea of DOE as a convener
22 and a stimulator is an excellent one. Secretary

1 Chu had us all thinking very deeply when he
2 mentioned that it's only a matter of time before
3 you can go to Wal-Mart and buy 5 kilowatts of
4 solar with built-in storage for \$2,000.

5 Everyone around the table, DOE has an
6 ability to see all the different pieces and
7 connect all the dots.

8 Everyone at the table, I think the fact
9 that virtually you have that ability to call the
10 experts together, from the executive to the
11 research level, and get us all thinking deeply.

12 How do we think deeply? Well, we can do
13 a certain amount of meetings like this, but it's
14 hard. The best way to think deeply is to build a
15 simulation. Okay, an accurate simulation.

16 So the proposal is let's build a model,
17 a master model of each interconnection, and let's
18 take it down to the feeder breaker.

19 Our top-down estimate -- we figure we're
20 getting close to 1,000 gigawatts a load at an
21 average of 2 megawatts per feeder, and we would
22 have 500,000 feeder breakers. That's not a very

1 big model when you look at Google Earth and Google
2 Maps do, is it?

3 And we have some real-time data we have
4 to get through, but in terms of building that
5 model there are no technical problems. There are
6 clearly institutional issues: Who's going to own
7 it, who's going to have access to it, and who will
8 be the lead?

9 The nice thing I think about the meeting
10 Anjan talked about is that the industry clearly
11 stepped up and said: Let's get a group that
12 represents reliability authorities and is not
13 involved with compliance, and let's put that group
14 together, and let's build one of those for the
15 Eastern Interconnection. We already have models
16 for the West. We have models for Texas, but we do
17 need to go down to the feeder breaker.

18 The breaker feeder level is essential
19 for restoration. You cannot do restoration at the
20 high level once high level. You've got to do it
21 feeder at a time, and so that's really important.

22 So, in terms of situational awareness --

1 I guess I could turn this on. Clearly, everyone
2 can hear me a little better now. But -- all
3 right.

4 Okay. There was another question.
5 What's the impact of PMUs?

6 PMUs can clearly give us a look at the
7 oscillations that are occurring in the system, but
8 the nice thing about PMUs is they can give us the
9 ability to accurately estimate the system topology
10 at the SCADA scan rates. The operator is not
11 going to be making decisions based upon data
12 bearing at 60 times a second. He's going to sit
13 back and take a few minutes to assess the
14 situation.

15 But right now, the energy management
16 systems are what I call fair weather applications.
17 They run really nicely when the weather is fair,
18 when you have all the data and the system is not
19 highly stressed.

20 We need applications that can run in the
21 really bad weather, when there's a storm coming
22 through. You've lost half your communications.

1 You've lost half your transmission equipment.
2 That means those applications have to be much more
3 robust.

4 The PMU data gives you -- tremendously
5 increases your redundancy to be able to determine
6 when something is out of service, when it's not
7 really service, and it can make those applications
8 really robust.

9 A good example is in the airline
10 industry we have wind shear warning systems.
11 There's a heads-up display if the pilot is coming
12 close to a wind shear. Massive calculations are
13 happening and giving that pilot the warning. We
14 need to have both that you're getting to the verge
15 of voltage collapse, the verge of stability
16 collapse.

17 We need to have a massive education
18 program. Most people in the airline industry know
19 why airplanes fall out of the sky -- when they go
20 too low or their angle attack is too high.

21 Only a small fraction of people in the
22 utility business understand that the power system

1 has certain limitations. If you push the power
2 across a transmission line, it's like a series of
3 rubber bands, that a disturbance -- yeah, we had
4 Senate hearings where people were saying, how
5 could something that started in Cleveland cause a
6 60 million person blackout? It's because the
7 power system is inherently unstable, and we have
8 to keep it running within close limits.

9 In terms of where -- so that's the idea
10 of having little pie charts that show how stressed
11 these various transmission lines are.

12 Looking down the road, we've heard the
13 comment that these distributor renewable devices
14 should help the system and not hurt the system and
15 having load control can help. Basically, 60
16 percent of the load in Los Angeles can be turned
17 off for about 5 minutes, and you wouldn't have too
18 big a complaint due to the thermal inertia. Think
19 about that.

20 All those single-phase air conditioners
21 can be turned off for five minutes. In that five
22 minutes, you can be starting up your

1 aeroderivative turbines. They can be up from zero
2 to full load in five minutes. You get those
3 turbines started up, and then you've got time to
4 figure out how to redispatch the system to make it
5 economic again.

6 So I'm encouraging people to once you
7 model down to the feeder breaker level you can be
8 seriously looking at how to do direct load control
9 and how to do this balancing.

10 So we have to deal with the system being
11 much more variable and, fortunately, due to the
12 price of gas being much lower than we thought,
13 we're going to have a much more responsive
14 generation source to deal with the fact that a lot
15 of the renewables cannot be directly controlled.

16 What's the road map for DOE? Continue
17 to convene meetings of industry leaders. Continue
18 to work on EMS R&D.

19 Many of our universities now are dealing
20 with a model called the IEEE 118 Bus, which
21 actually came, I think, from Mike's power system
22 when they owned -- the maximum voltage was 132 kV.

1 We need to have a set of tools that
2 researchers can use that are much more open.
3 We're proposing they should be hypothetical
4 systems. We cannot be giving -- our universities
5 are fantastic. They attract people from all over
6 the world but even from countries that don't like
7 us that much. So we need to be providing
8 researchers with hypothetical systems that are
9 outside of critical energy infrastructure
10 information.

11 Let's see. The idea of open-source
12 applications -- we've seen that take off with
13 things like Linux and Apache. I guess the
14 question is, where's the next Linus Torvalds of
15 this business going to come from? Okay.

16 We need to find -- I think we're at an
17 exciting point. We can be attracting the best
18 minds in the U.S., and those DOE laboratories can
19 be a tremendous proof of concept center.

20 This is the existing Electric
21 Infrastructure Operations Center at Pacific
22 Northwest Laboratories. That is nicer than a lot

1 of real control rooms, all right, in terms of the
2 projections and the consoles. And so, one of the
3 things that Pacific Northwest Labs has been doing
4 is bringing in real power system operators to work
5 with real, very detailed simulations of the grid
6 and train those operators there. So you get a
7 great combination of real operators working with
8 high powered researchers.

9 Let's see. The question came up too --
10 what's the role of standards and NERC?

11 Should we do standardization, or should
12 we do research first?

13 And we've had the whole question of data
14 versus models.

15 I believe the -- if we -- one thing that
16 came out of the 2003 blackout was the requirement
17 that every operator have 32 hours of training. We
18 had tools, trees and training as the three causes
19 for blackouts. As a result of that, the industry
20 all got around the idea of let's provide low cost
21 simulation- based training for system operators.
22 And if you do set a standard, then that encourages

1 the entire industry to get behind that standard
2 and drive down the cost.

3 So that -- I think the going rate right
4 now for the high fidelity simulator-based training
5 is about \$20 per operator per hour. That's a lot
6 less than you pay for baseball lessons. Okay.

7 So don't worry about the standards. You
8 can put the -- my point is put the standards in
9 place, and then the industry will innovate and
10 clearly drive down the cost.

11 And this shows some of the unique things
12 of people who have to be system operators -- high
13 stakes, high task loading, lots of uncertainty,
14 dynamic settings, multiple players, time stress,
15 organizational factors.

16 And, guess what? Many people who have
17 been in the -- if you've been in the military,
18 you've lived in those environments.

19 So I'd like to just make one -- we were
20 fortunate to get a DOE ARRA smart grid funding
21 award, and through that we have been recruiting,
22 training, certifying veterans for power industry

1 jobs. We've placed about 80 veterans, and we've
2 taken them from no jobs, no interviews, to
3 operating the grid with very, very good reviews
4 from their supervisors. So that's been a great --
5 yeah, a great reward.

6 So, with that, I think -- yeah, I've
7 covered the highlights, and I'm happy to hand it
8 over to the panel.

9 Thank you.

10 MR. RISTANOVIC: Good afternoon. Thank
11 you for the opportunity to talk today about this
12 important subject.

13 We pretty much have a common
14 understanding of what the problem is. The rapid
15 growth of renewable resources and distributed
16 generation and all these new electronic devices
17 is, at the same time, a great opportunity but a
18 new research challenge for us. So it's not that
19 we always see this as a big problem. We see also
20 some opportunities.

21 This change will drastically change
22 day-to-day operation of the system and not just

1 how we see it. We have to also understand that it
2 requires a change of some reliability standards
3 that we've been living with for so many years.

4 The traditional structure of the utility
5 business where we had clear distinctions in
6 generation, transmission and distribution may not
7 be appropriate for what's coming. If we just
8 think about that generation will show up at the
9 retail level and that we have to pull some
10 information from it to the wholesale level, it's
11 almost impossible to draw boundaries like we used
12 to and organize business around that.

13 These changes will come. Many states
14 have very aggressive goals to reach the renewable
15 standard. In California, we have a goal to reach
16 33 percent renewables by year 2020, without
17 counting hybrids. So it's going to happen, and we
18 have to get ready for that.

19 There are four main implications on what
20 we have to solve every day. Because of these
21 renewable resources distributed and concentrated,
22 we have a new variability in the system, which is

1 variability of supply in fuel supply which is
2 directly correlated to other factors.

3 Deployment of a large number of ideas
4 will present another challenge, which is a big
5 number of measurements, all this on a magnitude
6 higher than what we used to have. We were always
7 complaining that we didn't have enough information
8 to estimate the system. Now we have more than we
9 want. So we have to find a way to deal with that
10 without using excuses about size.

11 These devices, as Mike said, will change
12 the inertia of the system. Instead of a small
13 number of big pieces that have big inertia, you
14 have a large number of smaller pieces that have no
15 inertia. So, obviously, the dynamic problems in
16 the system become much more complex and have to be
17 dealt with in a very different way compared to
18 what we historically did.

19 The fourth biggest change which became
20 the biggest impact is that all this information
21 coming from the houses and retail level all the
22 way up to the DMS EMS systems will require use of

1 all kinds of communication channels which will
2 magnify the goal of securing those channels
3 because a lot of information going up and down
4 will be very proprietary, private, confidential
5 information that has to be protected. We never
6 had anything like that before. We had always had
7 dedicated security channels between our control
8 centers and whatever we were controlling or
9 monitoring in the field.

10 These new challenges, or new
11 opportunities, or combination of challenges and
12 opportunities, requires changes in at least three
13 areas: We have to look for new EMS architecture.
14 We have to think about situational awareness in a
15 way that's never been thought about before. And
16 we need new, improved EMS software tools.

17 Today's EMS platforms are not designed
18 for high data volume capability and flexibility
19 that new transformers will require. Although
20 major EMS vendor systems were following a well
21 defined technology upgrade in the last 20 or 30
22 years, they never fundamentally changed their

1 underlying architecture because they didn't have
2 to. Now this new requirement will require
3 fundamental change of that EMS architecture.

4 If we construct a new EMS system on well
5 defined function and components, we may achieve
6 that required flexibility level. In order to
7 separate those flexible components from the
8 platform, we really have to define some new what
9 we call EMS platform services and build them in a
10 way that they become commodity. So vendors can
11 focus on high level services and functional
12 components and not on technology or vendor
13 architecture update.

14 And there are platforms like that. I
15 mean, we just need to look into e-commerce.
16 E-commerce is solving problems like this, meaning
17 size and volume of information that has to be
18 processed. So we just need to learn and deploy
19 those best e-commerce practices in our space, and
20 we will have probably a very good platform.

21 What is different between our system and
22 these e-commerce systems is that if you are down

1 it's not just that a customer cannot buy a book or
2 their Visa is not working because they can delay
3 that and do it a little bit later. If we are
4 down, we can have big implications on the supply
5 of energy.

6 And I am assuming that even with all
7 these new changes we will still follow the model
8 of electricity all the time, not electricity when
9 you need it. So we have to be operating at a high
10 59s or 49s availability number.

11 So this system has to be designed to be
12 resilient. And resilient doesn't always mean
13 hardened. If you look into the outage of 2003 and
14 the latest outage we had in California on
15 September 8th of last year, those are two
16 circumstances where those uninvolves which they
17 were not interconnected because we build these
18 interconnections to deal with frequency problems.

19 If something is an outage, something
20 else will pick up the distribution and stay alive.
21 But if you have an outage that causes a cascade of
22 thermal overload of the transmission system, that

1 propagates very fast in a wide area and you have a
2 larger blackout. So we have to have systems that
3 will survive events like that, not just frequency
4 deviation.

5 The new EMS platform that we are looking
6 for needs to be based on standards -- industry
7 standards based on models and interfaces.

8 When I say it's not a model interface, a
9 standard data model is something that you know is
10 enough to represent all the elements of the system
11 you're trying to monitor. But you also need to
12 define standard functional components that we know
13 change in the future and between those standard
14 functional components, so we can enable
15 competition among the providers of the system.

16 As Robin said, even with the most
17 advanced EMS system, the most advanced
18 architecture, the smartest grid, there are
19 situations that the system will go down. There
20 are situations that software cannot handle. There
21 are situations that may not be avoidable, and
22 software can't handle them.

1 So we have to accept the fact that we
2 are expecting the plane that you are flying may go
3 down. We just need to build systems that will
4 minimize these events. And what is equally
5 important, or more important, is when we go down
6 we need systems that will provide tools to
7 minimize how long we are down because if you have
8 an outage of, let's say, 5,000 megawatts in a load
9 and it lasts 1 hour, it's not as bad as having
10 3,000 megawatts for 10 hours because implications
11 are much larger if the time that we are down is
12 longer.

13 So we don't have good tools today, and
14 we will need tools like that today because this
15 smart grid will introduce some kind of
16 intermittency and instability in the system that
17 will increase the likelihood of going down.

18 Now, situational awareness. Too
19 frequently we think about situational awareness as
20 these nice graphical charts where we can see these
21 counterdiagrams and present a very large amount of
22 information in a nice graphical way so people can

1 get the idea of what's happening in the system.
2 That's a big step. That's a very important step,
3 but that's just scratching the surface of
4 situational awareness.

5 So we say the operator, instead of
6 scrolling through thousands of pages of data, this
7 place now has a big map, has colors and he can
8 quickly narrow down where to look. But that's
9 just looking at where we are.

10 And I saw the example of driving a car,
11 and you know, that's how my wife was driving a
12 car. She was always in front of the car, and then
13 we made a big improvement that she looks like 100
14 yards ahead of the car because that 100 yards will
15 come.

16 So we need something like that. We need
17 something like that in our EMS system where you
18 know where you are coming from, what is the recent
19 past, because there may be some trend built in
20 that recent past. You need to know where you are,
21 but it's most important to know where you may go
22 and, depending on those critical scenarios, what

1 situational awareness? All these graphical tools
2 are an important big step, but we have to have
3 better integration between real-time operation
4 tools, planning tools and short-term operational
5 planning tools in the way that will give the
6 operator this true situational awareness, where
7 you know where you're coming from, you know where
8 you are, you know where your system may be going,
9 what's the difference, and if you run into some of
10 those critical trends, what you need to do.

11 Many things that we do in the system,
12 and especially for situational awareness, are
13 directly leading to forecasting because in order
14 to anticipate where you are going you have to
15 forecast the system ahead. And there are a few
16 things you need to forecast. What we used to have
17 in traditional forecasting is just one of many
18 things we need to forecast.

19 Because of some of these devices, like
20 you take rooftop solar devices, you don't have
21 visibility because nobody is going to put AMI on
22 the rooftop solar, even with all this

1 proliferation of the smart grid. So it's not
2 reasonable to you, but it's part of the load. So
3 that's going to make the problem of forecasting
4 very difficult to solve.

5 In addition to that, our traditional way
6 of forecasting reserves is not going to work
7 anymore because we said before I have largest
8 generation, largest load. The biggest of these
9 three is my reserve. It's not going to work like
10 that.

11 You may have like this Red Eléctrica
12 case. You may have a drop in the renewable
13 production that is a couple of times larger than
14 the largest generator you have in the system, the
15 largest inter (inaudible). And it does not happen
16 suddenly. It happens in 15 minutes. But the
17 impact on the system is the same. In 10 to 15
18 minutes, you may have to have 5 or 6 thousand
19 megawatts of ramping to recover from that.

20 So low forecasting and forecasting in
21 general have to improve significantly for us to
22 handle this transformed grid.

1 Something about how we get there -- the
2 EMS business on the surface is not competitive.
3 In the last 20 years -- I was on the dark side for
4 more than 20 years -- it went down a couple of
5 times. So what used to be a system of, let's say,
6 15 or 20 million dollars, today is 3 to 5 million
7 dollars. So, in 20 years you have a 3 or 4 times
8 reduction in the price of the system because of
9 competition, whatever. Salaries for people
10 building the system didn't go down. So these
11 companies really have limited possibilities to
12 introduce true innovation.

13 And there are limited players. There
14 are three or four global companies. And they have
15 platforms that are very difficult for third party
16 providers of software to provide the elements that
17 you can come into those platforms.

18 And then, customers are very reluctant
19 to change their provider because it's very
20 expensive to bring the system up once. And
21 they're not designed for seamless migration to
22 other vendor systems. They introduce a lot of

1 customization into the system. So it's a very
2 unusual situation that a customer changes its EMS
3 provider.

4 So there is no incentive, or a big
5 incentive, for vendors to introduce true
6 innovation. So they are following technology
7 changes like new versions of databases and things
8 like that, but they're not fundamentally changing
9 the system nor adding new functionality.

10 So the big -- I firmly believe the best
11 way to introduce innovation is competition, but
12 the big question is how to open that whole
13 business for competition.

14 And I believe the way to do that is to
15 build a standard platform based on standards with
16 standards industry services, what we used to call
17 plug-and-play, to define very clearly function
18 (inaudible) Seagray effort, and have vendors,
19 small and big, compete so we as customers can
20 change this part of -- where we change our grid.
21 I call it upgrade the system every like 8 to 10
22 years to something where we can incrementally

1 improve our system every year, but every 2 or 3
2 years, without being forced to always go with the
3 same vendor. We can get the best that is
4 available on the market.

5 I think that's something that, you know,
6 if you help us get there. And I have spent
7 probably a good 18 years trying to achieve this
8 through many different organizational standards.

9 At the end, I think the biggest move is
10 when my company -- I worked for Siemens -- got the
11 project with PJM. We built AC2. That was a big
12 step. And I'm trying to do something similar in
13 California ISO, following the same idea about
14 standard platform, standard services, standard
15 functional components, and I am firmly confirmed
16 that's the way to go.

17 MR. O'BRIEN: Okay. I'd like to thank
18 the EAC as well for the opportunity to talk a
19 little bit.

20 And it was interesting listening to the
21 conversations earlier in the morning and also
22 listening to the panelists. There's a lot of

1 commonality in terms of themes and things that we
2 need to work through.

3 And there's something that Petar said,
4 that I thought I would lighten up the moment -- is
5 there was a -- he referenced plug-and-play.

6 And years ago, I was at a conference,
7 and Scott McNealy, who was the CEO for Sun, had a
8 long battle with Bill Gates over Microsoft.
9 Microsoft was always plug-and-play.

10 And Scott came in front of an audience.
11 He said, we're going to do something different
12 here at Sun. We're going to do plug-and-work
13 rather than plug-and-play.

14 So I would like to kind of add that to
15 it. I think really the theme behind some of the
16 things that we're talking about is really how do
17 you make all this work within the context of
18 everything that is changing.

19 What I'm going to cover here is a little
20 bit about the evolution that we're all faced with
21 right now, and I won't go into it too much because
22 we've really covered quite a bit of it. But I do

1 want to spend some time talking about extending
2 the integration architecture because that is one
3 of the key things where I think additional
4 research, and I'll also talk a little bit about
5 standards as well in that.

6 I want to talk about this notion of big
7 data. I'll be honest with you; I hate the term.
8 Big data is a term that just confuses everybody.
9 But there are lots and lots of data out there,
10 mammoth amounts of data that we need to manage and
11 we need to work to, and I think R&D is a big piece
12 of helping us get there.

13 And then, finally, I'll talk a little
14 bit about PMUs, and then I'd like to pull it all
15 together with what I see as some of the key areas
16 in the road map.

17 I won't spend much time here, but in the
18 end the evolution of the EMS has to support the
19 key business trends, and this slide is right out
20 of the PJM corporate strategy that we had
21 developed and is posted on our website. But I
22 think it fits very well with what everybody

1 covered here, and I'm going to start at the left.

2 The whole transition to gas is huge.

3 It's, you know, the whole shale gale. If Terry
4 Boston were here, he would say this is maybe our
5 first chance at energy independence in the U.S.
6 depending on where it goes.

7 But there's a lot of opportunity with
8 shale gas. It's not everything. I think we would
9 be the first to say that you want a portfolio of
10 investments, but with the forward price of gas and
11 the amount of supply, it has huge, huge impacts.

12 Additionally, that's leading to the
13 integration of new infrastructure. I will not go
14 into all of that because we've talked about
15 renewables, wind, micro grids and all of that.
16 But all of that has an impact to our control
17 systems and impact to our EMS systems and,
18 ultimately, an impact to our integration
19 architecture, which I'll talk about.

20 The one thing that we didn't talk a
21 whole lot about, but I think is also part of the
22 play, is this notion of responsive load. Most of

1 us that grew up in the industry -- it was always
2 generation chasing load. Now we're getting into a
3 world where load is starting to follow gen and
4 looking at it very differently.

5 And I think Petar referenced the notion
6 of load forecasting. Well, that adds a whole new
7 mix to how you do load forecasting. It gets into
8 behavior rather than just neural nets, with
9 weather being the key thing, but a lot to do
10 there.

11 The one thing I do want to really
12 highlight on this slide because we haven't talked
13 about it a lot is this notion of managing cyber
14 security. And I can tell you from my perspective
15 this is real. This is something really serious
16 and something we all need to focus on, and we need
17 to continue investment on.

18 It would take too long to get into
19 everything that we need to do here. But at the
20 end of the day there were some comments that, yes,
21 we've got to stop the bad guys from getting in,
22 and that's the traditional prevention controls.

1 And, yes, we must stop the bad guys from getting
2 in.

3 Secondly, what do we do when the bad
4 guys do get in? It's the whole resiliency play.
5 A lot of it is playing out right now in the media
6 relative to outside of our industry. And what are
7 we going to do when it happens in our area?

8 And, finally, in cyber security, I think
9 one of the greatest opportunities is the
10 collaboration we can have across industries, with
11 the government, with education. There's a lot of
12 opportunity there.

13 I promise I won't talk about all of
14 this. Okay. But I wanted to use this slide kind
15 of as a springboard for the integration
16 architecture.

17 You know, we all grew up with these
18 monolithic EMS applications that really just
19 talked inside their own box. At that point in
20 time, it was fine. It worked fine. But we've
21 really come into a world right now where, with all
22 the changes that we're facing, one big monolithic

1 system doesn't work.

2 And a couple points that I want to talk
3 about here is the first one -- again, it's a
4 reference to what Petar had mentioned as well, but
5 the information model manager. Okay.

6 I think one area of investment is really
7 around model management, and it is bringing
8 together the operations models, the planning
9 models and the market models. And they're all
10 different, and they're all different for good
11 reasons, and they will probably always be
12 different. But from a standpoint of a common
13 source model that you can use to power future
14 applications is really important because some of
15 the things that prevent us from driving innovation
16 is every application needs a model.

17 And how do you make sure that that model
18 is right? How do you make sure that it's up to
19 date? I won't get into all of that, but that, I
20 think, is an area for investment and making sure
21 that our models can get us where we need to be.

22 There's an application up here --

1 intelligent event processing, which was part of
2 our advanced control center program where we had
3 put that application in place. It's the tip of
4 the iceberg. It's not the end-all, but it's
5 something where we're looking at how do you look
6 at events that are running across all of these
7 platforms, not just the EMS but the markets
8 running across other ISOs.

9 How can you look at those events and
10 manage? And that intelligent event processor
11 needs a model as well. So, which model is it
12 going to use? But I think that is an example of
13 some of the analytics that we really need to be
14 focusing on. We reference this notion of shared
15 architecture components. In short, we really want
16 to drive the vendors not to be investing all their
17 dollars in plumbing. We'd rather have them
18 investing their dollars in new applications and
19 innovation. The problem we have today is they're
20 all investing money in the plumbing. And, if we
21 can develop common services that can be used
22 across applications, you're not reinventing it all

1 the time.

2 The last thing that I'll say on this
3 slide -- and it's at the bottom right -- is this
4 notion of information storage. And I've got
5 another slide that's going to actually touch on
6 that.

7 But it's huge -- and I'll actually go to
8 that slide right now -- and it's kind of the
9 notion of breaking down all the silos.

10 There was the reference that Terry
11 Boston had made about the 160,000 control points
12 in our current system. Tens of millions of
13 control points at the home in the distribution
14 level -- and we're not even talking about PMUs
15 yet. Okay.

16 PMUs are enormous amounts of subsecond
17 data, and figuring out how do you store it and how
18 do you manage and how do you write applications
19 with that.

20 I think when we look at the network
21 model across all of this there are two things that
22 are clear. The model is going to get broader, and

1 the model is going to deeper. And we need to be
2 looking at technology and working with not just
3 our systems engineers but with the technologists
4 from companies that are not typically the big
5 three or big four in the EMS world.

6 But there's a lot going on around
7 technology with massive memory management. How do
8 we pull some of that into the work that we're
9 doing?

10 The one thing that we talked a lot about
11 was this notion of synchrophasors. And this slide
12 is not a pure slide from an exact timeline
13 perspective, but it's really looking at PMUs.

14 And I think Robin made the comment -- I
15 think it was you, Robin -- that PMUs have been
16 around for 25 years and there's nothing new about
17 PMUs. Okay. We just didn't have the opportunity
18 to pull it all together.

19 And I think with the DOE stimulus
20 funding it allowed us to actually get the PMUs in
21 service and start collecting data. Now what we
22 really need to spend a lot of time on is how do we

1 utilize that information. That's another area of,
2 I believe, research.

3 And I don't believe it's just what
4 applications do we need to write. I think there
5 are new applications that nobody even thought
6 about yet relative to PMUs. And until we get the
7 smart power systems engineers, the smart
8 technologists and the smart people in the
9 operations room and some academia to really come
10 together and look at those correlations, look at
11 those events and figure out what do I do with it
12 in the control room because the value of the PMUs
13 is going to be how can I prevent an outage, not
14 how do I analyze what happened. So I think that's
15 a huge opportunity for us.

16 I'm going to close with a couple of
17 things, and it's really the EMS of the future,
18 keeping the power in balance and actually -- I
19 kind of actually plagiarized the slide we had at
20 PJM, and I kind of changed it around.

21 But at the end of the day, if you look
22 at the left and we look at the -- supply is

1 evolving. It's not PJM's job; it's not anybody's
2 job necessarily, to pick the winners of who's
3 going to win demand response, who's going to win
4 solar, who's going to win gas. But it is our job
5 to figure out how do we keep that power in balance
6 and what is this architecture that we're going to
7 put in place that's going to help us keep that in
8 balance.

9 I'd like to leave you with the things
10 for investment from my perspective:

11 Again, strong integration platform that
12 can be supported and maintained.

13 Strong collaboration with industry
14 experts. It's not -- there isn't one company or
15 one entity that has all of the answers. A lot of
16 the value is going to come in strong
17 collaboration.

18 I do believe that the EMS industry is
19 way underserved when it comes to this data
20 analytics. I think there's a whole lot going on,
21 well beyond the energy industry, around data
22 analytics that we can learn from. And I think

1 PMUs will be the thing that actually throws us
2 into that world.

3 The thing I didn't reference, but my
4 colleagues here did, was the notion of situational
5 awareness. I think situational awareness is
6 something that it isn't one thing. It isn't just
7 sharing displays between ISOs. That's one thing.
8 That's one piece.

9 It's really how do you look at the
10 situation and how do you look at it in different
11 time frames. It's the situation that's happening
12 in the moment. It's the situation that you expect
13 10 or 15 minutes from now. And it's the situation
14 that you expect in the next day.

15 I think that really comes down to how do
16 we share data, how do we have data models that are
17 somewhat consistent that they can be shared across
18 regions -- and they can respect regional
19 differences -- and we can still get to a level of
20 standards that allows us to do that.

21 Finally, with standards -- and I've made
22 this case a few other places and a few other

1 times. And I may be an island here, but I'll make
2 it anyway.

3 I don't believe there's a single answer
4 that says, hey, pull everybody in a room and let's
5 develop standards. I also don't think there's an
6 answer that says, hey, everybody go off and do
7 your own thing.

8 I think the reality of it is that
9 success is going to come in iterations between
10 standards and implementations. Standards and
11 implementations, and we need to QA our standards
12 by the implementations. And if we don't have
13 standards that we can actually implement and are
14 being implemented and are improving us, then we're
15 not getting to where we need to be.

16 Last thing I'll close with is cyber
17 security. We need to continue investment for the
18 next few years in cyber security. I think the
19 industry has to catch up, and it's going to be a
20 chase.

21 And I'll just leave you with, again,
22 prevention, resiliency and make sure that we're

1 collaborating.

2 Thank you.

3 MR. LITVINOV: Where is it? Oh, I don't
4 see my presentation.

5 SPEAKER: Is yours in Adobe?

6 MR. LITVINOV: It's Adobe, yes. Oh, I'm
7 looking at -- sorry. I was trying to find a PPT
8 that I don't have. Good afternoon. I'd like to
9 join my colleagues with a thank you for being
10 ready to listen to technical people. And being
11 the last panelists gives me the benefit of not
12 repeating what others said and maybe being able to
13 express my thoughts that I otherwise may not have
14 time to express.

15 So the question that I'd like to ask is,
16 why all of a sudden are we talking about the new
17 generation of EMS?

18 Being a vendor of two first generations
19 of EMS and now on the utility, spending about 20
20 years on the utility side, what I'm trying to
21 capture is what causes us to actually think that
22 we need a new generation of EMS and what it is.

1 And then, I'm going to talk about several
2 directions that EMS can take, and then, as I was
3 asked, my last slide would be how I can see the
4 road map to building a new generation of EMS.

5 So I think there are two major things
6 that cause us to think about the new generation.

7 One is we have a breakthrough in
8 computational capabilities, and a technology that
9 we have today and a thing that we could not do in
10 the first maybe 20 or 40 years ago are now very
11 easy to do. So there's a lot of people in the
12 industry now that could easily create new
13 computational engines that used to be prerogative
14 only for the big EMS vendors.

15 It is much easier now, instead of
16 starting everything from scratch, reducing some
17 very common libraries, mathematical libraries, to
18 build really efficient software. But the problem
19 is that it's not easy to get it into EMS. And
20 I'll talk a little bit about this.

21 And the second one, as we all discussed
22 today, is our business is changing. The system

1 that we operate today, in 10, 15 years may look
2 completely differently.

3 And one thing we don't necessarily know
4 is how that's going to look because we haven't
5 made up our mind as an industry what the
6 architecture of the official system is going to
7 look like. Is it a bunch of micro grids, a fully
8 decentralized system, or is it a very rigid,
9 large, interconnected, meshed backbone that we
10 operate, or something in the middle? And that's
11 something that we have to decide.

12 How much is centralized versus
13 decentralized control we can now allow for our
14 system?

15 We've been operating the system in a
16 mode that we are trying to prevent everything. We
17 want to prevent blackout, but we have to learn
18 that it's impossible to prevent blackouts.
19 They're going to happen. So what we have to learn
20 is how to react quickly to these blackouts and
21 make sure that we can quick recover this.

22 I was very pleased to see that more and

1 more people talk, in addition to reliability,
2 about the durability and resilience of the system
3 which I define as early detection and very fast
4 recovery versus trying to prevent everything up
5 front. And that's a very big change in the
6 paradigm of system control that we have today in
7 the system.

8 We also deal with different concepts of
9 contingency. Today, or before today, we always
10 dealt with binary contingency -- something either
11 in or out. Now we're talking about probability
12 distribution of different things that could
13 happen. The wind could come up with 70 percent
14 probability, with 20 percent probability, or 90.
15 So we have a whole distribution of things that
16 could happen versus binary line, in generation and
17 out.

18 And it's a very different reaction of
19 the system when you have to ramp -- if you have a
20 wind ramping 3,000 megawatts within 20 minutes,
21 it's a very different way of following that rather
22 than just reacting on something that was just

1 dropping out of service.

2 And everybody talked about wide area
3 situational awareness. I'm going to talk a little
4 bit about this. I also believe that dealing with
5 such uncertainty in the system as we're going to
6 have to face in the future, we need a decision
7 support system as a core subsystem of a future EMS
8 that we don't have today, and definitely new
9 applications.

10 So, in order to make up time, I'm going
11 to try to be a little bit faster.

12 So I talked about the system, that it's
13 easy now to develop computational components, but
14 it's very difficult to put them in. The problem
15 is our today's EMS is not integration-friendly.
16 It's maybe getting cheaper and cheaper every year
17 to buy EMS, but it's very difficult to integrate
18 it into your system.

19 If it used to be a very isolated system
20 only operating your power system, now it's a
21 system that is part of your enterprise
22 architecture. It's connected to the markets. It

1 is connected to your back office systems, and so
2 on and so forth. And it's impossible to implement
3 an EMS now in isolation. So not being
4 integration-friendly and platform- independent, it
5 makes it very difficult.

6 It's also very difficult for the small
7 vendors of the software, or even sometimes
8 superior software, to compete with large, big --
9 the three big vendors.

10 We're still using proprietary databases
11 in some of the vendors. We are not making use of
12 decentralized or distributed processing yet. With
13 so much proliferation of IEG substations --
14 intelligent electronic devices -- there is an
15 opportunity for us to use a lot more distributed
16 processing and saving time in transferring data
17 and processing data.

18 People mentioned common components that
19 we have to do.

20 Another thing I'd like to mention is we
21 have, again, a proprietary layer of presentation.
22 So the operators are used to always seeing things

1 through the interface in EMS, and EMS gives very,
2 very limited presentation capabilities. So,
3 instead, we should pull out all the presentation
4 from the EMS proprietary environment into the
5 layer that allows us to architecturally build and
6 make use of all kind of different capabilities
7 that information technology offers today.

8 People talked about standards, high
9 performance computing, and cloud computing comes
10 up. In fact, we did experiment with some of the
11 highly computational set of tests, and we ran
12 N-1-1 continuously for almost 5 -- less than \$5
13 per hour. So we have to figure out, with vendors,
14 new licensing models for things working in the
15 cloud.

16 So, at the end, the architecture should
17 be created in order to enable open competition.

18 The situational awareness has to do with
19 ability not only to anticipate what things could
20 happen but to have a wider view of the system
21 because now a lot more could affect the operation
22 of a specific region.

1 And, as part of it, we have to create
2 intelligent alarm systems based on contemporary
3 data mining techniques.

4 We need to create a complex event
5 processing system that would collect. And we do
6 have that. It's not something that we're dreaming
7 of -- a repository of all the events in one place.
8 Then, it can build on top of this system that
9 would be able to process complex events.

10 We need automatic vulnerability
11 assessment and detection of the events in order to
12 be able to react on something that happens much
13 faster than we can follow.

14 We talked about a lot of distributed
15 resources across the system. My co-panelists were
16 talking about us losing the line between
17 distribution and transmission. So really now, if
18 we used to be always aware of the perimeter of our
19 system that we operate on the transmission side,
20 that perimeter is blurring. And what happens is
21 we need to know what's happening. We can't ignore
22 anymore what's happening on the distribution side.

1 So EMS and DMS integration is crucial
2 because DMS would deliver to us that information
3 that we don't really observe. And also, we can
4 coordinate different applications between EMS and
5 DMS on the distribution and transmission side.

6 We also need to create standards for
7 visualization in terms of really the look and feel
8 of the system. So, instead of very complicated
9 data model exchange, which is sometimes needed for
10 calculation, it's much easier sometimes to just
11 exchange the views, the images.

12 But if my image is exactly the same
13 conventions and colors and view as my neighbor's,
14 by just giving the image of what they see will
15 make it much easier to be aware of what is going
16 on in my neighboring system. So it's image
17 exchange versus data exchange.

18 We're also not so far away from creating
19 a national allocation registration where we
20 register all major allocations we can observe.
21 And then based on this, it is actually possible
22 technologically to build an interregional cloud or

1 a base SCADA. So, instead of creating a network
2 of exchanging data, we can pull this data from
3 some national or interregional depository.

4 I'm letting myself think. If you don't
5 think out of traditional ways, we will never build
6 something new. Whether that's the new generation,
7 we need to be able to fantasize on that. But, in
8 fact, what people do today in other technologies
9 and industries is amazing, and we have to use it.

10 Clark Gellings has been talking about
11 this for 10 years, that it's a shame that our NG
12 investment in our industries is like second to the
13 last after pet food. It's really very difficult
14 to work in this environment.

15 Also, observation of the neighboring
16 infrastructure -- weather, gas, telecommunication
17 and IT. Today, for example, if it's we're only
18 considering electrical contingency, tomorrow I
19 can't ignore, for example, loss of some
20 information technology component because it would
21 have the same effect on power systems. It used to
22 be just power system or a large transmission loss

1 because of the proliferation of information
2 technology.

3 And also, we need compliance in today's
4 business. Decision support system -- we talked a
5 little bit about forecast. It's very important to
6 bring a new set of tools that make use of new
7 approaches to optimization, stochastic and robust
8 optimization methods. Instead of using all this
9 preventive, we need to get to understand how we
10 actually put a risk-based optimal power flow
11 rather than a preventive one.

12 We need to understand how to analyze and
13 try to predict cascading failure, and there is
14 some research and development going in this area.

15 How to calculate corrective actions --
16 we also require now to provide more timely the
17 calculation of online stability limits because
18 they are feeding into our markets.

19 Important again, adaptive external
20 network modeling and management because we can't
21 really use the same model all the time, if you
22 want to talk about online stability calculation.

1 And online system restoration with the
2 help of PMU is a task that we have to look into.

3 So what I -- the way I see the road map
4 -- and again, I'm not absolutely clear what kind
5 of road you could take, so whether it should
6 interfere in the technical or R&D side or much
7 wider, on the policy side. But being a technical
8 person, I'm kind of looking at this as the more
9 technical side.

10 So, first of all, I think if we do want
11 to invest some money into moving to next
12 generation EMS and being talking about being
13 noncompetitive and having only environment, only
14 three vendors by themselves would never do that.
15 They don't really have enough incentive for the
16 major R&D in this area.

17 It's good to establish a small team of
18 experts that would develop high level functional
19 specifications and requirements for a new EMS:
20 What do we mean by a new EMS, how do we see the
21 future system, what the major functions and
22 components are, whether we have new performance

1 and capacity requirements and then define standard
2 interfaces.

3 Then we need to probably review it by a
4 wider industrial group and try to map that vision
5 into a contemporary IT architecture.

6 Once we do that, I think it would be a
7 great idea to get out-of-industry IT experts to
8 look at it and say, hey, we've been doing it for
9 years. You guys are so behind us. I've heard
10 that before. And so, understand that where we
11 stand as an industry among other contemporary IT
12 achievements that we have.

13 Then develop a transition plan from
14 where we are to where we need to be, determine R&D
15 needs and fund them if possible, and then
16 stimulate the new application development. It's a
17 big number of very capable labs that were kind of
18 staying away somewhat from the industry and now
19 getting back. I'm in contact with almost every
20 laboratory today that is trying to get into power
21 industry R&D.

22 And then, run some pilots and see what

1 happens. And, thank you. Did I make in time?

2 Great.

3 MR. HEYECK: I want to thank the
4 panelists here. Just a notation, if we were the
5 air traffic control industry and three years from
6 now the planes would number by a thousand-fold,
7 what would we do with the air traffic control
8 system? This is the gap that was presented today.

9 And I'm going to entertain some
10 questions at this time.

11 Rich, would you like to take the gavel
12 on this?

13 MR. COWART: All right, that's fine.
14 You didn't have some leading questions for the
15 panelists?

16 MR. HEYECK: I think the panelists were
17 very efficient in answering them.

18 MR. COWART: Okay.

19 MR. HEYECK: There is one question I
20 will have, but I wanted to get into dialogue with
21 the audience first.

22 MR. COWART: Okay, that's great. Let's

1 start with Pat Hoffman.

2 MS. HOFFMAN: You can --

3 MR. COWART: You win.

4 MS. HOFFMAN: I am privileged. Thank
5 you. First of all, excellent set of
6 presentations. I appreciate all the thoughts and
7 comments that were presented. One of the key
8 things is how do we get to where we want to be. I
9 mean, some of you talked about open-source
10 applications and one of the challenges getting the
11 industry and community around asking for and being
12 able to have platforms that are interoperable but
13 also open-source based. And I think that's a
14 challenge.

15 And I was curious on the first question
16 on how you would get there.

17 The second thing is I noticed we talked
18 about researchers and -- I'm sorry. I think it
19 was Petar that brought up -- I might be wrong on
20 that. One of the speakers brought up that we
21 should have a different system for researchers to
22 look at, a hypothetical system.

1 And I guess I've been challenged because
2 I think there's been a lot of great projects that
3 researchers have done in collaboration with
4 utilities and using I won't say real-time data but
5 at least a segment of data on the system, whether
6 it's historical data or otherwise, to really help
7 us analyze what's happening. And I found that
8 those projects have been extremely valuable in
9 allowing researchers to work with utilities.

10 So my comment is that research must be
11 done differently, I think, in partnership.

12 The third thing that I guess I would --
13 it goes back to a line towards what do people
14 think about cloud technology and use in the
15 utility atmosphere and maybe becomes a utility
16 cloud. I like some of the thoughts there.

17 A question for Eugene is you said
18 risk-based OPF. How do you define risk? Is that
19 more contingency-based or otherwise, from your
20 slide there?

21 And then, the last comment that I guess
22 from a state's point of view. I think also the

1 states can help with driving the coordination and
2 interoperability of platforms.

3 I bring this up, but I'm not sure
4 whether I should or not. But I know one of the
5 smart grid demonstration projects actually has all
6 the utilities within a state, and I believe it's
7 in the Southeast, with a coordinated outage
8 management system. And I forget -- I'll look into
9 that further, but there is something that we could
10 probably get even more value out of it as we
11 coordinate some of the platforms.

12 MR. HEYECK: Just make sure you use the
13 microphone. And we've got a lot of questions out
14 there, so if you keep your answers brief.

15 MR. RISTANOVIC: How do you turn this
16 technology on?

17 MR. HEYECK: Yes, it's on.

18 MR. RISTANOVIC: It's on? Something
19 about open source -- we don't consider a need for
20 open source. We have to give capability to
21 vendors to do proprietary pieces of the platform
22 that have standard interfaces to support the

1 interoperability. So, if somebody wants to do it
2 on Oracle, as long as this piece is talking the
3 way we define, it's okay.

4 So we want to leave the room for
5 competition in each element of the system, but we
6 want a split system from a commonality structure
7 to a reasonable number of defined standard
8 functional components, including platform, where
9 we can achieve interoperability and open for
10 competition, not just between these three big
11 vendors, also for universities, small niche
12 companies, small software providers, so we can
13 always pick the best of the brand when it's
14 available, so we don't have to wait 8, 10 years
15 (inaudible) from the current vendor.

16 MR. HEYECK: Anyone else want to --

17 MR. LITVINOV: Anyway, I'm going to try
18 to ask a personal question to Eugene so that I can
19 also say something about open architecture. It's
20 open architecture versus open source. They're a
21 little bit different concepts.

22 When we talk about risk-based

1 calculation, it's actually a very formal
2 definition what we mean by this. And today, we
3 assume that every contingency is going to happen
4 no matter what. We don't really put any kind of
5 probability on it even though some of them are
6 very unlikely to happen.

7 And based on some of our experiments, if
8 you create an index, for example, that is a
9 function of severity and probability, you can base
10 your optimization on risk rather than contingency
11 analysis or security. It turns out that the
12 system becomes a lot more secure on average.

13 And if you'd like I can refer you to a
14 couple of papers that we have. If you give me
15 your email, I can send them to you.

16 Thanks. Oh, I'm sorry, just one more
17 thing that I'd like to -- we talk about many
18 different things, like flexibility and resilience,
19 but we don't really come up with a very clear
20 definition of what we mean by this. So, if you
21 want to talk about these kinds of concepts, we
22 need a formal definition, almost the same as we

1 have today for reliability.

2 We have a clear definition of what we
3 mean by reliability, but when we talk about
4 flexibility we're just waving our hands. So what
5 the R&D today is doing actually is trying to
6 define what that necessarily means, how you
7 measure and how you design a system for
8 flexibility.

9 MR. O'BRIEN: I'll take a shot at part
10 of the answer to your cloud question.

11 I think cloud is to IT what smart grid
12 is to our industry, which is we don't all know
13 yet. And I think having said that I think we've
14 got to walk cautiously in the cloud.

15 You know, there's the private cloud, and
16 there's the public cloud. Private cloud is taking
17 advantage of the thinking that goes in the cloud
18 but doing it within your own walls or within a set
19 of walls of people that you trust.

20 I think we operate at great risk if
21 we're pushing important operating data out onto
22 the cloud, and we don't know how it's being

1 secured and how it's being managed. So my two
2 cents there would be walk cautiously, and we all
3 really need to kind of develop what our cloud
4 strategy is. And I'm sure each of the ISOs and
5 each of your companies is probably doing that.

6 Then I'll follow up just quickly on how
7 do you get there because that's the greatest
8 question out there and it's the hardest one to
9 answer.

10 I think the one thing -- and this is
11 where at least my going was with the integration
12 architecture -- is I don't believe that the three
13 to four EMS vendors that are out there supporting
14 us right now can do it all. And I think that how
15 we get there is to have an architecture that
16 drives innovation much more broadly than those
17 three or four companies.

18 And the reason I don't believe that
19 those three or four companies can do that is I
20 don't think they have the funding and the research
21 in those areas to actually do it.

22 And if we can open up the architecture

1 enough to allow others to compete -- and what I
2 mean by that is there's been a lot of work done in
3 some of the Seagray efforts and some of the very
4 large power grid operator efforts, where they've
5 really tried to put together kind of a reference
6 architecture. But I think at the end publishing
7 the integration patterns between applications and
8 then asking vendors to develop to those standards
9 is what makes sense.

10 But I think we need to recognize that
11 those standards are a point in time and they will
12 need to change as we evolve.

13 But I think opening up competition
14 beyond the big three or four is one of the ways of
15 getting there, but I'm sure it's pretty
16 incomplete.

17 MR. PODMORE: Yeah, how to get from here
18 to there, obviously, is the key. And I think the
19 information model manager and the fact that people
20 are starting to share them -- there's two things
21 happening.

22 About 10 years ago, all the models were

1 very proprietary to the EMS vendor, and so
2 utilities would spend anywhere from 5 to 50 man
3 years building their model. So, if you came along
4 as a third party supplier and said, hey, I've got
5 this great application, there was a Catch-22; they
6 didn't want to spend all that effort. And another
7 Catch-22 is you had to get around as an EMS
8 vendor.

9 And I was involved in getting ESCA
10 started. To prequalify for a job, you had to have
11 three installed systems that had been running for
12 five years. So it's kind of hard to let new
13 people into the marketplace when you have that
14 Catch- 22, but in our case we had some customers
15 in Texas that always try new things, and they
16 happened to give Alstom -- ESCA a chance.

17 But the thing that will change is that
18 by adapting the exact things we talked about in
19 the October 5th meeting, where you model above the
20 model and all the graphics can be loaded -- can be
21 transferred to a third-party vendor. And that
22 third-party vendor can say, hey, my application

1 does all these really good things on your system.
2 We will start lowering those barriers, and so
3 those vendors will be able to show that their
4 tools really work.

5 And we've had that in planning. The
6 PSSE format, the PSLF -- literally, people filed
7 the form 715 with FERC, and you could always
8 download that and show that your software would
9 run on the planning models for the entire
10 interconnection. And so, we've had new players
11 come into the planning space and do very
12 innovative things.

13 So, on the one hand, let's assume that
14 the October 5th meeting is going to go ahead. And
15 we'll have an eastern model. We'll have a western
16 model, a Texas model. And again, through the EPRI
17 common information model, which is now an ISE
18 standard, people are sharing not only the data of
19 the model but the data of all the displays.

20 So a utility will no longer have to
21 spend any effort to support a demonstration with a
22 third-party vendor. Literally, you'll just give

1 that vendor access to your files, and that vendor
2 will show their application running on your model
3 with all the displays.

4 But, of course, what has happened since
5 9/11 is the sensitivity of these models has become
6 super heightened. So, whereas in the past you
7 could download these forms from the FERC site, now
8 you have to -- as vendors, we have to go through
9 security background checks, if we've got -- you
10 know, if anyone has a record, that's a problem.

11 So what we're seeing is the universities
12 are reluctant to do the background checks on their
13 students, and so universities are getting shut out
14 from doing research on real models.

15 The labs have always been involved with
16 hypersensitive data, and so the labs can
17 participate.

18 So one of the things we were proposing
19 is for training operators we have used a
20 hypothetical system, and you can learn a lot from
21 a hypothetical system. So our proposal now is for
22 pure research, where you don't want to have

1 critical electric infrastructure information, make
2 up a model for the State of California or the
3 State of Washington where you serve all the loads,
4 but you do it with a set of transmission lines and
5 a set of generation which is purely hypothetical,
6 in the future.

7 And things like -- you can literally
8 create a scene, a project, to use Google maps to
9 say, okay, make sure you route your transmission
10 lines through the mountain passes and respect the
11 topography. And, literally, in a day you could
12 have a reasonable hypothetical model, and then
13 that hypothetical model can have 80 percent wind
14 generation with a lot of combustion turbines
15 standing in the wings and loads that you can
16 control hypothetically.

17 So that was the thought there of
18 creating those hypothetical systems.

19 The comment on the open source -- once
20 you have this architecture, sooner or later some
21 vendor will decide that they will use open source
22 as a strategic advantage, but again, that can be

1 done by that particular supplier.

2 I think --

3 MR. COWART: Okay. We have the
4 wonderful situation of having so much interest in
5 this discussion, and I'm going to -- I've written
6 down everybody's names sort of in order. I'm not
7 sure we'll get to everybody, but we're going to
8 work down the list.

9 The first three are Clark, Dian and
10 Susan. So, Clark.

11 MR. GELLINGS: Thank you. I'll be
12 brief. Clark Gellings with EPRI. I wanted to
13 react to the notion of whether the dominant focus
14 should be central or decentralized. I don't think
15 we can decide that. I think it's going to be
16 both.

17 I think we're going to see a dramatic
18 increase in the level of flexibility that we're
19 going to need for the future. This is very
20 obvious. It's obvious to me, maybe to others.

21 It kind of reminds me of my own personal
22 unknown appliance story. When I used to

1 econometric modeling for the utility that Dave and
2 I work for, I used to go into the commission with
3 my unknown appliance, and I would get torn apart
4 and beaten because they would -- you know, you
5 could imagine the dialogue:

6 Mr. Gellings, would you define the
7 unknown appliance?

8 Well, I can't. But, dammit, if you look
9 back just years and think about what we have no in
10 terms of end-use devices, including onsite
11 generation devices that are showing up in
12 significant numbers, we did not see those years
13 ago.

14 And so, what I'd like to add to this
15 conversation is we have to be so flexible as to
16 allow for technologies that we can't even now
17 really envision as we think about this next
18 generation of EMS.

19 Thank you.

20 MS. GRUENEICH: Did you want to talk?
21 Dian Grueneich, consultant and previously a
22 commissioner with the California Public Utilities

1 Commissions. Two quick questions: Are there
2 other countries that are doing a good job of
3 having developed an R&D road map and then looking
4 forward?

5 And the second one is this whole
6 integration of the DMS with the EMS, which is
7 basically the technology of looking between the
8 distribution side and the transmission side. In
9 California, we're obviously embarked upon a huge
10 amount of renewables combined with a huge amount
11 of distributed generation, much of it on the
12 customer-owned side, combined with very aggressive
13 policies on demand response and then some level of
14 where the energy efficiency will play in this.

15 Can you really have a smooth -- I guess
16 it's almost two parts.

17 Can you really have sort of this very
18 robust EMS architecture and infrastructure coming
19 in without simultaneously developing the next
20 level on the DMS side, if you are going to really
21 make use and do it cost effectively and reliably,
22 of customer side distributed generation and DR?

1 I'm not an engineer, but it strikes me
2 in the little bit I've heard. It's almost like
3 you've got that blank box in the middle. And I,
4 as somebody who's always been very much in favor
5 of developing the demand side, worry a great deal.
6 Unless we have as the project, not say this isn't
7 big enough, to also really look at the
8 distribution management system, we may not get
9 where we need to get.

10 MR. RISTANOVIC: Let me tackle this one,
11 and I'm going to be very careful about what I say
12 because there are some in California that like
13 direct link to wholesale, some like through DMS,
14 some like through micro grids. So we have to be
15 ready for all of that.

16 So, for us, micro grid or DMS should not
17 be different. Or, aggregator or single house. We
18 have to hope for the best, which is let's say
19 everything comes to DMS so we have a very limited
20 number of points, or for the worse that every
21 demand response aggregator comes to us directly.

22 So this architecture has to be built to

1 cover all possible scenarios, from the best to the
2 worst and in between. And we don't see our role,
3 you know, advising somebody out there to go the
4 one way because it's more appropriate and easier
5 for us to solve. We just have to let that play
6 out there with all the stakeholders and be ready
7 for the worst case scenario.

8 About R&D globally, in other countries,
9 we are probably besides China the biggest country
10 that can look into this problem centrally. But
11 all these three, four major global players are
12 doing this business everywhere, worldwide. These
13 are all global players.

14 And SCADA systems and EMS systems are
15 not that different across, you know, the scale.
16 That's why it's very important to tap in on that
17 huge investment in all those projects because the
18 size of the business is probably in the range of
19 \$800 million to 1.2 billion a year. And if we can
20 get some part of that global investment into a
21 platform that is flexible and can be used to open
22 competition for third- party players, that would

1 be a big boost for the whole industry.

2 MR. LITVINOV: Talking about DMS-EMS
3 integration, well, it's the volumes of demand
4 response. For example, (inaudible) power plants
5 is not very high. We can tolerate not knowing
6 where they actually are.

7 Today's aggregators -- they don't have a
8 concept of network models. Imagine if your volume
9 of demand response grows significantly, without
10 knowledge of the network, you can actually turn
11 off all the consumers in the same phase. So
12 you're going to create a very serious problem from
13 an electrical perspective.

14 That knowledge has to reside somewhere.
15 So you either put the distribution company
16 somewhere as part of that loop of demand response
17 or the distribution company becomes the demand
18 response provider.

19 Today, it's purely the business model
20 that is completely oblivious of the network. So we
21 don't really know where demand response sits, and
22 we have to come up with some special ways of doing

1 profiling. That's one of the things folks don't
2 like a lot sometimes is profiling, but I think in
3 the short term profiling can give you a pretty
4 good view of where you're at. If you can get in
5 the 95 percent range, that would be helpful. At
6 the end when you settle, you have to settle based
7 on actual meter reads and all of that.

8 But I think the reality of it is until
9 all the smart meters are there, until all of the
10 infrastructure is there, it's going to be a
11 combination of efforts to get that visibility, but
12 the visibility is going to be very important.

13 MR. PODMORE: I think we're all
14 implicitly saying that the entire system becomes
15 monitored and controllable right down to the --
16 so we're taking the fact that we're very used to
17 monitoring and controlling everything at the high
18 voltage level of 115 kV and above. And Ralph
19 summed it quite nicely by saying to go down to the
20 customer transformer and to go down to the
21 appliances we just need to take technology and
22 scale it by 10,000 times. Okay.

1 MR. COWART: No problem.

2 MR. PODMORE: So -- because we'll have
3 two-way flow of power. We'll have islanding
4 situations, and now in a restoration drill we
5 might have 50 islands. In a smart grid
6 restoration drill, we'll have thousands of islands
7 because all those communities won't be waiting two
8 days for the power to get through. They'll have
9 someone out providing a service to give them the
10 very minimal amount of power, which is your laptop
11 and your cell phone. Okay.

12 So I think that's implicit, and we're
13 saying that the past generations haven't been
14 built to scale to millions of points.

15 And we see Google Earth is doing large
16 databases, but they don't have the real-time data
17 flow on top of that. So we know we can do it from
18 a modeling point of view but not in real-time
19 control.

20 And I think this forum is very good, to
21 have actual commissioners or even recovering
22 commissioners involved, because you can help us

1 understand the case.

2 Right now, in California, in Los
3 Angeles, there's a really big problem there. When
4 you have a fault, the voltage drops and all those
5 single-phase conditioners, what they do is they
6 stall. And in that stalling process, they draw
7 five times the normal current.

8 Now it's kind of crazy to build in all
9 the transmission capacity to handle the event of
10 all those air conditioners stalling. So why not
11 give them a little signal to get onto the net and
12 say, give me a credit, a dollar, and I'll let you
13 turn my air conditioner off for 10 minutes.

14 And we're starting to see that. At San
15 Diego Gas, they're saying if they have a high peak
16 coming up, they will actually give customers a
17 credit for taking less load than they would on a
18 normal day.

19 So I see that. I think it's implicit.
20 We're talking about not in EMS or transmission.

21 We're talking about a grid management
22 system down to every appliance that can be

1 controlled.

2 MR. COWART: Sue.

3 MS. KELLY: I hesitate to even ask a
4 question of this group because the brains are so
5 big, but I am concerned.

6 I mean, just last night, my members and
7 I were basically lectured to by a high federal
8 official about the severe cyber security threat we
9 are all facing. You know, cyber 9/11. You need
10 to be very concerned as electric utilities. We
11 need to work together. We need to share data.
12 All of which I will take on faith is correct.

13 But then I come here, and I hear about
14 open architecture, open source, you know, put it
15 in the cloud. And my arts and sciences background
16 says to me, are we making ourselves more
17 vulnerable by doing that because instead of having
18 discrete -- and sometimes proprietary can be good
19 in a very perverse way. You know.

20 But I'm just a little -- I'm very
21 concerned about the cyber security aspects of this
22 and just wanted to share that. And it sounds like

1 some of you are already onto that, but this is
2 going to be a very difficult sell unless you can
3 really make that case -- that this is not going to
4 cause additional vulnerabilities.

5 MR. PODMORE: Well, I think when we had
6 the October 5th meeting, Vicky VanZandt from WECC
7 was there, talking about what they've been doing
8 with the Harris and Cisco private network that is
9 also used for the FCC.

10 So when we talk about cloud, it's more
11 like the software architecture. The idea is
12 utilities have tremendous resources to host a
13 secure set of servers in a bunker and have their
14 own private network running across that.

15 So, when we talk about cloud, we're more
16 talking about software that -- well, it can run
17 with encryption. It can be a virtual private
18 network. But the idea is that that architecture
19 is able to support service with access by
20 thousands of users.

21 But I think your point is very clear,
22 that the whole issue of cyber security is a very

1 serious threat.

2 And again, one of the things -- it's
3 hard to find where do you go. In the defense
4 industry, people have security clearances. So
5 they clearly have ways of bringing the thought
6 leaders together with those security clearances to
7 address those issues.

8 Right now, it's hard to find that forum
9 to look at combined physical and cyber attacks and
10 how to do the defensive mechanisms for that.

11 MS. KELLY: Well, maybe when we grow up,
12 we can get some clearances too.

13 (Laughter)

14 MR. COWART: Our next three Committee
15 members are Merwin, Barry and Chris.

16 MR. BROWN: Thank you. Merwin Brown,
17 the California Institute for Energy and
18 Environment.

19 I have a lot of questions I'd like to
20 ask you, but I'm going to ask one that is sort of
21 philosophical, about where you think EMS is going
22 in functionality.

1 I see some tensions coming into the play
2 that are going to require some decisions about
3 what way you are going to go in using EMS. By
4 that, I mean up until now one of the ways we
5 handle reliability is through margins -- the N-1
6 margin for contingencies, the thermal margins for
7 thermal overload and then the dynamic stability
8 margins for the big stability problems, and so on
9 and so forth. And that leaves capacity on the
10 table.

11 And then, there's another tension that
12 says we won't be able to keep building capacity
13 the way we want to in transmission, and so there's
14 pressure to want to use as much as that, so to
15 speak, stranded capacity as possible.

16 And there are also tools being developed
17 that say we maybe can do that by relaxing the
18 contingencies and start working more in the
19 margins, using various kinds of probabilistic
20 approaches and risk assessments and things like
21 that.

22 So I guess my question is, do you see

1 the EMS as a tool that is going to either just
2 barely maintain the status quo and maybe even will
3 be putting in more margin as we go forward and
4 more problems crop up, and therefore, having to
5 build more infrastructure just to keep even?

6 Or, are we going to use new technology
7 and start operating the grid in what I'll just
8 loosely call maybe a higher risk mode because we
9 will know more about it and have the capability to
10 respond to changes faster? For example, rather
11 than an N-1 contingency, you have something less
12 than that because you can use your various
13 analytical tools and other flow control tools to
14 handle emergencies when they come up rather than
15 have to have a margin of safety built in.

16 So this is to sort of help where you
17 think this design is going, I guess.

18 MR. RISTANOVIC: Well, any moment, I can
19 get the call here; the system is out. And do you
20 think that -- you know, probably if you ask us, do
21 you have 95 percent probability of that going out,
22 or 98, or 99?

1 Our systems work on a single incident.
2 When that happens, the guys who are in charge of
3 systems are responsible for that single incident.
4 Nobody will tell them, hey, for 5 years or 10
5 years they haven't had an incident. This is a
6 single one, and it's too bad.

7 So who's going to accept a situation in
8 which they're going to work on probabilities?

9 So I doubt that you'll ever see that.
10 Now that doesn't prevent us from efficiently using
11 what we have, and I'll just give you one example
12 of what you're looking to. We have a lot of
13 stranded capacity in transmission, and it's very
14 difficult to build transmission, and we are very
15 cautious to use the transmission, especially
16 thermal limits. So we can introduce a new
17 function like dynamic thermal line rating
18 calculation and increase capacity of the
19 transmission that we're not using today.

20 So that, yes; the other one, no.

21 MR. BROWN: That does have a certain
22 probability.

1 approach to this. We need to understand what we
2 consider to be a low frequency, high -- I mean low
3 probability, high impact events and where do you
4 stop where you actually take probability into
5 account or not.

6 It's not anymore as clear as it used to
7 be, where you said I'm going to have reserves.
8 So, if you react, increasing reserves on anything
9 that could be uncertain, you'll have a very, very
10 expensive system to operate. So we need to come
11 up with some ways of dealing with that and not
12 necessarily just by increasing margins.

13 MR. HEYECK: Let's go to the next
14 questioner.

15 MR. COWART: Right. I have Wanda and
16 Tom.

17 MS. HOFFMAN: Barry.

18 MR. COWART: Oh, Barry.

19 MR. LAWSON: Thank you. I wanted to
20 echo first something that Sue mentioned about
21 cyber security. I would say that I can't see any
22 of this moving forward without that being part of

1 the design and especially, you know, even before
2 the manufacturing stage.

3 MR. COWART: All right.

4 MR. LAWSON: I think it would be a
5 nonstarter in our environment here, at least in
6 the United States, and I hope that everyone
7 realizes that -- that we can't move forward at all
8 without that being a factor and being addressed.

9 The other question I have is related to
10 something that's been talked about a little bit
11 here, and that's the relationship between I guess
12 the EMS system for the transmission, or the bulk
13 power system, and then the distribution side of
14 things.

15 Not all utilities are out there
16 operating a bulk power system and a distribution
17 system. There are many that are operating just a
18 distribution system, and that's what they're
19 responsible for.

20 So I'm curious. Are we talking
21 primarily about an EMS system for the bulk power
22 system, or are we talking broader -- broader than

1 that -- because there are some very different
2 issues in play here?

3 I'm thinking we're talking more bulk
4 power system, EMS level, at least initially. But
5 if we're also talking distribution systems, then I
6 think we have a lot more issues to talk about,
7 including costs.

8 MR. LITVINOV: Since I start this whole
9 -- opened this whole can of worms, I'm going to
10 try to answer it.

11 First of all, not every actual
12 distribution company has a DMS today. Most of the
13 systems --

14 MR. LAWSON: And they don't necessarily
15 need it.

16 MR. LITVINOV: They didn't need it
17 before. Now they may actually need it because in
18 order to be able to actually keep track of all
19 these distributor sources. You may not have a
20 choice but knowing where they are.

21 So, from my view, my personal view at
22 least, is that it doesn't matter whether it

1 belongs to the same company or not as long as you
2 have a way of communicating between distribution
3 and EMS, which is standard, if you will, that you
4 can come up with and knowing what kind of
5 functions you will prefer. It really doesn't
6 matter whether it's the same company or a
7 different company.

8 MR. O'BRIEN: I want to make a comment
9 on the cyber issue because I think the issue is
10 much, much broader than cloud. It's much broader
11 than all of that. The risks exist today in the
12 systems that we have.

13 And I think that your concern is good.
14 I mean, I think we all need a healthy dose of
15 paranoia when it comes to that.

16 You know, I think what you're seeing
17 more now is a lot more focus on building security
18 into the architecture, building it into the
19 design. The time to look for vulnerabilities is
20 not after your system has been running in a
21 production environment. It's what type of
22 penetration tests are you doing in advance of

1 systems going in.

2 And we have as big of a legacy issue as
3 we do a going forward issue, but I think that's
4 what the focus really needs to be is essentially a
5 risk-based defense in depth. And I hate to use
6 those buzz terms' strategy because there's an
7 infinite amount of work we could on cyber
8 security. And we really need to look at where are
9 the biggest risks and are we doing the right
10 things.

11 It's multiple initiatives. It's not
12 just, you know, the cloud. It's what's happening
13 to your email systems. If you've gotten any
14 details on some of the penetrations that have
15 occurred, they're really nasty and they're very
16 ugly and we wouldn't want those happening on power
17 systems.

18 So I think we all have a responsibility
19 to be looking very hard at it, so we are.

20 And I'm with you all the way. I would
21 put supervisor control -- in the cloud yet. I
22 would not be controlling that at this time.

1 I'm not saying at some point it couldn't
2 be secured and you couldn't have those things, but
3 those are the decisions that we need to make in
4 terms of cloud is good for some things; it's not
5 good for everything.

6 MR. PODMORE: Well, I think there's an
7 inherent issue with N-1 because that was built
8 before the idea that there could be coordinated
9 terrorist attacks, which gives you N-12 quite
10 easily. So, really, it's the physical attack plus
11 the cyber attack that is really scary.

12 And as long as we do not have direct
13 load control where we have to open that feeder
14 breaker and turn off the hospitals, the police
15 stations, we are very vulnerable. And Secretary
16 Chu calls this the slam-down-and-isolate approach.

17 So the way to truly get security is to
18 elegantly keep the important loads on and turn off
19 all the critical ones, and that's simply direct
20 load control and then giving the customers an
21 incentive and having the communications in place
22 for that because that way we can get off all the

1 noncritical assets and keep the really important
2 ones on.

3 MS. REDER: Wanda Reder, S&C Electric
4 Company. This may be more a point for future
5 consideration, given the time that we have for
6 discussion, but we opened the EAC meeting today
7 talking about institutional barriers and cultural
8 challenges. You know, I really think this phase
9 is core for the transformation on how we handle
10 centralized, distributed, cyber and -- you know.
11 The list goes on. A lot of good points that were
12 made by the panel and others as well.

13 But I look at this and say, we're a
14 highly conservative industry for a really good
15 reason.

16 And I want to put ourselves in the space
17 of if we had the perfect technology. Can you
18 comment a bit on what it's going to take to move
19 us from a cultural and an institutional
20 perspective so that we can get there, get the
21 people and get the organizational processes in
22 place in order to make this happen?

1 MR. PODMORE: Well, there are a couple
2 of examples where they did -- I was involved in
3 the Common Information Model Standard. And Russia
4 picked it up and implemented with a single vendor
5 throughout the entire country very quickly. China
6 picked it up and implemented it very quickly.

7 But I think Anjan brought up what he
8 called the ENTSO-E, the European grid operator
9 where they had many vendors, many countries, and
10 they literally had a committee come together.

11 So I think continuing to have these
12 types of meetings where you really get the
13 technologists, the Secretary of Energy, the public
14 utility commissioners -- we can make this happen
15 because this is the start of something that
16 follows the American process. And I think it's
17 players at all levels, and we haven't really had a
18 forum to really have players at all levels get
19 involved.

20 And the whole issue of NERC, it's had a
21 tremendous impact on the industry. They're trying
22 to be a kinder and gentler face and really educate

1 people well. I mean we have some of the best
2 minds in the industry coming in and educating us
3 on human factors.

4 So I think this process where it gets to
5 the very highest level -- and clearly, when the
6 Department of Energy calls a meeting, everybody
7 makes a really definite effort to show up.

8 So I think this is the democratic
9 version. And we can get things going quickly, and
10 we can get the best minds in this industry working
11 on it.

12 MR. SLOAN: Thank you. Tom Sloan. I'm
13 a state legislator in Kansas.

14 And I'm probably being obtuse this
15 afternoon, but I'm still struggling with what the
16 DOE and state roles should be, moving forward,
17 relative to the RTO/ISOs, the utilities and the
18 vendors.

19 I mean, what are our actionable items,
20 at least in the near term?

21 MR. O'BRIEN: I'm not sure I should
22 answer this. Maybe somebody from the DOE should.

1 But I mean, from my perspective, I think
2 the actionable items are to identify the things
3 that can make the biggest difference, make
4 investments and support investments in projects in
5 those areas, and then stop things that aren't
6 providing that same value -- that if you have a
7 project going on and you realize that it's water
8 that's not going to the right place, stop it.

9 But I think -- at the end of the day, I
10 think DOE really can help with investment, and I
11 think that investment really comes to not just
12 pure R&D but pure, pure R&D leading the
13 implementations because the real value is in the
14 implementation. You can do the best research in
15 the world, but if you never implement it -- that's
16 just one perspective.

17 MR. LITVINOV: Again, I'm not absolutely
18 sure what the jurisdiction of the R&D could be,
19 but with so many labs that could be directed to do
20 some R&D that we lack in the industry. We have
21 very low R&D levels in the industry today, and I
22 have no idea how to increase it.

1 But the labs, with their capabilities,
2 could increase the amount of research that is
3 specifically directed to our needs. And the way
4 to make them aware of this is having some forums
5 that we had just recently with Secretary Chu,
6 discussing high performance computing and some
7 other similar discussions, where they are actually
8 aware of what the needs are. It turns out that
9 most of the labs have very little knowledge about
10 what our systems need today.

11 MR. PODMORE: I think one thing that is
12 changing is as engineers we would always get
13 together and complain about how the lawyers and
14 the accountants are running everything. And they
15 dominate FERC. They dominate the PUCs. But we
16 have not done a good job to really be leaders and
17 clearly explain.

18 And I think Wanda has been a great
19 leader for our industry.

20 So it's really that two-way
21 communication. As engineers, we have to make a
22 much better case about why we think these

1 technologies are important.

2 As regulators, you have to -- none of
3 this has to be a mystery. Okay. As regulators,
4 it's really good that you start understanding what
5 would be the benefits of my company having PMUs
6 when they come to you in a rate case and say we
7 want to install them.

8 So it's just keeping this sort of
9 dialogue going, which has to be done from the very
10 highest level because, clearly, it is such a
11 critical infrastructure for our country right now.

12 MR. HUDSON: I want to -- I put my card
13 back up because of something that Robin said about
14 the response to physical and cyber attacks. I had
15 it up earlier because I was interested in the
16 question that Dr. Litvinov raised about
17 centralized versus decentralized and intelligence
18 in the control system.

19 And one of the things that I have
20 wondered about for a while is whether a system
21 that has more decentralized control is a system
22 that is potentially more cyber secure or could be

1 made more cyber secure.

2 And so, I'm wondering whether there is a
3 piece of R&D that could be recommended to the
4 Department that would actually begin to answer
5 that question. And, if so, do you have
6 suggestions about how it might be structured?

7 And then, assuming the Department
8 undertook that R&D, what impact would it have on
9 the development of next generation EMS?

10 MR. LITINOV: My name was mentioned in
11 that. Yes, I would say that not only cyber
12 security-wise but also resiliency-wise the
13 decentralized -- and again, I'm not advocating to
14 create a fully decentralized system. It's just
15 impossible. Always somewhere in the middle is a
16 hybrid.

17 And again, the reason we didn't talk too
18 much about cyber security is because we agree with
19 you that this is very important and in every
20 single design that we do we take into account the
21 cyber security.

22 And, in fact, the cloud was created

1 initially with a different design in mind. And
2 because virtualization and the cloud getting so
3 more used in other industries, the security is
4 going to come.

5 The reason cloud is cheap today is
6 because certain things were ignored. It's not so
7 much security as much as the integrity of the
8 data.

9 You don't care if you're looking at
10 Amazon and somebody sees that book appear in
11 Amazon and you only see it 10 minutes later.
12 Well, we do care about this, but if you create a
13 special state estimation logarithm that could take
14 care of this or account for this, you may actually
15 build up the case the work off the cloud.

16 And nobody said that we could just drop
17 everything in the cloud and hope that it's going
18 to be secure. Nobody is going to do it until we
19 know how to do security of the communications.

20 The same thing if you go decentralized;
21 you're creating additional -- you may actually
22 remove additional or some extra data exchanges

1 that are needed otherwise for coordinated or
2 hierarchical control.

3 So there's another hope that when you're
4 sensing locally certain conditions, that you can
5 actually provide service for the system, and some
6 of the research is being done in this area that
7 could give you much better resiliency, both from a
8 cyber perspective but also from a power systems
9 security perspective.

10 MR. COWART: So we are over time, but we
11 have two persistent, smart people who are asking
12 questions. So I want to allow that to happen.

13 Do you want your card out, or do you
14 want --

15 MS. AZAR: No, keep going.

16 MR. COWART: I was going to make sure
17 that at least Lauren had the last question.

18 MS. AZAR: Well, I was actually going to
19 ask a question getting to the DOE's role and
20 potentially what we could be doing vis-à-vis
21 commissions and legislatures.

22 Let me ask -- and I think Anjan

1 mentioned this. One of our roles can be as
2 conveners and as honest brokers. As a former
3 commissioner I know that it was sometimes
4 difficult to weigh through testimony from
5 utilities, not knowing if what they were proposing
6 was really needed.

7 The DOE actually could play that role.
8 We could very, very deliberately go in and help,
9 not intervene in dockets but go in and education
10 commissions as far as the kind of things that are
11 really needed; the same with state legislatures.

12 Is that a role where our resources would
13 be well spent because it would be very, very
14 time-intensive?

15 MR. VAN WELIE: Well, let me frame --

16 MR. COWART: Well, I was going to say
17 let's put both questions up and then we'll get
18 responses.

19 MR. VAN WELIE: Because I think it's
20 almost a flipside of the same question, which is
21 -- I mean, I think we're talking about trying to
22 have someone, the DOE, make an investment in

1 taking this industry from one level in terms of
2 its architecture to another, which is a pretty
3 dramatic step. It hasn't been done anywhere like
4 this before.

5 The industry periodically gets bursts of
6 enthusiasm and talks about this, and then it all
7 fizzles out for the reasons that were described
8 earlier, which is very thin margins. There just
9 isn't enough money actually ever to make this
10 work.

11 So my question -- the question I was
12 going to ask to the group -- and it's really
13 related to what is the DOE's role. I mean, the
14 DOE in one sense could say let's play a
15 facilitative role. I think that would be
16 pointless, actually, because you might have a few
17 meetings where people get enthusiastic and then it
18 all fizzles out. This is only going to go
19 somewhere if we're prepared to spend a large
20 quantity of money for a long period of time.

21 And so, what I was interested in hearing
22 from this group was, what do you think it's going

1 to take? Is this a one-year investment? Is this
2 a five-year investment? Is it a 10-year
3 investment?

4 Just sort of orders of magnitude, in
5 order to get the step change that we're talking
6 about, what's your instinct in terms of how much
7 staying power is going to be required here?

8 MR. RISTANOVIC: Well, DOE, no matter
9 how much you invest, cannot build the platform.

10 So, if I'm thinking about doing
11 something with this, I would define some
12 requirements for ISOs/RTOS that will gradually
13 become mandatory requirements, and I will give
14 some credit to early adopters to move in that
15 direction, which will probably move some vendors
16 who want to move. So I would say three to five
17 years you get a couple of early adopters of
18 different elements of this new architecture. And
19 you benefit from a kind of credit, like a
20 renewable credit, for getting there as an early
21 adopter, and supplement vendor investment, and
22 that way you can get somewhere.

1 Building these platforms in a vacuum or
2 in universities or in labs was never done before,
3 and I know the complexity, and I know some vendors
4 failed with trying to do this. And I was part of
5 one of those efforts, and the numbers are
6 staggering. I don't want to tell you a number, but
7 Gordon has a pretty good idea of what I'm talking
8 about -- the number of years and amount of money.

9 So, for me, that is the most feasible
10 scenario, to gradually introduce mandatory
11 requirements for flexibility and openness of these
12 platforms and help early adopters with the
13 funding.

14 MR. PODMORE: In terms of the time frame
15 here, it's probably five years or so, but we are
16 already seeing the impact of the Southwest
17 blackout on very small companies. I had one in
18 California that's a 200-megawatt generator, and
19 they have a contract for, let's see, \$2 million
20 worth of support just to be compliant and do
21 better operations studies and to do better
22 real-time training.

1 So I think it's an educational process.
2 I think we've got a very clear grouping of the
3 NARUC committees. I really think it's an
4 educational thing.

5 And what we're finding right -- there's
6 been a history that people in operations tended to
7 be very independent, very strong-minded and wanted
8 to be left alone, and that is not the type of
9 person that you need to build the relationships,
10 to go through an audit and to kind of get the
11 support. So we're now finding more and more
12 people in compliance are saying, I've got this big
13 box called operations and that's where all the
14 fines are coming from.

15 So we're seeing that it's okay to
16 justify operations and better tools through the
17 compliance group and risk management.

18 And so, I think having the awareness
19 through the compliance offices. The security
20 offices are playing a role. As commissioners, you
21 all have an impact at that level.

22 It all comes down to trees, tools and

1 training. Okay. And we know that over and over
2 again. So as regulators and as utility
3 executives, we're seeing a lot more interest in
4 what is happening in operations.

5 MR. O'BRIEN: I would just add one thing
6 to what these guys said. I still think there's a
7 role for DOE to support targeted projects. I
8 think there's been some real successes out there
9 with it, and that's -- really without that, we
10 wouldn't be where we are today with PMUs. You
11 know. That's -- we never would get to the place
12 where we could even do the analytics.

13 And we've still got a big hurdle, but I
14 think DOE could play a role in that hurdle.

15 And I would say it from personal
16 experience. Some of the work that we've done on a
17 DOE-funded project around cyber security has been
18 extremely valuable. So I think there's still a
19 role for targeted funding by DOE.

20 MR. COWART: That sounds like a good
21 last word. Would you all join me in thanking our
22 wonderful panel?

1 (Applause)

2 MR. COWART: And I think before we
3 adjourn, Elliot has got some final logistical
4 announcements maybe.

5 MR. ROSEMAN: Yes, as most of you know,
6 I'm Elliot Roseman of ICF.

7 I want to not only thank the members of
8 the panel, but I want to thank all of you here for
9 a very robust set of discussions this afternoon.
10 We're, of course, going to be continuing that
11 tomorrow, tomorrow morning beginning at 8:00 a.m.
12 But the good news is, as most of you probably
13 notice, we do have coffee in the room.

14 (Applause)

15 MR. COWART: Serious improvement from
16 last time.

17 MR. ROSEMAN: I do want to thank really
18 all of the EAC members and the subcommittees for
19 the hard work that you've been doing over the last
20 couple of months.

21 We have six papers tomorrow that you've
22 received that we're going to be reviewing and

1 discussing and, if you deem appropriate,
2 approving.

3 We have ideas that the subcommittee
4 chairs are going to be putting on the table with
5 regard to plans for next year, for 2013 already,
6 and teeing those up. So we're looking forward to
7 your comments and discussion with regard to that.

8 We'll be starting, as I said, right at
9 8:00 with the Transmission Subcommittee, then
10 Storage, and then we'll have an address from
11 Commissioner LaFleur from FERC and continue on
12 with the Smart Grid and the Workforce
13 Subcommittees.

14 We do have the dates for next year. You
15 may have seen one of the slides up there earlier.
16 I'll just mention the dates right now. So, if we
17 repeat them several times, you'll all hopefully
18 put them into your calendars.

19 We will be meeting again March 6th and
20 7th, June 5th and 6th, and October 2nd and 3rd of
21 2013. The venue will be out at the NRECA offices,
22 and they are in the Ballston area of Arlington,

1 next year. So we won't be downtown.

2 So we have several events that are
3 coming up, obviously.

4 And I want to mention very briefly a
5 couple other important events that you may not
6 have noticed. Very few of you may know, for
7 example, that today is Rich Cowart's birthday.

8 (Applause)

9 MR. ROSEMAN: Wait, wait. Not yet, not
10 yet.

11 (Applause)

12 MR. ROSEMAN: Not yet, not yet. Hold
13 on. Very few of you may know that yesterday was
14 Mike Heyeck's birthday.

15 (Applause)

16 MR. ROSEMAN: And I suspect that a
17 number of you know that Sonny Popowsky, after 33
18 years -- I think that's right -- in your position
19 as a consumer advocate in Pennsylvania, is
20 retiring I think next week.

21 SPEAKER: No way.

22 MR. ROSEMAN: So I'm going to suggest

1 that we sing a little song to all of them. You've
2 probably not sung a birthday and a retirement
3 song. So let's do that.

4 Happy birthday and retirement to -- come
5 on. Join me.

6 Happy birthday and retirement to you.

7 Happy birthday and retirement, dear all of you.

8 Happy birthday and retirement to you.

9 MR. COWART: Thanks, Elliot.

10 MR. ROSEMAN: And the last thing that I
11 have to say is that when we took over this work in
12 supporting Pat's group I suspect that one of the
13 criteria that were used to evaluate ICF was not
14 that we had a resident pastry chef onboard. Well,
15 some of you were fortunate enough to get the
16 cookies last time you were here, that Paula made.
17 This time, our resident pastry chef has outdone
18 herself and has made in honor of the birthday and
19 retirement a carrot cake and a glazed lemon cake,
20 which is available here momentarily to all of you
21 over here at the desk. So, for those of you who
22 want to have your dessert before dinner, please do

1 so.

2 And thanks to you all for coming. We
3 will see you tomorrow morning.

4 For those of you joining us for dinner,
5 from DOE, from the -- and EAC members as well as
6 the Workforce Committee members, we'll be meeting
7 in the lobby at 6:15. Thanks.

8 (Whereupon, at 5:44 p.m., the
9 PROCEEDINGS were adjourned.)

10 * * * * *

11

12

13

14

15

16

17

18

19

20

21

22

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

CERTIFICATE OF NOTARY PUBLIC

DISTRICT OF COLUMBIA

I, Irene Gray, notary public in and for the District of Columbia, do hereby certify that the forgoing PROCEEDING was duly recorded and thereafter reduced to print under my direction; that the witnesses were sworn to tell the truth under penalty of perjury; that said transcript is a true record of the testimony given by witnesses; that I am neither counsel for, related to, nor employed by any of the parties to the action in which this proceeding was called; and, furthermore, that I am not a relative or employee of any attorney or counsel employed by the parties hereto, nor financially or otherwise interested in the outcome of this action.

(Signature and Seal on File)

Notary Public in and for the District of Columbia

My Commission Expires: April 30, 2016

