

Electricity Advisory Committee Meeting

8:42 a.m. through 3:34 p.m.

March 10, 2011

National Rural Electric Cooperative
Conference Center
4301 Wilson Boulevard
Arlington, VA 22203

OLENDER REPORTING, INC.
1100 Connecticut Ave., NW, Suite 810, Washington, DC 20036
Washington: (202) 898-1108 / Baltimore: (410) 752-3376
Toll Free: (888) 445-3376

ELECTRICITY ADVISORY MEMBERS PRESENT:

Richard Cowart, Chair
Regulatory Assistance Project

The Honorable Lauren Azar, Vice Chair
Wisconsin Public Utilities Commission

Guido Bartels, IBM

Rick Bowen, Alcoa

Frederick Butler, Retired
Salmon Ventures Ltd. and
New Jersey Board of Public Utilities (Ret.)

The Honorable Robert Curry
New York State Public Service Commission

José Delgado, Retired
American Transmission Company (Ret.)

Robert Gramlich
American Wind Energy Association

The Honorable Dian Grueneich
Morrison & Foerster
California Public Utilities Commission

Michael Heyeck
American Electric Power

Joseph Kelliher
NextEra Energy, Inc.

Edward Krapels
Anbaric Holdings

Ralph Masiello
KEMA

David Mohre (Representing EAC Member Barry
Lawson)
National Rural Electric Cooperative Association

David Nevius
North American Electric Reliability Corporation

OLENDER REPORTING, INC.
1100 Connecticut Ave., NW, Suite 810, Washington, DC 20036
Washington: (202) 898-1108 / Baltimore: (410) 752-3376
Toll Free: (888) 445-3376

ELECTRICITY ADVISORY MEMBERS PRESENT:

(Continued)

Irwin Popowsky

Pennsylvania Consumer Advocate

Wanda Reder

S&C Electric Company

Brad Roberts

Electricity Storage Association

The Honorable Tom Sloan

Kansas House of Representatives

The Honorable Barry Smitherman

Public Utility Commission of Texas

Richard Vague

Energy Plus Holdings, LLC

Gordon van Welie

Independent System Operator of New England

Mike Weedall

Bonneville Energy Administration

Brian Wynne

Electric Drive Transportation Association

DEPARTMENT OF ENERGY:**Patricia Hoffman**Office of Electricity Delivery and Energy
Reliability**David Meyer**Office of Electricity Delivery and Energy
Reliability**John Schnagl**Office of Electricity Delivery and Energy
Reliability**Larry Mansueti**Office of Electricity Delivery and Energy
Reliability

OLENDER REPORTING, INC.

1100 Connecticut Ave., NW, Suite 810, Washington, DC 20036

Washington: (202) 898-1108 / Baltimore: (410) 752-3376

Toll Free: (888) 445-3376

Kerry Cheung
DOE, AAAS Fellow

Caitlin Callaghan
DOE, AAAS Fellow

ENERGETICS:

Peggy Welsh

Cami Dodge

Natalie Kempkey

Katie Shay

PUBLIC ATTENDEES:

Michele Tihami
IBM

John Howes
Redland Energy Group

Eric Addsworth
EEI

Larry Camm
Schweitzer Bergier

Charlotte Schidemore
(No Affiliation Disclosed)

Matt Hourihem
ITIF

PRESS ATTENDEE:

Jason Fordney
Platts

- - -

C O N T E N T S

	<u>Page</u>
Welcome by Patricia Hoffman.....	7
Under Secretary U.S. Department of Energy	
Remarks by Richard Cowart	9
EAC Chair	
Self-Introductions	10
ENERGY STORAGE TECHNOLOGIES SUBCOMMITTEE	
Ralph Masiello	14
Subcommittee Chair	
Brad Roberts	56
Recap	61
SMART GRID SUBCOMMITTEE	
Fred Butler	69
Subcommittee Chair	
Joe Paladino	73
Senior Advisor, Office of Electricity and Delivery, DOE	
Brief Recess 10:56 - 11:22	127
Open Discussion	127
ENVIRONMENTAL REGULATIONS & RELIABILITY WORKING GROUP	
Richard Cowart	142
Working Group Chair	
Patricia Hoffman Introduction	160
Of Dr. Steven Koonin	
Dr. Steven Koonin	161
Under Secretary for Science, DOE	
Lunch Recess (12:50 p.m. to 1:41 p.m.).....	204
Continued Discussion	205
Vote Approving Editions to Memo	215
Announce Appointment of Lauren Azar	216
As Chair to Transmission Subcommittee	
David Meyer Presentation	220
Open Discussion	222

OLENDER REPORTING, INC.

1100 Connecticut Ave., NW, Suite 810, Washington, DC 20036
Washington: (202) 898-1108 / Baltimore: (410) 752-3376
Toll Free: (888) 445-3376

C O N T E N T S

	<u>Page</u>
Discussion of Item 2	255
Ajourn	300

OLENDER REPORTING, INC.
1100 Connecticut Ave., NW, Suite 810, Washington, DC 20036
Washington: (202) 898-1108 / Baltimore: (410) 752-3376
Toll Free: (888) 445-3376

1 P R O C E E D I N G S

2 MS. WELSH: For those of you who want
3 access to the Wi-Fi, the network is ccl, all
4 lower case. And the password is nreca4301 for
5 those who want Wi-Fi access, network ccl,
6 password nreca, all lower case, 4301, no space in
7 between.

8 MS. HOFFMAN: Good morning.

9 MR. AZAR: Good morning.

10 MS. HOFFMAN: Welcome to the Advisory
11 Committee meeting. I'd like to thank everybody
12 for coming out here today. I'd like to thank our
13 hosts. It's wonderful that we're able to meet at
14 this location, and it's also wonderful that you-
15 all have spent your time to come out here and
16 participate in our Advisory Committee meeting.

17 We have a lot of important topics. I
18 think we'll continue to have important topics.
19 There is a lot of things that are open for
20 discussion and debate so that we'll hear about
21 some of those things today.

22 We have a special guest speaker, Dr.

OLENDER REPORTING, INC.
1100 Connecticut Ave., NW, Suite 810, Washington, DC 20036
Washington: (202) 898-1108 / Baltimore: (410) 752-3376
Toll Free: (888) 445-3376

1 Koonin, who's going to come in and give some
2 insights on his thoughts with respect to the
3 Department of Energy Advisory Committees and
4 where he sees some things going, some challenges,
5 opportunities. So I look forward to hearing from
6 him.

7 And what I'd like to do is before I turn
8 it over to Rich, is just especially once again
9 extend my thank you to all of you. I really
10 appreciate and value the advice and the
11 discussions that occur in this committee. And I
12 want to encourage that we continue to do more of
13 that.

14 It's -- if anything we've learned from
15 the Electricity Forum and other debates, I think
16 the constructive discussion is very good for the
17 industry for the community in actually moving
18 things forward. It gets things out on the table.
19 It allows us to debate topics. It allows us to
20 work in a forum that's quite transparent and open
21 for -- for the ability to come to some resolution
22 or at least recognize that there is difference of

1 opinions. And I think that's valuable. I think
2 that's extremely valuable especially in this time
3 where we're moving forward and trying a lot of
4 new technologies. We're trying some new
5 concepts. We're trying new strategies especially
6 in the sector. And I think we need to continue
7 to vet that. A lot of things that we're learning
8 with respect to energy storage we'll talk about
9 today and how you value energy storage, how you
10 look at energy storage and the role it plays on
11 the system.

12 So, I thank you all for coming, and I
13 look forward to a great discussion today.

14 Rich?

15 MR. COWART: All right. Thank you very
16 much, Pat.

17 I guess I also would echo what you --
18 what you just heard from Pat in both -- in terms
19 of thanking our hosts and in terms of thanking
20 you-all because I know it's a significant
21 contribution that you're making to the Committee,
22 to the Department, and ultimately to the nation

1 by providing your expertise to this committee,
2 and, therefore, the Department.

3 It's normal for us to begin by just going
4 around the room and letting everybody quickly
5 introduce him or herself. And so, if you don't
6 mind, we can just start down at that end then.

7 MR. MOHRE: Okay. I'm David Mohre. I'm
8 with NRECA.

9 MR. MASIELLO: Ralph Masiello, KEMA.

10 MR. KRAPELS: Ed Krapels, Anbaric.

11 MR. KELLIHER: Joe Kelliher, NextEra
12 Energy.

13 MR. HEYECK: Mike Heyeck, American
14 Electric Power.

15 MS. GRUENEICH: Dian Grueneich, recently
16 Commissioner of the California Public Utilities
17 Commission and literally, just as of now, partner
18 with the law firm Morrison and Foerster.

19 MR. DELGADO: (Unintelligible) former
20 President -- retired President of American
21 Transmission Company.

22 MR. CURRY: Bob Curry from the New York

1 PAC -- PSC, whatever it is.

2 MR. BUTLER: Fred Butler, formerly with
3 the BPU in New Jersey, and now retired and
4 consulting.

5 MR. BOWEN: Rick Bowen with Alcoa.

6 MR. BARTELS: Guido Bartels, IBM and the
7 Gridwise Alliance.

8 MR. MEYER: David Meyer, Office of
9 Electricity, DOE.

10 MR. COWART: I'm Richard Cowart from RAP.

11 MS. HOFFMAN: Pat Hoffman, DOE.

12 MS. AZAR: Lauren Azar, Wisconsin Public
13 Service Commission.

14 MR. WEEDALL: Mike Weedall, Bonneville
15 Power.

16 MR. van WELIE: Gordon van Welie, ISO of
17 New England.

18 MR. SLOAN: Tom Sloan, State Legislator
19 in Kansas.

20 MR. ROBERTS: Brad Roberts, here in my
21 role as the Executive Director of the Electricity
22 Storage Association.

1 MS. REDER: Wanda Reder, S and C Electric
2 Company and IEEE Power and Energy Society.

3 MR. POPOWSKY: Sonny Popowsky. I'm
4 Consumer Advocate of Pennsylvania.

5 MR. NEVIUS: Dave Nevius, North American
6 Electric Reliability Corporation.

7 MR. COWART: That's right. And, Richard?

8 MR. VAGUE: Richard Vague, Energy Plus.

9 MR. COWART: All right. Thank you.
10 We have a couple of guests in the
11 audience. If you don't mind introducing
12 yourself?

13 (Members of the audience introduce
14 themselves.)

15 MR. COWART: Thank you. Well, thank you
16 very much.

17 I expect that today's meeting is going to
18 be different from most of our meetings in that
19 this is really a -- a planning and working
20 meeting more than it is a -- an opportunity to
21 hear major presentations and then react to them,
22 develop plans for advising the Department in

1 response to them. But what we've realized that
2 we really need to do as a Committee is -- is plan
3 a series of activities that for the next year,
4 for this -- for the year 2011 -- will allow us to
5 produce the kind of assistance that the
6 Department is really asking for. And so it's
7 terrific that Pat Hoffman is here with us today
8 to make sure that -- the kind of assistance the
9 Department is asking for is -- is made clear to
10 us and that we have the opportunity to really
11 respond to that and to put some ideas on the
12 table that we think we want to work on over the
13 next eight months or so.

14 I would expect that in future meetings we
15 would have the opportunity to bear down in more
16 detail on -- in response to substantive
17 presentations from the Department, from the labs,
18 from others in the industry. That's not what
19 we're doing today. Today it's a discussion among
20 ourselves for the most part. I mean, there are a
21 couple of presentations, but it's mostly us
22 trying to engage as best we can to develop our

1 work plans.

2 So, just with that general thought in
3 mind let me encourage everybody to be quite
4 willing to chime in and discuss in a thoughtful
5 way the -- what you think we should be doing,
6 what ideas you would like to put on the table so
7 that we are able to develop that work plan.

8 After this meeting the Committee
9 leadership, the Subcommittee Chairs, and the
10 Department will meet and then try to sketch out
11 something much more concrete for each of the
12 Subcommittees.

13 I think that's all the prelude that I
14 wanted to get into at the moment. We first have
15 a report from the Energy Storage Technology
16 Subcommittee. And Ralph is prepared to do that.

17 MR. MASIELLO: Good. And I have no
18 Powerpoints. You should have two documents in
19 your packet. One is a draft set of policy
20 questions for DOE to consider. And I'd like to
21 take some time with that and have some
22 discussion. And the other is a report on storage

1 activities in the United States that Brad Roberts
2 put together for us that's both a compilation of
3 private industry efforts and also a high-level
4 summary of DOE ARPA-E programs which we took the
5 liberty to put together.

6 So, please find the policy document. Let
7 me summarize it, and then let's have some
8 discussion. The document's short, but it --
9 actually quite a bit of effort from the eight or
10 nine people on the Subcommittee went into it to
11 refine it to this point.

12 So the first bullet seems strange in the
13 aftermath of all the Stimulus money that's gone
14 into storage projects when it says, "Assist in
15 shouldering the costs and risks," but the group
16 felt that on the wholesale side things are
17 happening with storage. For profit companies are
18 making investments, proposing projects, bringing
19 storage forth as an alternative in different
20 capacity RFPs and the like, but on the
21 distribution side there's a real risk of loss of
22 momentum. The distribution demonstration

1 projects are one auths, and there's a feeling
2 that state commissions will have a tough time
3 allowing rate recovery on distribution storage
4 going forward absent some push and momentum. So
5 that's the first bullet.

6 And then the second bullet is really a
7 follow-on to that. The -- as I said, the
8 wholesale side's full of profit driven innovation
9 right now. And subject of a lot of activity with
10 storage around renewable integration in
11 particular.

12 On the distribution side there's a murky
13 set of policy issues, technology issues, rate
14 recovery issues, and it's much more difficult to
15 quantify the value of storage convincingly to a
16 utility executive or a regulator that has to say
17 it's a prudent investment. So we think -- we're
18 suggesting that work on the costs and benefits of
19 distributed storage is an area for work.

20 The third bullet follows this theme a
21 little bit more. We class assets in the industry
22 today as generation, transmission, or a

1 distribution. Storage doesn't fit neatly in any
2 of those categories. And there are already real
3 world examples.

4 And, Mike, forgive me if I misstate it,
5 but I -- but we noted that with the Presidio
6 Substation Storage, for instance, there were
7 questions raised that said it's a transmission
8 asset yet the energy goes in at one price and
9 comes out at another, which the Texas Commission
10 decided to move past, correct? But we saw that
11 as the tip of the iceberg.

12 And a great example is if it's on the
13 distribution system, it's a regulated asset, but
14 yet there's a time arbitrage in the energy. How
15 is that managed? And if the storage is used as a
16 distributed provider of ancillary services,
17 again, how do you bridge the unregulated
18 regulated gap?

19 An even better question is technically
20 there's not much difference between storage on
21 the low voltage side of the distribution feeder
22 and storage in somebody's back yard, but there's

1 a world of difference in how it's treated from a
2 regulatory and financial perspective. So there's
3 some guidance needed.

4 And I don't know that I want to
5 characterize it quite this way, but there was a
6 sense that FERC needs some better information
7 than they get through the adversarial processes.

8 Okay. And then related to that and both
9 wholesale and distribution we need a better
10 definition of what are the products that storage
11 provides. There's been plenty of activity where
12 the storage developers have tried to force
13 product definitions that fit the technology as
14 opposed to what the interconnection markets or
15 the system needs. And this probably is getting
16 things backward, but it's the way the process
17 works today.

18 We have great examples right now where
19 four or five of the ISOs have got variations on
20 the theme of how you define a new regulation
21 product that can take advantage of the storage.
22 And the experimentation is good because out of

1 this will come lessons about what the right
2 product definition is. But in general, this is
3 an area for work.

4 So those are the four bullets. I'd like
5 to ask some of the members that put quite a bit
6 of effort into this to comment on it, beginning
7 maybe with Gordon if I could ask you to comment.

8 MR. van WELIE: I guess my point really
9 was the last point that you made which is I think
10 storage is a very valuable technology. It
11 application on the grid, I think, is evolving,
12 and we need to be careful not to try and sort of
13 drive the wholesale market design to accommodate
14 a specific technology because we're not sure
15 today what the most cost effective technologies
16 of tomorrow will be. So the correct starting
17 point in my mind is to be clear about the
18 definition of the various services that are
19 required in order to keep the grid reliable.

20 I think we're in a phase -- the next
21 evolutionary phase I think in terms of the
22 evolution of wholesale markets where we're

1 starting to unpack what was previously a fairly
2 coarse definition of those various wholesale
3 market services required to keep the grid
4 reliable, but the starting point needs to be what
5 do you need to keep the grid reliable. And then
6 you run the competitive market to procure the
7 least cost service.

8 And whether that comes from storage,
9 whether that comes from something else, the grid
10 operator really ought to be neutral to that. And
11 so the one concern that I had expressed on the
12 call was that we need to be careful and the
13 industry needs to be careful that we don't come
14 up with a solution looking for a problem to
15 solve.

16 The other thing that I also mentioned to
17 -- I think it was Ralph and Rich as well -- which
18 is kind of an interesting finding. We did a
19 report on large-scale wind integration in New
20 England. And one would think that large-scale
21 wind integration would create an economic
22 opportunity for storage, but our simulations

1 actually show the reverse, which is an
2 interesting sort of counter intuitive result.

3 And the reason for that is that there's a
4 price spread between daytime prices and nighttime
5 prices, typically because the load's higher in
6 the day than it is in the night, and you're
7 running more expensive units in the day relative
8 to the night.

9 The minute you put a lot of wind onto the
10 system, you compress that price differential. So
11 you actually greatly reduce the economic
12 arbitrage opportunity for wholesale storage. And
13 so I think it's going to be harder to build
14 storage, not easier, when it comes to sort of
15 classic storage in terms of shifting energy from
16 on peak to -- from off peak to on peak.

17 I think there may be a better economic
18 case for fast regulation services and the like
19 where essentially you're actually allowing
20 somebody to tap into the regulation market or the
21 reserve market if those storage devices can meet
22 the operating requirements in those markets.

1 But it does make me wonder a little bit
2 about as we connect up a lot of wind, how is the
3 economic case going to be made for large-scale
4 energy storage?

5 MS. HOFFMAN: One of the things we need
6 to keep in mind as we look at that is actually
7 the characteristics of the wind and how much wind
8 is on the system, whether you look at BPA's
9 region versus New England versus ERCOT and some
10 of the wind of basically the capacity and when
11 it's coming on.

12 MR. DELGADO: May I ask a question? I
13 have a question for you, Gordon.

14 Can you please explain because I have to
15 tell you, you really blew one concept away which
16 is what is driving the night prices up? What is
17 the mechanism by doing that? You said the gap,
18 the arbitrage gap, is coming down. And my
19 expectation is when you have too much generation
20 at night, the price will come to the bottom.

21 MR. van WELIE: That's correct, but
22 you're also putting -- the wind doesn't stop

1 blowing during the day. So let's take a system,
2 particularly the northeast systems that are --
3 and Texas would be the same way where the
4 marginal unit is gas. So the wholesale carrying
5 price is 90 percent of the time is set by natural
6 gas.

7 So when you put a lot of wind on the
8 system, what you're going to be doing is marking
9 those marginal units off the margin. So you'll
10 be taking some of the least efficient gas units
11 and you'll be displacing them with wind. So what
12 will happen during the day is you're price will
13 come down during the day relative to where it was
14 if you didn't have wind on the system, which is a
15 good thing from a pricing point of view, but it's
16 going to -- if you're a -- let's say you're a
17 pump storage scheme. And your opportunity is to
18 basically pump at night when the prices are low
19 and then inject energy during the day when the
20 prices are high.

21 The arbitrage opportunity in all the
22 modeling we did -- and we looked at putting a

1 large amount of wind on the New England system --
2 that gap closes. And so the amount of revenue
3 there to pay for the capital investment of a
4 storage device actually goes down.

5 MR. DELGADO: As a follow-up, that is
6 very locational specific because the winds in the
7 Midwest during the day basically are not
8 commercially very viable. In other words, we do
9 have a very significant difference day to night
10 that we can see it in the meter. You know, we
11 have much more wind at night than we do during
12 the day.

13 So apparently in New England because you
14 have the coast, you're likely to have a different
15 wind regime. Okay. So if -- in a regime like
16 yours I can see that and I appreciate that.
17 Thank you.

18 MR. van WELIE: I guess what you'd have
19 to look at is we did a model, a mezzo scale
20 model, right across the New England area to model
21 wind speeds. And what you'd have to look at is
22 that mezzo scale model relative to the mezzo

1 scale model of the Midwest and see if there are
2 significant differences.

3 But it wasn't the result that I was
4 expecting. Okay. So I was expecting the
5 opposite which was a greater economic opportunity
6 for storage. And what we got was the inverse.

7 (Mr. Cowart recognizes and yields the
8 floor to Mr. Butler.)

9 MR. BUTLER: Yeah, I just wanted to
10 clarify. And it's too bad that Rob Gramlich is
11 not here from AWEA, but what you're saying is
12 that the fact that the wind on the system
13 depresses the daytime rate is bad for storage.
14 It's not a detriment to pricing and reasonable
15 pricing, but it's a problem for storage.

16 And José's point is that may not be the
17 same everywhere in the country because that
18 differential doesn't exist perhaps as much in the
19 Midwest as it does in New England.

20 MR. COWART: Let's just go around for
21 those who have their cards up.

22 MR. HEYECK: I just wanted to explain the

1 Texas situation to give you an example of -- to
2 give you the idea of what it is.

3 Presidio, Texas, is a border town. It's
4 about a 6 megawatt border town, and we put in a 4
5 megawatt NAS battery. And the justification for
6 that was to defer about somewhere in the
7 neighborhood of \$50 million worth of transmission
8 development for a number of years. And that was
9 the justification for it.

10 I believe the Texas Commission considers
11 the charging and discharging really in the noise,
12 in the losses of the marketplace. So it was not
13 justified based on the economics of the energy
14 market. It was based on the economics of
15 deferring.

16 We also have a number of applications at
17 AEP which has deferred distribution assets. And
18 again, those are not based on the energy side of
19 the equation but more on the upgrading a
20 transformer or a substation.

21 I'd just like to be careful. I think the
22 greatest focus ought to be on the technology and

1 getting the prices down. Obviously a circular
2 volume gets the price down as well, but that
3 should be the focus.

4 How to classify it, I think it's too
5 early in the game. If we start classifying it
6 and putting it in buckets, then you may disincen-
7 the volume that may be out there for other
8 applications beside playing in the energy market.
9 Thank you.

10 MR. COWART: Ralph.

11 MR. MASIELLO: Coming back to Gordon's
12 discussion, that information needs to get out to
13 the storage community because I would guess,
14 Gordon, there are days in your simulations when
15 the wind doesn't blow and the price spread would
16 still be quite high, but it says the storage
17 developer has arbitrage only a few days a year,
18 right? Which means the different technologies
19 are going to be favored based on the capital cost
20 versus the life expectancy of the technology in
21 terms of the number of cycles you can get.

22 So that -- you know, that outcome would

1 shift the developer's perception about what the
2 right parameters of the technology are as well.

3 MR. van WELIE: I'd be happy if the
4 Committee is interested to circulate the study we
5 did. We contracted with GE and EnerNex. So
6 they're both brand name entities who have done
7 work in all of the other regions around the
8 country. And they did a very detailed -- it was
9 a million dollar study, so we spent a lot of
10 money on this.

11 And I raised the question only because
12 there's a lot of talk in the industry about sort
13 of massive ramp up in storage, so people are
14 getting really excited about it. But I -- when I
15 saw that result, I wondered, are you going to be
16 left with sort of niche applications like Mike is
17 referring to, which is you can -- if you can
18 defer a transmission line for a while, you get
19 something there.

20 I think the regulation market is a niche
21 application as well. So I wondered to myself
22 about the economic case for storage under those

1 circumstances.

2 And part of the problem is I think wind,
3 on its own, struggles to be competitive with low
4 gas prices at the moment. So once you have --
5 once you spend the money to interconnect large-
6 scale wind basically by making the transmission
7 investment, you're essentially injecting a
8 subsidized resource into the wholesale markets
9 anyway.

10 And then you want to take advantage of
11 that and put some storage on, and you're sort of
12 in the cycle of as you -- as you distort the
13 wholesale -- the economic price in the wholesale
14 market, it makes it harder to make the economic
15 cases for other devices that you want as well.

16 So I'm not sure what the answer is to all
17 of that, but it did sort of open my eyes when I
18 looked at that and thought, well, we all want --
19 as grid operators, we all want more storage, but
20 storage has to live on that arbitrage
21 opportunity.

22 And, you know, if the Committee's

1 interested, I'll just circulate -- I'll send it
2 to Rich, and you can circulate it to the rest of
3 the Committee.

4 MR. ROBERTS: It's Brad. Yeah, that
5 would be great if you could -- if you could do
6 that.

7 One question, Gordon, in that study what
8 percentage of the wind was offshore?

9 MR. van WELIE: Actually we modeled all
10 kinds of different scenarios there. The
11 directional results were comparable, so we looked
12 at the bulk of the wind coming from onshore, the
13 bulk of the wind coming from offshore, a mix of
14 wind. So we did very extensive scenario analysis
15 on many different scenarios.

16 I mean, the good news was there's lots of
17 wind so we can actually -- if we needed to meet
18 our renewable energy requirements through wind
19 integration, we can do it. There's a big
20 transmission cost. And in this other result
21 which I found counter intuitive.

22 MR. ROBERTS: Okay. Because obviously

1 offshore wind is extremely expensive, the premium
2 for that, which may blow more during the day
3 potentially offshore, but that's -- the price
4 goes up substantially.

5 MR. van WELIE: Yeah, I -- to be honest
6 with you, my instinct is that the onshore wind
7 profile in northern New England isn't a great
8 deal different than other onshore wind profiles.

9 So, what -- to answer the question that
10 José raised, you would have to look at the
11 assumptions in the mezzo scale modeling exercise
12 on wind distribution in New England versus other
13 areas to see whether what we found in New England
14 would hold in other areas.

15 MR. ROBERTS: Well, in general as you go
16 farther north there is more wind typically during
17 the day than the -- what you run into in the
18 Midwest and the Southwest where it's mainly
19 nighttime, not asset, but that report would be
20 good if we could see that.

21 MR. COWART: (Inaudible).

22 MS. AZAR: A couple things. With regards

1 to the regulatory aspects of things, I think that
2 the point that we really need to be focusing on
3 the technology is absolutely on the mark, but the
4 regulations can't get in the way.

5 And so right now I think regulators don't
6 know how to deal with storage, and we need to
7 make sure that essentially the -- any barriers
8 that are created are eliminated so that we can
9 let this play out to see where the best
10 opportunity is.

11 Also, I just wanted to comment on
12 Gordon's note that arbitrage is what's going to
13 be driving storage. And I'm not sure I agree
14 with that, that there may be -- depending on
15 where we end up with how we're going to be using
16 this technology, the arbitrage opportunity may
17 not be the only thing that's driving that.

18 MS. HOFFMAN: So, the one thing that I
19 guess I would ask or question is how many of the
20 other system operators have done similar studies,
21 and is there a way to actually pull some of the
22 regional differences and some of the assumptions

1 and actually be able to pull together several of
2 these studies and actually take a hard look at
3 this? And would that be an opportunity?

4 MR. van WELIE: Sounds like a great job
5 for DOE actually.

6 (Laughter.)

7 MS. HOFFMAN: I need the ISOs to help.

8 MR. COWART: Let's come back around this
9 way.

10 MR. NEVIUS: Yeah, just a question. I
11 know we're the Electricity Advisory Committee,
12 but with the increased dependence of the electric
13 industry and the electricity supply on the gas
14 system, does gas storage come into play here, or
15 should there be any review or consideration of
16 the need for gas storage to -- in support of
17 electric reliability? Just a question to think
18 about.

19 MR. COWART: Let's keep it coming.

20 MR. MOHRE: There was a comment made
21 earlier. We have to make sure that we do not set
22 in place regulations that will inhibit storage

1 development.

2 Last year, if I remember the number
3 correctly, in MISO 845,000 megawatt hours of wind
4 was dumped. All right? Because the system
5 couldn't handle it. And yet -- and, Pat, you
6 know where I'm going with this -- there is a
7 regulation that came out of DOE, another section
8 of DOE, that said you can't have water heaters,
9 controlled water heaters that are over 55
10 gallons.

11 We, PJM, and others around the country
12 use large storage -- typically controlled storage
13 water heaters for both absorbing the off-peak
14 load as well as for frequency regulation. This
15 is a big issue. And yet what we have done is
16 passed a regulation that prohibits the production
17 and use of those.

18 So, thank you for your observation. I
19 think it's on target. We've got to make sure
20 that -- what's the old expression? First, do no
21 harm?

22 MR. COWART: On this last point, is this

1 something that we could put on our to-do list for
2 this committee to weigh in on, this very last
3 point about hot water storage? It seems to me to
4 be an obvious one as a result of this
5 conversation, but curious as to what others
6 think.

7 MR. MASIELLO: I just wanted to chime
8 after Dave's comment. If Barry Smitherman were
9 here, he'd probably echo what ERCOT has said
10 recently that, yeah, the gas system needs to be
11 thought about too.

12 And you can envision a scenario. It's a
13 cold day, the wind stops blowing, right? Do you
14 have enough gas immediately available?

15 Let -- it's too soon to try to draw this
16 to a conclusion but can we think about then how
17 we would modify this document so that it could be
18 then something the committee passes on, Richard?
19 Right? I don't mean to try to close it off at
20 the moment, but that's where we need to go with
21 it, correct?

22 And we'll take up the hot water heater

1 thing certainly.

2 MR. COWART: Yeah, I would agree that
3 what our goal in this conversation is to come up
4 with a to-do list and basically with instructions
5 back to the Committee -- the Subcommittee -- to
6 come up with a document that would be crisp and,
7 you know, directional for the Department.

8 Fred, again? If people don't mind --
9 okay. Ed, sorry.

10 MR. KRAPELS: Thank you. I look at
11 storage as a developer and look at economic
12 opportunity. And I completely agree with Gordon
13 that the off peak, on peak spread economic
14 opportunity for storage as far as we're concerned
15 doesn't exist, and we're not investing in that.

16 But there are two other storage
17 attributes that are equally important, perhaps
18 more important and I don't want to throw them
19 under the bus. One is peak-shaving service. WE
20 are going to submit a 50 megawatt storage project
21 into a utilities RFP because we think we can
22 effectively reduce the peak by 50 megawatts.

1 The service we provide is really a
2 capacity service. In other words, the utility
3 doesn't have to invest in a generator, and it
4 helps that the utility in question is in a place
5 where generation's super expensive. So urban
6 applications for this are terrific, and we're
7 very optimistic about it.

8 The other one is intermittency service.
9 In other words, not on off peak, but the wind
10 stops blowing, you need something to take a fast
11 acting demand response or efficiency kind of
12 mechanisms such as Viridity Energy and others in
13 that space are developing, I think, are very
14 valuable and shouldn't be forgotten.

15 MS. HOFFMAN: And we've been using as
16 ramping services just for terminology.

17 MR. COWART: In keeping with just going
18 around the room in order, if someone has a --
19 wants to respond immediately to something
20 somebody just said and doesn't want to wait, just
21 wave your arm or something and I'll -- I'll, you
22 know -- I'll change the order.

1 MS. HOFFMAN: I just elbow him.

2 (Laughter.)

3 MR. COWART: This should be a free-
4 flowing conversation here. It doesn't need to be
5 too directed by me. José.

6 MR. DELGADO: Just two items. First of
7 all, just to add to what you said, we look at it
8 in the Midwest as midnight load creation.
9 Basically sometimes we have too much generation.
10 And it comes very quickly. And we need to
11 modulate a load and we cannot do it with customer
12 load, particularly at times of bad economic
13 activity and the night shift has disappeared.

14 We have a great difficulty bringing
15 nuclear and coal any lower than that and then be
16 able to serve the next day. We need more load at
17 night. And, frankly, we look at generation -- at
18 storage as a way of taking advantage of that.
19 When you have a whoosh of wind then we can
20 actually handle it because we're having some
21 problems, and we have only a portion of wind that
22 we expect to have. We expect to have much more

1 than what we have right now. We're really having
2 some difficulties.

3 And then the other one is when I looked
4 at the very first comment that Frank made, my
5 impression is that this magnificent list of
6 projects that DOE has been putting some money
7 into ought to have some responses which are
8 terribly important at every level, both
9 distribution and at the bulk level.

10 Now, most of us -- well, I shouldn't say
11 that. I certainly look at the bulk level as the
12 most important aspect because of what I just
13 said. We need an operating tool in order to be
14 able to do so, we need -- with storage being
15 extremely important to us.

16 But I would like to get a feel for the
17 timeliness of what some of these projects when
18 they're coming through. I'm concerned that we
19 might lose interest before the result comes out.
20 And that we begin to diverge a lot of interest
21 into a variety of other things when, in fact, the
22 industry has a need for proving the

1 (unintelligible), we know how to do it. The
2 question is what is the cost? What is the
3 dynamics of storage from every aspect of it? How
4 economic is it? You know, where is the best
5 economy? And we need those answers.

6 I am very leery of losing interest in
7 what has been done so far. We have so much money
8 invested. I would like to make sure that we do
9 push to get some answers and then publicize those
10 answers because the industry is in need of that.

11 There are many other things that can be
12 done. I haven't spent too much amount of time in
13 distribution, so my imagination in distribution
14 is far more limited except what Mike said makes a
15 lot of sense. Vary locational for a while.
16 Anyways, that's the point I'm trying to make. We
17 need to know when these things are coming, and we
18 need to encourage them to come through because
19 the answers are very important to us.

20 MR. COWART: Fred.

21 MR. BUTLER: Thanks. A question, I guess
22 for Ralph on the Subcommittee.

1 It occurs to me that as we're having this
2 discussion about the place of storage and as the
3 Subcommittee is spending time looking at this, we
4 may be guilty -- or I hope we're not guilty, let
5 me put it that way -- of what students of history
6 like Joe Kelliher and myself always are told
7 about generals, that they're always replanning
8 fighting the last war. And are we looking at
9 today's grid and today's demand curves rather
10 than what we hope will be 10 years from now, 20
11 years from now, and will -- should we not be
12 encouraging storage and describing storage as
13 something that will have a different role down
14 the road than it does perhaps today?

15 I'm hoping that's what the Subcommittee's
16 doing, or tell me to what extent the
17 Subcommittee's doing that.

18 MR. MASIELLO: I think what you see is
19 what we have, Fred, so far. But come back to
20 Gordon's discussion again. There's been a number
21 of regional studies of wind integration in
22 particular. And NREL is doing a national 80

1 percent renewable analysis.

2 Most of those did not consider storage.

3 And I think, you know, Gordon is the first I've
4 heard where an ISO is saying, "Look at what this
5 means about storage." So that -- you know, how
6 storage changes those pictures and how the
7 economics for storage change, right, are two
8 pretty important questions.

9 And I would comment, you know, these
10 studies are great, but 20-year forecasts of
11 technology penetration and economics is crystal
12 ball stuff no matter how many computer models and
13 engineers you have turning the crank, right?

14 MR. BUTLER: Let me just get real
15 specific on one point. What if we took a look at
16 what we think the grid will look like and what we
17 think the demand curve will look like in 20 years
18 with X number of thousands, millions, pick your
19 term, of electric vehicles on the grid? Will
20 that change the use of storage or the
21 possibilities for storage?

22 I think that's something that if it's not

1 being done, we ought to suggest that maybe
2 somebody take a look at that as an Advisory
3 Committee. That's really kind of what I'm
4 saying.

5 MS. AZER: If I could just jump in on
6 this discussion -- and a couple things, Fred.
7 Yes, the Committee actually is thinking -- and
8 Gordon's comment about unpacking what essentially
9 services the grid provides, I think we're right
10 now unpacking what storage can provide because
11 storage does not fit into any categories, which
12 makes it difficult to even discuss.

13 I think one of -- in my mind one of the
14 large difficulties in getting storage in action
15 is the lack of our current models to be able to
16 model storage because if, you know, we looked at
17 these models to give us answers on what we should
18 be building. If storage is not one of the
19 outputs, nobody's going to be doing it. And I
20 can tell you in the Eastern Interconnection
21 planning process I'm incredibly frustrated
22 because we can't figure out how to model storage.

1 It's not going to come out as one of the
2 options. And so I would -- I don't know how we
3 can put this on somebody's radar screen.

4 And I think part of the problems might be
5 because it's so amorphous, right? It provides so
6 many different kinds of products and services
7 that you're not quite sure how to model it. You
8 can model it, you know, as your -- pumped hydro
9 seems to be the only way in which they can model
10 storage. But if there's some sort of push or
11 recommendation we can make with regards to making
12 sure the modelers get this on their radar screen,
13 I think we'll be more likely to see some more
14 demonstration projects on how storage can be
15 used.

16 MR. SLOAN: I was with Lauren until the
17 last phrase or so where you talked about more
18 demonstration projects. I think we have, you
19 know, a variety of demonstration projects. My
20 problem relies -- and it goes to that third point
21 on Ralph's summary. And that is how will it be
22 handled in a regulatory environment.

1 Is it an ancillary service to the three
2 categories you already have, or is it a fourth
3 category? And this is terribly significant to me
4 because none of the utilities with which I deal
5 on a regular basis will look at storage because
6 they can't get a determination from our PUC.

7 When I talk with the PUC commissioners,
8 they want to act in that judiciary fashion. They
9 want someone to bring them a filing. And it's
10 the chicken and egg thing. Why would I, as a
11 utility, bring something up if I don't know what
12 you're going to do with it? And therefore, we're
13 not going anywhere.

14 So I come back very strongly to, you
15 know, Ralph's third point that whether it's DOE,
16 whether it's us, whether it's, you know, someone
17 else, we need to define the role of storage,
18 whether it's on a functionality basis or whether
19 it's that fourth category and use that then for
20 policymakers to evaluate, you know, and the model
21 builders to build.

22 I mean, my second major point is we've

1 got a study being done now that look at tying a
2 wind farm, a solar farm, and storage together in
3 order to determine whether or not you can -- I'll
4 use the term -- be more base load like with
5 renewable energy and storage capability.

6 And, again, we're still struggling with,
7 okay, so what does a regulator do with this? You
8 know, whether it's at the FERC or whether it's at
9 our state level.

10 MR. CURRY: Just quickly, Tom. In New
11 York where we've separated generation and
12 distribution, we still have people around who
13 remember the good old days when that hadn't
14 occurred. And I'll go back to our staff and ask
15 them whether there's a process that we could
16 introduce because we can open dockets. We have
17 lots of open dockets, hundreds of them. We can
18 open dockets on virtually anything.

19 If we can get the right people together,
20 we can start to take a look at that question
21 because from a distance -- and that's where I'm
22 sitting -- it is -- this is something that cries

1 out for some sort of refinement even just to take
2 a stab at it to get things started and then catch
3 the flack that comes afterwards.

4 And I -- we may possibly have more
5 flexibility at a state level than perhaps the
6 FERC has or whatever. So I will undertake that,
7 and I'll be back to you in a dialog on it just to
8 get it teed up right and then I'll coordinate it
9 through here.

10 MR. SLOAN: That would be ideal because
11 without casting aspersions I do not have a very
12 creative, or innovative, adventuresome commission
13 and --

14 (Laughter.)

15 MR. COWART: I heard no aspersions there.
16 Sonny's been waiting.

17 MR. POPOWSKY: Yeah, I just wanted to get
18 back to the -- sort of the first policy points on
19 the original memo. And I admit I'm not an expert
20 on what these new types of storage can do, but in
21 terms of classification, when I think of the
22 classic pump storage projects like Bath County, I

1 really think of those as generation-related
2 projects. And even what Ed had just said,
3 whether it's -- I think you said some of them are
4 used for capacity, some of them are used for
5 energy.

6 And what Gordon said that the key is -- I
7 think the key is the arbitrage between the energy
8 prices. Just because something is done at the
9 local retail level doesn't make it a distribution
10 project. It's still -- if I put a windmill in my
11 back yard, it's still a generator. So I really
12 do -- I'm not sure if the distinction you're
13 looking for, Ralph, is between generation,
14 transmission, and distribution. Maybe it's
15 between wholesale versus retail, which I think is
16 a problem especially -- especially in places like
17 Pennsylvania where at the retail level we only
18 regulate distribution.

19 And we don't regulate generation. And
20 there's a big difference in a place like
21 Pennsylvania whether we end up classifying -- if
22 something is being done to reduce energy prices,

1 it seems to me it ought to be probably, you know,
2 it's probably for generation or for energy.

3 But in any case I'm just saying that I
4 think the distinction may not be so much between
5 generation transmission, transmission, and
6 distribution as between wholesale and retail.

7 MR. COWART: Now I've lost my -- I've
8 lost track of my -- Ralph, do you want to respond
9 to that? And then I'm going to come back on this
10 side.

11 MR. MASIELLO: No, I think -- let's let
12 the others comment and then we are getting close
13 to the end of the hour, and we should let Brad
14 discuss the other report, too, so -- and I don't
15 want to try to answer every comment on behalf of
16 nine people either.

17 MR. COWART: Right. Well, one of the
18 things that we actually should -- as we wrap up
19 this discussion in a few minutes -- we should try
20 to recap in bullet form some of the actionable
21 points that have been made.

22 So keep that in mind. If you were to

1 make the to-do list following this, what's going
2 to be on the list? Wanda.

3 MS. REDER: Yeah, I would only say that,
4 you know, I think we're trying to categorize
5 these benefit streams into buckets that we know,
6 retail, wholesale, generation, transmission,
7 distribution. And as I think of storage, you
8 know, it doesn't matter where it's located. In
9 most cases you can find benefits streams that
10 apply across the board.

11 So I think back to José's comment where,
12 you know, we really need to take a good hard look
13 at the outcomes from these demonstration projects
14 and classify the benefit streams and then come
15 back to the implications of, you know, from a
16 policy perspective how this applies.

17 I'm afraid if we get into a situation
18 where we're trying to, you know, use our
19 traditional paradigms, we may preclude the
20 implications in moving forward with storage
21 technologies.

22 MR. ROBERTS: One comment. With the

1 Electricity Storage Association I think if you
2 look at the comments that were made, there's a
3 crying need for a major study to be done. The
4 SA's resources have improved to the point that we
5 think we can drive that now to start making that
6 happen sooner rather than later because it's
7 clear the message is there. There's a lot of
8 other studies that have been done, but nobody's
9 tried to really grab a hold of the storage issue
10 and say, "Okay. Let's look at what this means.
11 Let's look at the next 20 years."

12 One of the concerns we have is there's
13 reports that say 20 percent wind by 2030. Well,
14 that's the random kilowatt hours. We should have
15 20 percent renewable on peak 20 years from now.
16 And so -- and I don't think you can get there
17 without storage, quite frankly.

18 But -- so, I think this has been a good
19 discussion. I think it's pretty clear what some
20 of the action items are because the regulators
21 just don't have anything they can look at or put
22 their arms around to say, "Okay. Now I'm

1 starting to understand this." So --

2 MR. COWART: Thank you. Coming back over
3 here, Mike?

4 MR. HEYECK: I just wanted to try to kick
5 it up a bit. I was triggered by Fred's comment
6 earlier of what's the grid going to look like 20
7 years from now.

8 I'm not sure any one of us can get the
9 crystal ball out, but what we do know is that
10 we're going to have less -- we're going to have
11 more Just in Time. Our energy infrastructure in
12 the United States is more Just in Time. We're
13 not going to have a 60-day coal pile sitting out
14 in the back yard. So, if we have Just-in-Time
15 Energy and infrastructure, we absolutely do need
16 energy storage.

17 So is it our job to really develop the
18 economic model? I think it's our job to reduce
19 the impediments. So let's reduce the impediments
20 of the wholesale market. And I think the purview
21 of creative thinkers and FERC would help there.
22 On the regulated side, I really don't want to

1 impede.

2 So whether it's a distribution or
3 transmission, how it's justified is you go to the
4 regulator saying, "I can justify this battery by
5 saving \$50 million for four years." And that's
6 how you would do it.

7 But right now we're still at \$5,000 a
8 kilowatt or somewhere in that neighborhood and
9 it's very expensive. So the propositions are
10 increase the volume to reduce the cost, but
11 please, let's not demonstrate the same technology
12 over and over and over again. Let's actually
13 demonstrate better technology.

14 So, you have the wholesale market.
15 Reduce the impediments there. The second is if
16 you're going to incent or with Stimulus or with
17 tax credits, let's do it on the -- not rolling
18 out what we already know but rolling out
19 something new so that we can get the prices down
20 and the technology up.

21 So, just kicking it up, I think our job
22 is really to reduce impediments to drive the

1 technology and to increase the volume which would
2 hopefully reduce the price.

3 MR. COWART: Dian.

4 MS. GRUENEICH: One of my themes today is
5 probably going to be encouraging the group that
6 we take the information that's being collected by
7 the Stimulus projects and think about how that
8 then folds into the information that we have in
9 the policies.

10 And so looking at the report that, as I
11 understand it, puts together in one place all the
12 various types of projects that are being funded
13 in the area of storage using the Stimulus money
14 and then putting together the policy report, I'd
15 like to have sort of some crosswalk over between
16 them. In other words, since this is a DOE
17 Electricity Advisory Committee and this is money
18 being funded under the auspices of DOE, some way
19 that we understand who is collecting information
20 from all these various projects, what type of
21 information is being collected, and how that
22 information could then be used to help answer any

1 of the questions that are listed on the policy
2 page.

3 And I mean one example might be, you
4 know, are these projects that are being used to
5 help on the distribution side or not, and which
6 ones are and which ones aren't because, again, it
7 seems to me we've got all this money out there,
8 let's collectively understand what those projects
9 are telling us about because I think that gets
10 back to the point about in order to spend money
11 wisely, we really have got to get a handle on
12 what are we learning from these demonstration
13 projects so that we don't just repeat more and
14 more demonstration projects but understand where
15 they're taking us, how are we driving barriers
16 and costs down.

17 MR. COWART: Any other comments? Why
18 don't we just move on to the next item, Ralph?

19 MR. MASIELLO: Okay. And then I'll --
20 I'll work with the group to try to summarize what
21 we heard and provide that back to you.

22 MR. COWART: I might actually try to get

1 this larger group to go through that process in
2 five minutes, but let's first hear --

3 MR. MASIELLO: Okay. The other item, I
4 think, is to give Brad an opportunity to
5 summarize the --

6 MR. COWART: Right.

7 MR. MASIELLO: -- high level here's
8 what's going on.

9 MR. ROBERTS: Thank you. What I tried to
10 do is kind of give you a perspective of what the
11 world looks like as far as storage and what's in
12 the United States. We're a little over 2 percent
13 of the generating capacity of the system is made
14 up of storage. We haven't seen any molten salt
15 projects in this country yet, but there are some
16 in the works going with solar activity.

17 The compressed air system, there's only
18 one in the United States. The Stimulus program,
19 I think, has two or three projects that are
20 trying to supplement that.

21 I think we're seeing real success on the
22 ancillary service side with what we call fast

1 storage. The economics seem to make sense there.
2 It's been proven that fast storage accomplishes
3 the same task with 40 percent less energy and so
4 that's a win-win for the rate payer. And so the
5 economics of those projects seem to be able to
6 stand on their own without any kind of Stimulus
7 other than in a couple of cases some DOE loan
8 guaranties. So that's encouraging.

9 There is a fair number of potential new
10 pumped hydro projects that are kind of on the
11 books and trying to be sited and approved, which
12 is a fairly big task to do. New pumped hydro
13 systems are much more effective in the fact that
14 they can participate in the ancillary service
15 market when they're pumping or discharging. So,
16 with variable speed drives on the pumps that
17 gives them a lot more flexibility and a lot
18 greater value.

19 One thing I think we need to keep in mind
20 going forward -- I didn't try to address it here
21 -- is that storage is not something that's kind
22 of -- is trying to compete megawatt for megawatt

1 with -- with other forms of generating capacity,
2 particularly on the renewable side.

3 We're at 2 percent now. My estimate
4 would be -- and this is mainly me talking and not
5 the Electricity Storage Association, but some of
6 the studies that have been done would indicate
7 that maybe up to 10 percent capacity is the
8 number. So, it's not like we're trying to roll
9 out hundreds of gigawatts of storage. If it
10 achieves 10 percent 20 years from now, that would
11 be huge. Whether it'll be quite that big or not
12 we're at 22 megawatts, 23 gigawatts, right now.
13 Probably at least another 50 needs to be added.

14 So it's not an overwhelming number
15 because it is a very valuable resource. And that
16 message hasn't gotten across yet. And so I think
17 studies need to be done as indicated in here and
18 educational processes need to be improved. And
19 so I think if we help define some of that in our
20 reports going forward, we can achieve quite a
21 bit. So any questions about the report or any
22 comments or -- DOE provides good summaries of

1 where there -- the status of their different
2 projects and so that is a very good overview of
3 kind of where things are but try to give you the
4 bigger perspective of kind of what this market's
5 all about.

6 Just Around the World is an example.
7 Japan is trying to get to 15 percent. Japan it's
8 a much easier process because their arbitrage
9 value of electricity is huge. It's about 600
10 percent from night to day, so, you know, that's a
11 much easier task to deal with.

12 And Germany's trying to get to about 20 -
13 - about 10 percent. So, this country is going to
14 be -- fall, I think, somewhere between 5 and 10
15 percent over the next 20 years. And so just to
16 try to give you a perspective of what this looks
17 like.

18 That could change potentially with more
19 cars, but, you know, storage and cars is probably
20 going to become a two-way street down the road.
21 Right now the batteries in cars are so valuable
22 that you really only want the energy to go one

1 way. But you can smart charge a car and
2 participate in the ancillary service market. So
3 that's been demonstrated in PJM.

4 So, eventually though I think the value
5 will be such that an individual can decide
6 whether to use their own energy or not as a part
7 of their daily life.

8 And so I thought Mike's comment about
9 Just-in-Time Energy is excellent. The way I
10 refer to it as 20 years from now the power grid's
11 going to look like the internet. And so it's --
12 you know, power's going to be entering and
13 leaving in millions of locations. And you're
14 taking an industry that 10 years ago power
15 entered from maybe 3 or 4,000 points. And now
16 it's up to hundreds of thousands at this point,
17 and millions is right around the corner. So --

18 MS. HOFFMAN: Just want to add to that.
19 I know that I had a conversation with Mr.
20 O'Reilly, I believe, in -- for Ireland. And they
21 have, like, 60 percent of gas that they use to
22 balance the wind, but they do have a pump storage

1 facility. And so taking some of the lessons
2 learned from other countries is valuable but also
3 recognizing that our structure and our system is
4 different which kind of goes back to having folks
5 that have the knowledge to do some of the studies
6 and say, "What are some of the requirements for
7 the system?" As we go back, it's even more
8 looking at long-term resiliency and reliability,
9 and low cost of electricity, and how do we set up
10 the structure. We can rely on natural gas. We
11 can rely on demand response, but what is the cost
12 and potential cost impacts as we balance the
13 whole system?

14 MR. COWART: All right. Now I have the
15 idea that in the next five minutes or so if we
16 don't mind recapping a little bit.

17 I can tell you the ideas that I took out
18 of this conversation, and I'm sure I missed a
19 few. So I'd like people to chime in. Have you
20 been making a list, Ralph?

21 MR. MASIELLO: Yes.

22 MR. COWART: So, do you want to start

1 with your list?

2 MR. MASIELLO: Why not? I think we heard
3 strongly that regulators need information, and
4 it's important to remove barriers to technology
5 development but too soon to try to codify
6 everything into firm buckets perhaps, one.

7 Two, address gas storage. Three, the hot
8 water heater discussion I'm going to abstract to
9 say think about thermal storage because the same
10 kind of issues occur in the large with building
11 efficiency standards and how you operate
12 buildings.

13 Four, there's a need for research -- and
14 it comes back to number one. There's a need for
15 some more R and D into the cost-benefit and a
16 linkage of that to information that comes out of
17 the projects, the various development projects,
18 and the cross-linkage between the data from the R
19 and D projects and the policy discussion.

20 I'm not sure quite what to do with the
21 2030 what's the future of the grid because that's
22 a little bit larger than just electricity

1 storage. And it might be something to take up at
2 a broader level with the Committee. Those are my
3 notes.

4 MR. COWART: And you did such a good job
5 because you just ticked off my list. The -- I
6 want to emphasize a couple of things.

7 What I heard Lauren say is that -- and I
8 would agree with this as a former regulator --
9 that I can sort of see how state regulators would
10 be lost in this right now. And I can envision
11 that it would be quite useful if DOE could
12 commission the work that would help regulators
13 understand the options that they have.

14 I don't envision DOE ever telling the
15 state regulators, "This is what you should do on
16 this kind of thing," but I do envision, you know,
17 advancing the dialog in a way that would really
18 help to -- help the regulators to move forward in
19 this area. So I'm echoing your point and you
20 heard that as well.

21 The point was also made that current
22 models, system planning models, don't really know

1 how to deal with storage. And there was a
2 recommendation that -- and I don't actually know
3 how this would happen, so maybe there are other -
4 - there are smarter people here who would say,
5 "Well, this is actually how this would go
6 forward," but it sounds like a good -- do you
7 have a comment there?

8 MR. MASIELLO: Yeah, I was going to put
9 that on the to-do list for the -- as another
10 item.

11 MR. COWART: Good.

12 MR. MASIELLO: There's a report out from
13 Pacific Northwest National Labs that specifically
14 speaks to what commercially available analytical
15 tools for transmission and distribution planning
16 have and don't have with regard to storage. And
17 we could disseminate that to the full Committee.
18 It's a -- I mean, you can take issues with it as
19 with any report but it's there, and it's not bad.
20 So I'll distribute that, Richard.

21 MR. COWART: Okay. But it does seem like
22 a lab kind of project, frankly, that the labs

1 could look at the models and come up with some
2 recommendations for improving modeling to reflect
3 storage more robustly as an option in modeling
4 exercises.

5 MR. MASIELLO: Yeah, let me put on my
6 for-profit hat a minute and say that's great, but
7 it's good if they got participation from a number
8 of commercial entities, not just one, also.
9 Sorry.

10 MR. COWART: That's well taken. I think
11 that would be -- I'd expect that to show up in
12 your bullets.

13 (Laughter.)

14 Your point about thermal storage and
15 recognizing -- in fact, I would extend it a
16 little bit taking up on Fred Butler's point about
17 electric vehicles. When we look forward, we know
18 we're going to be looking at a grid that will
19 need to incorporate much more actively both
20 thermal storage and smart charging of vehicles.

21 And it's true that we can't predict and
22 we don't really, frankly, need to predict what

1 year that's going to happen and how deep the
2 penetration's going to be or whatever, but if we
3 just start by envisioning an end state which we
4 know we're going to be at at some point with a
5 lot greater penetration of variable generation,
6 and then we ask the question how can we
7 incorporate both what might be called really
8 active storage and also thermal storage and smart
9 charging of vehicles, timely charging of
10 vehicles, we can envision a package that I
11 believe we know we're headed for.

12 And so I think it's really smart for the
13 Storage Subcommittee and for this committee to
14 include those categories as categories of action
15 for the Department.

16 Dian's point about let's evaluate the
17 results of the ARRA Studies, let's make sure that
18 we're actually going to get -- or the ARRA Pilots
19 -- that we actually get the Stimulus money
20 effects evaluated sensibly and -- and that would
21 be something that this committee would want to
22 take a look at, I think.

1 And I think that's -- maybe I'm -- want
2 to add to the list? Sure.

3 MR. BARTELS: No, just a few general
4 comments. So, I think, first fully agreed with
5 Dan's comment about linkage to ARRA and perhaps
6 even in that same context I think we, as a group,
7 not only for storage by the way. There is such a
8 massive amount of reports and studies on so many
9 of the topics we discuss that we do a report. We
10 put it in a drawer, and we start writing a new
11 report, right? So, general comment, I really
12 would like us to look back when we say a report
13 is good, let's see whether we can put more action
14 behind that.

15 And more general question to the Smart
16 Grid Subcommittee is that I was once at an event
17 with a sea of large utility, and he got the
18 question, "What is the single most important
19 technological breakthrough for you?" Right? And
20 he commented without any doubt, "Storage."

21 So, if that's the case -- and I'm not a
22 storage expert at all -- but are we as a team

1 here doing enough in asking us that if we agree
2 with that notion, right? I don't know whether
3 everybody agrees with it, but are we doing enough
4 in this space?

5 MR. ROBERTS: And one other comment, as
6 far as trying to look at the future, if you look
7 at the wind energy industry has a projection of
8 what they think this is going to be. The solar
9 folks have a projection as to what they think
10 it's going to be. There's projections out there
11 of penetration of electric vehicles. So I think
12 you start there with here's the industries saying
13 this is what their industry is going to be. And
14 you pick those numbers, and then you try to sort
15 that out to see, okay, what would that look like.
16 And I think that's where you start basically.

17 MR. CURRY: I would suggest it only
18 (inaudible).

19 (Laughter.)

20 MR. COWART: Anything further to add to
21 the Committee's list of instructions and
22 requests?

1 (No audible response).

2 MR. COWART: We okay? All right. Thank
3 you very much.

4 Now --

5 MS. HOFFMAN: I just want to say thank
6 you. That was a very good discussion. It was
7 very helpful.

8 MR. COWART: David Meyer reminds me --
9 and I think we'll talk about this at the break
10 and then come back with some form of
11 recommendation that the -- this committee needs
12 to take a formal action with respect to a storage
13 report at this meeting. And so I think why don't
14 we just confer at the break as to how we want to
15 characterize that action.

16 Well, we're pretty much on schedule and
17 ready to hear the report from the Smart Grid
18 Subcommittee. And I'm going to turn it over to
19 you, Fred, and if you don't mind managing the
20 rest of it, that would be great.

21 MR. BUTLER: Not a problem. Thank you.

22 The purpose of this Subcommittee report

1 is twofold. One, to tell you what we've been
2 doing; and also then to get some feedback from
3 members of the Subcommittee who have had some
4 time now to think about the things we talked
5 about at the Subcommittee call and also from the
6 other members of the Committee as to what we
7 should be looking at and other things we should
8 be looking at. And I have my page to takes
9 notes, Mr. Chairman, so that I can be ready at
10 the end.

11 We have for you a sound and light
12 component to our report. We're going to have a
13 slide presentation from Joe Paladino, who's
14 sitting there at the end of the table, from DOE
15 on some -- in honor of Dian Grueneich's theme of
16 looking at what the ARRA Stimulus Funding did,
17 some things that are already being done that the
18 Subcommittee took a look at.

19 And in your packets you have a two-sided
20 chart like this because if your eyes are like
21 mine, looking at this up on the projection may
22 not be terribly helpful. So I ask that it be

1 reproduced for your packet so you could take a
2 look at it. This is one of the most important
3 slides in the presentation, so you have it there
4 in front of you.

5 The Subcommittee met by phone last month,
6 and we had a full-blown presentation on this ARRA
7 benefits analysis framework, et cetera. We spent
8 a good period of time talking about that and then
9 also talking about some possible other projects
10 that we might undertake. And those other
11 projects include taking a look at the 2009 Smart
12 Grid document that was produced by the
13 Subcommittee and the previous EAC and seeing
14 whether that needed to be updated or what value
15 we can use from it and going forward.

16 We also want to take a look at the Five-
17 Year Smart Grid Program Plan in the Department
18 and the Long-Range Smart Grid R and D plan in the
19 Department.

20 The main focus of what we're going to be
21 doing in the short term -- now these are all
22 short-term goals -- is to look at the ARRA Smart

1 Grid Programs. And so at this point I think I'll
2 turn it over to Joe to give us this presentation
3 and to explain what it is that they've been doing
4 with a view towards having the Subcommittee
5 comment on -- and analyze his comment on it and
6 make any midcourse corrections that we think
7 might be -- might be necessary.

8 So with that, Joe Paladino. And, Joe, if
9 you'll give your title.

10 MR. PALADINO: Thank you. Thank you very
11 much, Fred, appreciate it.

12 And I'm guessing I'll go about 20 minutes
13 and --

14 MR. BUTLER: That's fine.

15 MR. PALADINO: Thank you very much.
16 It's a pleasure to be here. Fred, thanks for
17 having me here. I really appreciate that.

18 My name's Joe Paladino. I'm a Senior
19 Advisor within the Office of Electricity. I was
20 intimately involved with crafting the grant and
21 the demo ARRA Smart Grid solicitations. And at
22 the same time I also worked with the team to

1 develop the methods by which we would gather data
2 from those projects, do analysis on that data,
3 and then convey that data to the public.

4 And what I'd like to do today is review
5 with you what we've done and then in the end get
6 your comment. Good.

7 The funding -- the Recovery Act funding
8 that we receive basically translated into funding
9 140 Smart Grid projects. The total amount of
10 funding was roughly \$4 billion. Three and a half
11 billion approximately, went to 99 Smart Grid
12 grants. And 600 million went to the
13 demonstration programs. And there are 32 of
14 those. Actually, there's an extra nine of those
15 but -- so perhaps 40 in all, but of those
16 demonstration projects there are 16 that are
17 energy storage projects. And we are going to be
18 gathering information on those projects.

19 The funding basically translated into
20 purchasing and deploying -- we're in the process
21 of deploying now -- Smart Grid assets in various
22 parts of the grid.

1 So, for instance -- and we're still doing
2 the count, but in the next three years we
3 anticipate getting probably 16 million plus
4 meters, mostly residential on the grid at -- a
5 subset of those will be connected to in-home
6 displays, and energy management systems, and
7 other things within customers' premises. We will
8 also be deploying technology into the
9 distribution system, like switches and sensors,
10 and communication systems. In the end we'll
11 probably affect about 4 percent of the
12 distribution feeders in the United States.

13 And then we also have phaser measurement
14 units and associated communications and
15 networking technology that's being deployed in
16 the transmission arena. There were about 166
17 network phaser measurement units in place before
18 we started. And we're hoping to have over a
19 thousand network phaser measurement units in
20 place when this is done.

21 And then, finally, we also are funding a
22 few projects that are equipment manufacturing

1 projects. For instance, Whirlpool is one of our
2 recipients. And they're developing appliances
3 with Smart Grid features. So we're going to be
4 looking, for instance, at the adoption rate of
5 that technology into the marketplace.

6 Within this system -- I just wanted to
7 mention because as we've just talked about energy
8 storage, we're going to be getting -- we're going
9 to be seeing energy storage devices within
10 distribution systems, and we're going to be
11 seeing energy storage also within transmission
12 systems.

13 There are basically two areas that we
14 want to focus on. One deals with how the
15 customer relates to Smart Grid technology. And,
16 in fact, there's a subset of these technologies
17 that I'll talk to a little bit more that also
18 involve dynamic pricing, but I also want to say
19 that at the outset here with you that we are
20 technology neutral. So we're not necessarily
21 condoning or promoting dynamic pricing projects.
22 In fact, we have a lot of direct load control

1 projects which are involved here. We really want
2 to observe the result that we get. We want to
3 observe and determine empirically what is the
4 benefit of Smart Grid technology. Is there a
5 benefit? That's the first question.

6 So we're looking at the customer space
7 and how customers respond to this technology and
8 associated policies with the technology like
9 dynamic pricing. We also want to take a look at
10 are we advancing grid functionality and are we
11 actually creating a delta in grid performance at
12 the transmission level and distribution level.

13 And we're going to focus in very specific
14 areas where we'll be looking at how much we're
15 reducing peak load. We'll be looking at
16 operational efficiencies. For instance, how much
17 we're reducing operation and maintenance costs.
18 We'll be looking at energy efficiency. You know,
19 how much more energy efficient as a system
20 because we're reducing line losses. For
21 instance, (unintelligible) control may result in
22 improved efficiencies across the system. We'll

1 be looking at grid reliability. For instance,
2 you know, SADI, SAFI, et cetera and deltas that
3 we see in those.

4 And we'll be looking at the adoption of
5 synchrophasor technology. What's interesting
6 here is -- and what I'm learning, I spent -- a
7 couple weeks ago I spent three days with folks
8 from the North American Synchrophasor Initiative.
9 And all the recipients, for instance, they're
10 getting this technology from us are in that
11 program. It's going to take a while for that
12 community to adopt and apply this technology as
13 you probably know.

14 So, are we going to actually see grid
15 impacts by the end? Not sure. But we -- we'll
16 hopefully be able to see operators in some cases
17 actually applying the result of the data that's
18 coming in from this technology.

19 And then finally given reduced peak load,
20 operational efficiencies, energy efficiencies,
21 reliability improvements, et cetera, we want to
22 be able to measure if there's any environmental

1 benefit that can derive from improved grid
2 performance.

3 So, we actually have been developing an
4 analytical framework. It's actually translated
5 into a spreadsheet tool with all the underlying
6 algorithms, okay, for about the past four years.
7 And it really derived from work that was done
8 originally in California with several utilities.
9 It's evolved -- pretty much to look at the
10 distribution space, but it's evolved from that,
11 and in fact, we work closely with EPRI. And
12 there's a document that actually captures very,
13 very well the analytical framework. It's an EPRI
14 document, but it was actually mostly funded by
15 the Department of Energy, but we have a very good
16 relationship with EPRI. It's a joint DOE-EPRI
17 project.

18 This book -- and I can get it to the
19 group here. It's called *Methodological Approach*
20 *for Estimating the Benefits and Costs of Smart*
21 *Grid Demonstration Projects*. It captures our
22 analytical methodology with all the underlying

1 algorithms. And it does it very, very well.

2 I'm going to talk about this a little bit
3 more later on, but we are actually working with
4 recipients and stakeholder groups like Edison
5 Electric Institute and others to advance the
6 methodology.

7 So how does the methodology work
8 basically? First, we want to understand what
9 assets we're deploying. And we have lists and
10 lists of assets which we call build metrics in
11 the -- again, in the distribution space,
12 transmission space, consumer space. We're
13 collecting all of this information from each
14 recipient. I'll get into that a little bit more.

15 But, for instance, an asset would be a
16 capacitor control. Okay? Like a switch, et
17 cetera, a faster switch or an automated switch
18 and behind it a distribution management system.
19 And then what we want to do is we want to map
20 what assets are being deployed to what functions
21 they're actually providing on the grid.

22 So, for instance, this technology would

1 result in automatic voltage and VAR control. And
2 so there's a host of functions that we want to
3 map against the assets. And then what does that
4 function do? It actually improves feeder voltage
5 regulation.

6 And as a result of that, what happens is
7 -- is there goodness that actually results from
8 that? And again, we're going to measure this
9 empirically, but for instance, we could reduce
10 feeder losses as a result which could be worth,
11 for instance, \$60 per megawatt hour, and then we
12 could translate that into a monetary value.

13 We're going to be measuring benefits for
14 each project of the 140 projects. And we're also
15 going to be rolling them up so that we can take a
16 look at the overall cost of the ARRA funding
17 against what we think is the overall projected
18 benefit that the program provided. So we'll be
19 doing -- we'll be working at a project-specific
20 level and we'll also be working at an aggregated
21 level.

22 Now I -- these are my favorite slides,

 OLENDER REPORTING, INC.
1100 Connecticut Ave., NW, Suite 810, Washington, DC 20036
Washington: (202) 898-1108 / Baltimore: (410) 752-3376
Toll Free: (888) 445-3376

1 and I -- the reason that you've got your handouts
2 is so that you can actually see what's on this
3 slide. But there are two slides here. There's a
4 slide that's entitled "Assets to Functions", and
5 then there's a second slide that's entitled
6 "Functions to Benefits".

7 And essentially what we've done is we
8 created an algorithm where we're actually mapping
9 Smart Grid assets to functions. And functions
10 include things like -- again, I mentioned
11 automated voltage and VAR control but also
12 automated feeder switching, adaptive protection,
13 measurement and sensing of equipment. And so
14 we're mapping. We're actually mapping assets to
15 functions. And then we're mapping functions to
16 benefits.

17 And we have 22 benefit streams listed
18 here. And we're working with each recipient of
19 the 140 recipients to develop a customized
20 template based upon what their project is doing
21 with respect to deploying assets and what kind of
22 functions they're hoping to achieve. We're

1 trying to map that effort to what benefits we're
2 trying to get out of the project. It's a huge
3 task. Again, there is a customized mapping with
4 each project. And the way we do that basically
5 is with each -- we have a team. I'll talk about
6 that a little bit more later on, but we've
7 developed metrics and benefits plans for each
8 project.

9 And then over the next five years we're
10 going to work with those recipients, each
11 recipient to actually figure out how to do this
12 because this is our best foot forward, but now
13 there's going to have to be a lot of evolution to
14 take this to the next level.

15 And there are lots of recipients that
16 we're working with as well as the stakeholder
17 groups that want to work with us to advance this
18 methodology.

19 There's a computational tool associated
20 with this methodology. What it basically is is a
21 spreadsheet tool. It is under beta testing right
22 now with about six utilities. And we're actually

1 working with EPRI on this. And again, other
2 utilities want to work with us. We're -- that is
3 going to be freeware. We're hoping, like, within
4 the next month -- and I promised Ms. Hoffman over
5 here that we would brief her on it, so, Pat, I
6 promise you that we will do that. She's been
7 trusting me to date, and perhaps I need to check
8 back in with her.

9 (Laughter.)

10 MS. HOFFMAN: (Inaudible).

11 MR. BUTLER: And now that you've said
12 that publicly, yes.

13 MS. AZAR: You realize that's for the
14 record.

15 MR. PALAINO: That's okay. We -- and for
16 the record, Pat and I speak all the time about
17 this. So there's -- this is not -- this will not
18 be -- she under -- we've been actually working
19 together on this for actually the past four
20 years, so -- anyway, so we're going to make this
21 tool freeware, okay, and then hopefully evolve it
22 from there. Okay?

1 There's a subset of projects that are
2 going to be doing rigorous consumer behavior
3 studies. And these studies are supposed to do
4 two things. A, they're supposed to look at and
5 examine what affects at the acceptance of
6 consumers to dynamic prices and to dynamic
7 pricing projects. And given that a consumer does
8 accept the project -- accept the pricing program,
9 what is actually their response to the dynamic
10 pricing tariff?

11 We're looking at a variety of tariffs.
12 We're looking at, you know, critical pricing,
13 rebates. There's no true dynamic pricing
14 project, but if you take a look at the 70 or so
15 projects that have been conducted to date in the
16 country, you'll see there's a lot of variance
17 with respect to, you know, what kind of customer
18 response and acceptance that folks are getting
19 from each of those dynamic pricing projects. So
20 we were actually -- we worked with the Council of
21 Economic Advisors and others to develop what we
22 think is probably the most rigorous approach to

1 develop -- to undertaking these studies. So in
2 the end there might be something external that we
3 could derive from them, but in the end -- and
4 what I think what we're learning, is that what
5 we're doing here is really helping the local
6 decision. It's helping either the Public Utility
7 Commission or the municipal government really
8 understand what -- how customers are going to
9 respond to dynamic pricing and what they need to
10 -- what they would like to implement at the local
11 level. So we truly respect the local level.

12 And what we did here is we assembled a
13 technical assistance group. This is led by Chuck
14 Goldman and Peter Cappers at the Lawrence
15 Berkeley Lab. We have about 15 what I would
16 consider to be experts in the arena of dynamic
17 pricing, statistics, setting up experimental
18 designs. And we are, again, just like with the
19 metrics and benefits matrix I showed before,
20 we're working with each of these recipients in a
21 highly diligent way to set up the experimental
22 design which includes setting up valid control

1 and treatment groups. Treatment group would be,
2 you know, a group that is going to be exposed to
3 a certain dynamic pricing. Rate structure.

4 With pricing we also have -- with many of
5 these projects we also have technology embedded
6 in it. And so, there is -- for instance, some of
7 the customers in addition to pricing projects are
8 going to be getting in-home displays and other
9 information feedback technologies. They'll also
10 be getting technologies like programmable
11 controllable thermostats to help them control.

12 And so what we want to do is we want to
13 tease out the effect as rigorously as possible in
14 a methodologically sound way to tease out the
15 effect of pricing versus enabling technology and,
16 in fact, versus the kind of education they're
17 getting and be able to, again, examine with
18 respect to that backdrop what their acceptance
19 rate is and what their response is to dynamic
20 pricing towers.

21 We're going to be randomizing treatment
22 groups so that we try to eliminate to the best

1 extent as possible selection bias. This is not
2 easy, obviously. And we're going to be
3 collecting highly granular hourly meter
4 information that will last for -- that will go
5 between one to two years in length at a customer
6 level or a customer cohort level. So, in fact,
7 we'll be producing a highly -- a very rich data
8 set that will correlate to man, rate tariff
9 design, customer level -- and customer level
10 information. That will all be downloadable.
11 That'll all be released to the public. And in
12 addition to that we're going to be doing a meta
13 analysis to examine various factors that cut
14 across each of these projects.

15 Right now we have six approved consumer
16 behavior study plans. These are five-year
17 projects. Over the next three years is when
18 we're expecting most of the assets to be
19 deployed, and we want to be able -- we're
20 gathering information to actually keep on top of
21 actually what's deployed. We call those build
22 metrics. They're going to be reported to us

 OLENDER REPORTING, INC.
1100 Connecticut Ave., NW, Suite 810, Washington, DC 20036
Washington: (202) 898-1108 / Baltimore: (410) 752-3376
Toll Free: (888) 445-3376

1 quarterly. We'll be publishing that information
2 quarterly. And the build metrics basically are
3 what are the assets, how much do they cost, what
4 percentage of the service territory are we
5 covering, who's getting dynamic pricing pilots.
6 It'll be highly granular information that we'll
7 be publishing, again, on a per project basis and
8 an aggregated basis.

9 The tricky part here -- the real tricky
10 part here is actually determining what is going
11 to be the impact on grid performance. And so,
12 again, with each of the recipients we're taking a
13 look at how we're going to baseline their
14 performance before they deploy the technology.

15 And then once the technology is deployed,
16 we want to be able to measure impacts. For
17 instance, deltas and operation and maintenance
18 costs, deltas and truck rolls. What's the delta
19 in reliability, et cetera, et cetera? And, in
20 fact, we've got a guidebook that we developed
21 which lists in detail the hundreds of build
22 metrics and -- well, if you add it up, it's

1 probably about a hundred, but the hundred build
2 metrics that we're collecting as well as the
3 hundred or so impact metrics that we're going to
4 be collecting from these projects -- and it's a
5 very arduous task, but quite honestly, what's
6 been very interesting here is going into this we
7 really didn't know how willing recipients were to
8 do this because this is not an easy task, okay.

9 What we found out, fortunately, was that,
10 A, everybody is hungry for this information.
11 They're really hungry for this information, and
12 they want to work with us to help develop it. So
13 that was very, very encouraging.

14 We have teams set up to do this job. We
15 have a benefits analysis team. These are the
16 folks that are going to be -- they're working
17 with each of the recipients to develop the plans
18 and then to be able to take a look at the data
19 they're providing and do analysis on the data
20 with the recipients. So they'll be working with
21 each recipient with respect to the build and
22 impact metrics and undertaking the benefits work

1 -- benefits estimation work.

2 We have another team that I had
3 mentioned, the Technical Assistance Group, an
4 advisory group, which is working with each of the
5 recipients to conduct the consumer behavior
6 studies. We have a database located at the
7 National Renewable Energy Lab. All the project
8 teams are submitting their data to this -- what
9 we call the Data Hub. And that is basically a
10 relational database. We'll be doing analysis on
11 that data, and then we'll be posting that
12 information on a website we have called
13 SmartGrid.gov. That information will also be
14 sent over to the Smart Grid Clearinghouse, which
15 is also a DOE Virginia Tech website that is
16 supposed to be serving the public. And, again,
17 we have a bi-annual report to Congress called the
18 Smart Grid Systems Report. We want to be able to
19 feed that, obviously, because we're impacting a
20 lot of Smart Grid deployment in the United
21 States, and we want to -- we want to be able to
22 report that.

 OLENDER REPORTING, INC.
1100 Connecticut Ave., NW, Suite 810, Washington, DC 20036
Washington: (202) 898-1108 / Baltimore: (410) 752-3376
Toll Free: (888) 445-3376

1 You'll see the groups on the right. I
2 will speak a little bit more to the stakeholders
3 that we are working with actively in this.

4 One thing I did want to mention is that
5 we do have a focus group. Actually, we have more
6 than one focus group set up. We have a focus
7 group with all the consumer behavior study
8 recipients. They get together every two weeks,
9 and they talk about how they're going to work
10 through issues, how they're going to work through
11 analytical issues, how should they approach a
12 certain part of their experimental design, where
13 they're having issues with respect to
14 communicating or lessons learned with respect to
15 communicating with customers.

16 And we're actually going to be enlarging
17 that potentially with EPRI because they also have
18 a set of consumer behavior studies that they're
19 supporting.

20 I won't go through this. I also -- I've
21 spoken to this. This is what we're expecting
22 reporting-wise. Again, on the grant side we're

1 going to be reporting build metrics quarterly,
2 impact metrics semiannually. We'll be doing a
3 meta analysis of all of this information. We
4 want to be able to advance the methodology so
5 that we can support business case analysis so
6 that we can actually, you know, use the empirical
7 data we've got and the algorithms we have that
8 will be able to support utilities' ability to do
9 business case analysis.

10 And then I've mentioned that with respect
11 to the consumer behavior studies, again, each of
12 those projects we'll conduct a -- we'll provide a
13 report. We'll be doing a meta analysis, and
14 there's going to be all this raw data.

15 With respect to the demo projects, we're
16 going to be collecting build metrics, but we're
17 also going to be having each project provide
18 technology performance reports. So with respect
19 to energy storage projects, we will be -- in
20 these technology performance reports we'll be
21 assessing the performance of the technology, and
22 we'll be looking at the cost/benefit aspects of

1 the technology. And all that is going to be
2 reported. And, in fact, I've got a meeting this
3 afternoon where we're trying to finalize really
4 what the -- what that guidance is really supposed
5 to look like.

6 Current efforts with stakeholders, we
7 want to do three things. We wanted to address
8 data-gathering analysis issues because there are
9 a lot. We wanted to advance the benefits
10 estimation methodology that I showed you.
11 Recipients want to work with us to do that. And
12 we want to be able to share consumer behavior
13 lessons learned.

14 So who are we working with? We're
15 working with NARUC and staff from the public
16 utility commissions. We actually have a focus
17 group set up there that we meet with on a regular
18 basis. There are staff members from the utility
19 commissions. There is one commissioner involved
20 there, and there are folks from NARUC, and we
21 meet with them regularly.

22 We meet regularly with Edison Electric

1 Institute and EPRI. We've had several meetings
2 with APPA, several meetings with National Rural
3 Electric Cooperatives Association. And I've
4 mentioned a meeting that I had last week with
5 North American Synchrophasor Initiative. We have
6 a focus group there. All the recipients are
7 going to be working together with us to be able
8 to report on how they're -- how well this
9 technology is being built, how the system is
10 being built and progress on that as well as what
11 kind of applications they're expecting to use.
12 And then finally, we're going to be working with
13 consumer advocate groups.

14 So here are the questions. This is the
15 last slide. Sorry for going so long here, but
16 again, this is -- these are the questions that we
17 propose that you might want to look at with
18 respect to what we're doing.

19 Is the analytical approach sound? What
20 should be the objectives or stakeholder strategy?
21 How do we convey the progress and impact of ARRA
22 programs? What should our communication strategy

1 be? And then how do we integrate the ARRA
2 programs with the base corporate R and D program?
3 And that's it.

4 MR. BUTLER: Thanks, Joe. Observations,
5 questions for Joe? We're going to start with
6 David at that corner and come around the table.
7 David?

8 MR. NEVIUS: Thanks, Joe. Thanks for the
9 presentation.

10 I've got one comment and a couple of
11 questions that may get down into the technical
12 weeds, so I apologize in advance.

13 On the comment I think the synchrophasor
14 applications is going to be a really major issue
15 for bulk power system reliability. And it's how
16 to take all of these very sophisticated
17 measurements of the system and put that
18 information in terms that system operators can
19 use it to detect the beginnings of system
20 oscillations that may be occurring many systems
21 away and what actions they need to take. Knowing
22 that the system is oscillating a certain way is

1 one thing, but what do they need to do --

2 MR. PALADINO: Uh-huh.

3 MR. NEVIUS: -- to prevent those
4 oscillations from growing and working in a
5 widespread, cascading outage. So that's going to
6 be the real challenge there, but first you have
7 to have the data on what's really happening on
8 the system.

9 The other two technical questions -- I
10 noticed that in one of your earlier slides you
11 had capacitor controls listed as one of the Smart
12 Grid assets. And having been involved in the mid
13 1970's on some radio controlled capacitor
14 programs, I wonder what's new that makes that a
15 Smart Grid asset.

16 MR. PALADINO: Uh-huh, yeah.

17 MR. NEVIUS: Secondly, the --

18 (Laughter.)

19 MR. NEVIUS: Other than other people
20 should do it.

21 And secondly, you list the benefits of
22 being able to have better voltage control in the

1 distribution system. I think the benefits are
2 greater than that. I think it lets you optimize
3 your reactive supply throughout your entire
4 system because there's an old saying a VAR at the
5 load is worth two at the brush. That was before
6 brush was exciters.

7 (Laughter.)

8 MR. NEVIUS: But, seriously, you know,
9 optimizing what's the reactive -- the deployment
10 of reactive resources on the distribution system
11 can also benefit the bulk system because then you
12 don't have to draw those VARs off of the bulk
13 system. So I think you should expand that
14 benefit a bit there.

15 And also, again, just a question about
16 what makes this something new and different than
17 what was in place before. Though, the other one
18 is similar on phase shifters. I mean, they've
19 been around for a while, and I come from the land
20 where phase shifters were born in New Jersey,
21 between New Jersey and New York, so again, they
22 were used for flow control between systems.

1 There's even a variable frequency transformers in
2 place in Texas. And that's a very, very old
3 technology originally developed for use at hydro
4 plants. So, again, what makes that a new Smart
5 Grid asset as opposed to just something that has
6 been deployed many years before?

7 MR. PALADINO: Okay. You know, you bring
8 up a good point, but the rate of evolution of
9 Smart Grid technology has varied from utility to
10 utility. And then the ability to be able to draw
11 information from either the sensor or the device
12 that's out there and be able to bring it back in
13 to some corporate, you know, system where there
14 are operators that are actively controlling that
15 -- the distribution system, and to be able to
16 make decisions with respect to those.

17 I think what we're doing is a -- we're
18 helping deploy more of the technology that may
19 have been on the shelf for a while, but where
20 we're also -- with the communications systems
21 behind those, being able to -- because of
22 deploying the technology, being able to advance

1 the ability of operators to really understand
2 what the information is and to be able to better
3 control their systems.

4 So a lot of -- in the grant program a lot
5 of this technology was basically off the shelf
6 technology. I mean, that's what we were trying
7 to do in the grant program. Now the effort
8 really is going to be, you know, gaining the
9 experience on the operator side to be able to
10 apply the technology. And I think that's where
11 we're probably making most of our, you know,
12 impact.

13 MR. BUTLER: Okay. We'll move to Wanda.
14 And I want to ask if we can -- Joe, if you can
15 just maybe take a note or two on some of these
16 and respond once we get around the table.

17 MR. PALADINO: Okay.

18 MR. BUTLER: Wanda.

19 MS. REDER: Yeah, I would just say that
20 we need to think about the metrics that are used
21 going forward. In a lot of cases I believe we
22 quantify the benefits using metrics of what we've

1 used operationally in yesteryear. And to give
2 you some examples, does it make sense to classify
3 an outage as five minutes? I would suggest we're
4 probably moving beyond that right now.

5 If you look at all of the effort that's
6 gone in to capacitor banks and, you know, voltage
7 and losses, does that make sense that that's a
8 pass-through from a distribution perspective? I
9 mean, who are the beneficiaries, and are we
10 establishing recommendations so the beneficiaries
11 -- you know what I'm saying? So I think that we
12 have to consider that in the reports, and the
13 outcomes, and the findings establishing a
14 framework.

15 Another example is load factor. On the
16 storage piece there was some good data that was a
17 coupling between the Energy Association and EPRI
18 suggesting in the '50's our load factor as a
19 country was in the 60 to 65 percent range, and
20 now we're dropping to around 50. So we have
21 build the infrastructure for much more peakier
22 type of load profiles. So we need to incentivize

1 a way that, you know, encourages better
2 optimization. And I don't know that that's
3 really built into our policy making and our
4 metrics going forward.

5 So these are some examples. I think that
6 we have an opportunity here to kind of step
7 backwards and look at the benefits from the
8 aggregate and think about, you know, the models
9 and how we measure now and make recommendations
10 on what we need to do going forward.

11 MR. BUTLER: Thanks. Mike?

12 MR. WEEDALL: So, two quick thoughts.
13 One, Joe, is I'm really fascinated by the
14 consumer analysis you guys are doing. And I
15 believe you mentioned this in your comments, but
16 would really encourage you to make sure that
17 you're looking well beyond just the pricing
18 signals because, you know, certainly experience
19 we've had, I've had, has been that there's more
20 powerful approaches out there than just
21 necessarily pricing. And, you know, to really
22 get the types of response you need a whole bag of

1 tools. So, you know, I'm going to take a note
2 because I'm going to start bugging you on this
3 work because I want to start to follow that more
4 closely.

5 The second thing I would just point out
6 is more awareness that we have been developing a
7 tool out in the Northwest kind of building off,
8 if you will, the EPRI analysis that's really
9 intended for our customers, the 130 plus
10 distribution companies that we serve, where they
11 can analyze specific elements of Smart Grid and
12 determine what the benefit cost ratio would be
13 for them to invest in this.

14 And where -- I mean, we've been working a
15 couple years on the methodology. We're very
16 comfortable with the methodology. The
17 information's crap, so, you know, it's, you know,
18 unfortunate, but it's going to take us all
19 several years to really be able to get to the
20 point where, you know, we're going to be where we
21 want to be to, you know, give our customers the
22 information they need to really understand, you

1 know, what they should be investing in, what's,
2 you know, going to be the highest priority. So
3 we're more than happy to share that, you know,
4 with you and certainly, you know, others that are
5 interested.

6 MR. BUTLER: Thank you. Lauren?

7 MS. AZAR: My comments may be a little
8 unusual, but I would -- this document is
9 fantastic. And as a regulator, I can tell you
10 I've heard the term Smart Grid now for, you know,
11 five years. And when I hear it, I'm like, "Oh,
12 yeah, whatever."

13 And when utilities come to us, they
14 generally don't talk in terms of Smart Grid.
15 They talk in terms of specific technologies. So
16 I understand why we have to put things within the
17 rubric of Smart Grid, but I would start -- I
18 think it's going to be an easier sell to get
19 money from regulators if you start talking about
20 specific technologies and what they do, rather
21 than putting it under the rubric of Smart Grid.

22 And, you know, this -- I was saying to

1 Pat, "This is fantastic." And, you know, having
2 regulators and their -- more importantly, their
3 staff understand how much can be saved and what
4 sort of stability can be provided in the grid is
5 not only important to give to the utilities but
6 to the regulatory staff so that they understand
7 that.

8 But I would really, you know, folks like
9 the term Smart Grid, and it's way too amorphous
10 for me. When you start talking about very
11 specific things about, you know, voltage
12 stability, things like that, I get that. So,
13 just a thought.

14 MR. BUTLER: Chairman Cowart?

15 MR. COWART: Well, I have a comment and a
16 couple of questions. The comment is I'll echo
17 what Lauren just said. I really appreciate the
18 thoughtfulness of the analysis that the
19 Department's trying to do given that, you know,
20 the usual -- just comparing this to what I would
21 consider this to be the usual course of business
22 when something is sexy and exciting and Congress

1 wants to throw a bunch of money at it, and the
2 money gets thrown, and the analysis is not really
3 part of the picture. I appreciate that the
4 Department is trying very hard here to
5 thoughtfully analyze and test a lot of different
6 options.

7 And I'm going to echo again something
8 Mike Weedall said about the consumer behavior
9 part. If the consumer behavior analysis was not
10 part of this, it would be a huge deficit. So,
11 you know, I've seen the results of early pilots
12 that show that benefits delivered to the system
13 or to consumers vary so enormously according to
14 the nature of the technology, the nature of the
15 rate design, the nature of the education they
16 get, that when people just sort of talk roughly
17 about the technology as a former regulator,
18 certainly I just go -- you know, essentially,
19 "Give me a break. Let's talk about something
20 specific."

21 So that leads to my questions actually.
22 So the first is I want to encourage and support

1 the process that you describe here. Now I'm
2 concerned.

3 (Laughter.)

4 These are five-year studies. I feel like
5 we're in a world where -- in a lot of places
6 people are rushing to deploy the technology, and
7 we're just starting the studies to figure out in
8 pilots, well-designed pilots, what in the heck's
9 going to work. So it does just -- there's
10 nothing perhaps for this Committee to do about
11 that except it would be useful to inform
12 regulators and utilities that are rushing to
13 spend money that perhaps the well-designed
14 research and getting some guidance ahead of time
15 would be a good thing.

16 But that then leads to the question is
17 the funding for the five-year study secured or
18 three years from now are we going to find out
19 that, well, we had to cut it off?

20 And related to that is a question really
21 about good research design. It seems to me that
22 a complete research design would try to be

1 testing not just the center of a bell-shaped
2 curve of benefits, but also, you've want to do
3 some sensitivity analysis on what might be the
4 possible tales of effectiveness. And, you know,
5 maybe randomly we're going to get failures, and
6 we'll get tales where there's really, really
7 smashing success or really, really that didn't
8 work at all, just randomly.

9 But it's also worth asking the question
10 as a matter of research design are we prepared to
11 accept that there is a form of goodness in
12 learning that something doesn't work as a -- and
13 are we willing to accept that as part of the
14 research design in testing 70 different things?
15 That's it. Thank you.

16 MR. BUTLER: Guido?

17 MR. BARTELS: Thanks, Fred. By the way,
18 great comments, and one thing I also wanted to
19 mention is on the communications part, exactly
20 the point Lauren made and Richard reinforced. I
21 was talking with some people before the meeting.
22 And sometimes you wonder whether all the

1 attention we ask for Smart Grid and is now firing
2 back a little bit.

3 I mentioned an early description. I was
4 in a meeting with a company in Canada who made
5 this point. They said we are not using the word
6 Smart Grid at all any more when we meet with the
7 regulator because when we use the word Smart
8 Grid, all alarm bells go off, right? I think
9 that's what Lauren was trying to say. So I think
10 the communications part, Joe, is really
11 important. And I think we have had some good
12 support on several items on communication. So I
13 think we really need to leverage some of the good
14 communications capability we have. I'm referring
15 to the early introduction to Smart Grid book, I
16 think was a really good piece of work.

17 The other thing on the stakeholders --
18 and I think the Smart Grid Consumer
19 Collaborative, Joe, would be a good organization
20 to leverage if you're familiar with them.
21 Otherwise, I can bring you up to date, but that's
22 an organization specifically focusing on that

1 consumer behavior and looking at a little of the
2 research which is out there and what we can
3 leverage, et cetera.

4 And then, Richard, on your point about
5 speed, I also had the same feeling when I see
6 five years, right? And so the question would be
7 -- I think it's a very good piece of work. And
8 you almost do a parallel track, right, where you
9 say, okay, do a very sound piece of work which we
10 allow to -- for some more time, but are there --
11 what kind of proof points are there today already
12 in the market from where utilities and regulators
13 clearly see the value being there, and which is
14 already perhaps well documented, and that we
15 start using those cases more in our
16 communication.

17 MR. BUTLER: Okay. Thanks.

18 MR. BOWEN: Yeah, I guess -- I guess kind
19 of building on a little bit of what I've heard
20 here, particularly from my colleague Mr. Bartels
21 around the efficiency of things and how we do our
22 businesses, why don't we just say from the world

1 of someone who's associated with a significant
2 research and development group Alcoa, I know that
3 we -- because I look at a list like this and it's
4 like wow. You know, it's overwhelming.

5 I think what we tend to do is we high
6 grade. We very quickly high grade to a list that
7 we can actually get accomplished and make the
8 most about a value contribution. And so I guess
9 as I kind of looked through the list, I know you
10 guys have got to do that. There's a lot of
11 people who are throwing grenades -- I call them
12 grenades -- over the wall saying, "Well, have you
13 looked at this? Well, have you looked at this?"
14 And I think part of the problem the Department,
15 and I guess that the Committee here in general
16 has got to do is it's got to weed that down to
17 what are the things that are really going to
18 provide us in the short, medium, and long term,
19 if you will, benefit to the overall system, but
20 where is that? You know, can we define it either
21 in a quality of life, or in consumer dollars, or,
22 you know, whatever it is, or safety and security

1 of the system I might add. And being a former
2 member of the Reliability Councils and stuff, I
3 tend to favor, you know, synchrophasors and
4 things of that nature only because I've seen or
5 most of us that have been a part of the grid have
6 seen what's happened when you don't have control
7 or you lose control. And I think most of us also
8 see -- particularly guys like José and myself who
9 have been part of the grid system knowing that
10 the infrastructure is getting old, right? And
11 the unknown that we face in the U.S. today of how
12 to expend capital dollars on the grid systems --
13 and I speak to the utilities and the MISOs,
14 NYISOs of the world -- it causes us to pull back
15 or not spend as much as we could on the
16 infrastructure, which means all the importance of
17 the tools in order to manage that system. So I
18 would tend to favor grid management tools, you
19 know, the things like that that would actually
20 keep it up because a single system outage in cost
21 of dollars to me, you know, as someone who
22 requires electricity to run the plants --

1 significant electricity to run the plants -- is
2 enormous and will dwarf the benefit you get from
3 some of these other things, I guess.

4 So, again, I guess, narrowing of, you
5 know, what it is that you're trying to
6 accomplish, high grading of the list, I mean, I
7 think it's very difficult to do in the job but
8 particular that DOE has because they do have so
9 many grenade lobbers. And to take something off
10 the list, somebody's not going to be happy,
11 right? But I think it would be more effective
12 and more efficient for the organization and the
13 Committee, I guess I would even say, to be able
14 to focus very quickly on a handful and say,
15 "These are really the major impactful things.
16 And here's the criteria we used to develop that."
17 You know, so that you don't just -- it was kind
18 of back to where he was in earlier years. You do
19 a bunch of studies. You put them out there.
20 They sit on the shelf and, well, what happened,
21 right? And so I think if you can give something
22 in a smaller package that people can grab a hold

1 of and then go work, maybe it's more efficient.
2 I don't know. Maybe I'm -- maybe I'm dreaming,
3 but let me dream for a minute, you know, that's
4 how --

5 MR. CURRY: Maybe to belabor the obvious,
6 but to the extent that we can give our impermater
7 [phonetic] to that kind of choice, it can help
8 folks at DOE withstand criticism from the grenade
9 lobbers. And so, if we are comfortable as a
10 group taking that kind of perspective, then we
11 can interpose ourselves -- I'll volunteer --
12 between grenade lobbers and those who have to
13 catch them once in a while.

14 MR. BUTLER: Dian and then Mike.

15 MS. GRUENEICH: First of all, I think
16 this is excellent work, that it really is putting
17 some solid technical parameters around all of the
18 Smart Grid hype that we deal with constantly.

19 Four quick comments starting with what
20 had been the last comment of how do we integrate
21 it with the core. I don't know if there's
22 funding or ability, but to the extent that there

1 is -- and it's not just the DOE are in
2 (unintelligible) but to the extent that there are
3 other projects out there that are -- quote --
4 Smart Grid that are not subject to ARRA funding
5 but could be included within some of this
6 analysis, that would be a benefit especially
7 those that have gotten started. I mean, in
8 California, you know, we've pumped millions of
9 dollars into projects that are not necessarily
10 linked to ARRA funding and getting sort of that
11 within this rubric would be useful. That's
12 subject to funding.

13 A second item is on the behavior change,
14 I would be very interested in whether you're
15 analyzing whether any of the programs or projects
16 are leaning not just to reduce bills, but are we
17 actually driving energy efficiency retrofits?
18 That's -- again, within California we have made
19 an assumption that as customers are seeing this
20 information and understanding the pricing, there
21 will be a linkage to some of the energy
22 efficiency programs, and that will drive then the

1 longer-standing deep retrofits. And so I'd like
2 it if there is something there that is trying to
3 understand that part of it because that is where
4 we really see the big bang for the buck is
5 getting these retrofits done.

6 A third area is what I want to echo which
7 is with all of, you know, this detailed chart out
8 of it having some sense of the priority of the
9 benefits. Not every benefit is equal. And as
10 you're getting your results, I think that's going
11 to be very important to understand which of these
12 benefits really do seem to matter and which ones
13 are nice, but certainly they're not top priority
14 because, again, that's going to drive future
15 funding and future efforts in these areas.
16 Thanks.

17 MR. BUTLER: Okay. Thanks.

18 MR. HEYECK: I guess I'm going to join
19 Dave Nevius as a -- one of those folks that
20 personally knew Thomas Edison.

21 (Laughter.)

22 MR. HEYECK: Yeah, some of the

1 technologies have been around for a long time, so
2 what's new about them? And I guess what's new
3 would be better deployment.

4 On the customer side we need to recognize
5 that this country is largely rural. And if we do
6 a consumer study, I would hope that it includes
7 all consumers, those that want Smart Meters,
8 those that are indifferent to Smart Meters, and
9 those that don't want Smart Meters because I
10 think in some areas of the country I think you
11 need a police officer to install it.

12 It's a -- there is a backlash out there
13 on Smart Grid. So I agree with Lauren. Probably
14 the dumbest thing we did was label Smart Grid as
15 a -- in the lexicon. But I believe in the
16 achievements of efficiency and so on.

17 When you look at the consumer, I would
18 like to make sure that we do it in a space that
19 not only includes the economic times we're in now
20 but in the economic times that include income
21 growth. I do believe that -- I still believe the
22 comment I made last time that, you know, when we

1 made light beer that people actually drank more
2 beer. We have more TV sets. We have more things
3 to plug in because we want comfort. We'll worry
4 about price if our income level is down. So we
5 need to recognize that.

6 But if you ask the consumer what they
7 really want, they don't want any power outages.
8 I mean, this is the most fundamental thing. They
9 don't want any power outages. And if there is a
10 power outage, they want to know -- they don't
11 want to call somebody up and get on a -- and if
12 they do call somebody, they want to know when
13 they're coming back. Is it two minutes, two
14 hours, or two days? So there's a very
15 fundamental issue that we need to address with
16 customers.

17 The last category I wanted to get into is
18 synchrophasors. And we actually were talking
19 about this before the PC was born. And it --
20 it's not the deployment of the devices. It's
21 what do you do with the data.

22 And actually if you -- in EPRI what we're

1 trying to do is bridge that last mile between
2 deploying all these things and visualization.
3 And then take visualization to a closed loop
4 process of if you do detect a problem, it's
5 really simple in order -- really simple things
6 that you can do to avoid inter area oscillations.
7 So what do you do with the synchrophasor data?

8 The greatest impediment to synchrophasors
9 is if they advance and they become part of the
10 control loop. Then we have to make them cyber
11 secure. That's the greatest impediment.

12 MR. BUTLER: David?

13 MR. MOHRE: Actually, Michael, I think
14 you, Nevius, and I installed the generator at
15 Pearl Street Station together, but I might be
16 wrong on that.

17 I just want to publicly say that we at
18 NRECA and our co-op members really appreciate
19 DOE's approach here. And, Joe, we've talked a
20 lot, and I have to say the whole focus of
21 information and analysis tools to local decision
22 makers from our standpoint is spot on. It

1 couldn't be more spot on.

2 We particularly like your approach that
3 deals as much with system benefits because it's
4 been our belief that over the last two or three
5 years grid benefits, system benefits. So
6 bidirectional communication and control have been
7 lost in the policy discussions. And yet,
8 particularly the cooperatives who have very low
9 density systems, that's where the benefits are.
10 And that's why, as FERC pointed out recently,
11 we're kind of the head of the industry because
12 the benefits are so much more clear to us, it's
13 easier to do it. So, it's easier to make a
14 decision.

15 So I'm just saying thank you. Thank you
16 for the communications back and forth, and thank
17 you for focusing where we think you should be
18 focused.

19 MR. BUTLER: Thank you. Gordon, and then
20 we'll go to Joe and -- for any comment back.

21 MR. van WELIE: So, I have just two quick
22 thoughts triggered by Rick and Lauren about

1 getting away from the Smart Grid and focusing on
2 things that give us the best bang for the buck.

3 It strikes me that the biggest culprit in
4 terms of cost on the system is air conditioning.
5 So this issues of -- so I wanted to hear whether
6 there's a linkage between the Smart Grid
7 discussion and the storage discussion because if
8 you can solve the cooling problem on peak, you
9 can make a massive difference in how much
10 infrastructure you have to put out there. You
11 make a massive difference in air emissions and so
12 forth. And so, if you can solve just that one
13 problem, there's an enormous payback.

14 The other one that occurs to me is losses
15 in the system, you know, from the generator all
16 the way through to the end customer. So, that's
17 more instinctive. I think in the first one I'm
18 sure of that one. The other one I'm reasonably
19 confident it will be number two.

20 But those, to me, seem to be the number
21 one and number two areas that one could focus on
22 in terms of reducing costs. And if you can --

1 that sort of focus and those linkages between
2 Smart Grid and storage, that might help us a lot.

3 MR. BUTLER: Okay. Do we have another
4 couple of minutes, Mr. Chairman?

5 MR. COWART: Yes.

6 MR. BUTLER: Okay. Joe, just a few
7 comments in response?

8 MR. PALADINO: Okay. Thank you. I'll be
9 very, very brief.

10 I really appreciate those comments. Let
11 me just respond very briefly to a couple of them,
12 and we can always follow up if you want to.

13 We're working with a base R and D program
14 also. One of the metrics that we're really
15 looking hard at is overall system efficiency,
16 energy efficiency. And hopefully, the Smart Grid
17 program of DOE will translate into really
18 improving overall system efficiency potentially
19 and being able to measure that.

20 The other comment I'd like to say -- and
21 I'm going to go back to this slide -- is you're
22 right. We have a lot of benefit streams here.

1 And so one of the things that we've asked
2 ourselves -- and I'm glad you brought it up -- is
3 where do we really focus.

4 And I think where we're focusing is no
5 the right-hand column that where it says,
6 "Results." So if we can be as meticulous as
7 possible with respect to gathering data and
8 looking at the effect of this technology on those
9 items and do a good job at that, I think we've
10 done a pretty good job. But if you've got any
11 other thoughts about that, it would be
12 appreciated.

13 I think -- I think that's probably all I
14 have for now unless you want to pursue anything.

15 MS. HOFFMAN: Well, can I just add a
16 couple things? The consumer behavior studies are
17 funded through the ARRA grants, so they are fully
18 funded, so there is no concert there with respect
19 to funding issues.

20 The other thing is I know that there was
21 a discussion of five years is a long time, but we
22 are going to be collecting information as we go.

1 Joe mentioned the reporting. And as we report,
2 we're going to crunch and look at some of the
3 benefits analysis. So we're going to hope that
4 we can actually be able to report some of the
5 benefits as we go, as the projects develop, so we
6 actually can provide some direct feedback into it
7 and -- as a lesson learned.

8 And then the final comment that I would
9 like to add is we do have a Smart Grid System
10 Report. And maybe that's something as well the
11 Committee should look at for strategic direction,
12 guidance, and saying, "Okay. Are we doing that
13 or providing any -- how can we add more value to
14 that?"

15 MR. BUTLER: On that subject let me
16 encourage the members of this committee who are
17 still full-fledged members of NARUC to encourage
18 the organization to get some of this information
19 out as it's gathered as we go along because that
20 gets to the point about making it relevant to
21 today and what's being done out in the states
22 today.

1 And Lauren has put her finger on it. If
2 commissioners had some of this information, then
3 Smart Grid may not be as damaged a brand as it
4 seems to be.

5 MR. PALADINO: Right. That's an
6 excellent comment. We will try our best to
7 figure out what information we can get out there
8 as rapidly as possible.

9 MR. CURRY: And feel free back to Barry,
10 myself, even ex presidents have some --

11 (Laughter.)

12 MR. CURRY: -- NARUC.

13 MR. PALADINO: Thank you.

14 MR. BUTLER: Okay. I want to remind you
15 that the second purpose of this report was to get
16 some other ideas from you. If there are anyone -
17 - anyone has any ideas that they want to share
18 right now, if not, please get in touch with me or
19 someone.

20 MR. COWART: I just have one comment to
21 link this conversation to the one we had a little
22 while ago about storage.

1 Perhaps it's embedded in your blue box
2 there of results, but one of the -- when we were
3 talking about storage a few minutes ago, you'll
4 recall that we were looking forward to a grid
5 where there is likely to be a lot more variable
6 generation and the potential for a lot more
7 electric vehicles being plugged into it which
8 creates either a wonderful opportunity or a big
9 problem, depending on how that's managed.

10 And it -- in other presentations like
11 this I've seen that one of the important results
12 is essentially creating the capability on the
13 grid to handle the integration of a greater
14 percentage of variable generation and a greater
15 percentage of electric vehicles. And maybe
16 that's, you know, embedded in the phrase grid
17 reliability or environmental benefits or, you
18 know, you already have it in mind, but being
19 explicit about anticipating that change in the
20 power supply mix and also in the demand mix seems
21 to me to be an important goal for all of this.

22 MR. BUTLER: Joe, let me just add on --

1 kind of on that point.

2 That blue box, the dark blue box on the
3 right, it doesn't seem like there's a follow
4 through on the customer empowerment. Now I know
5 that some of those items are going to be helpful
6 to customer empowerment. But if I'm a consumer
7 or if I'm a consumer group and I look at that
8 blue box, these are the priority benefits,
9 results? I don't see anything that gets me
10 terribly excited. So maybe if you can reword one
11 or two of them or add one that talks about
12 customers' control of their energy usage and
13 maybe bill reduction, which gets their attention,
14 which is important and happens --

15 MR. PALADRINO: Fred, we will do that.
16 We'll rearrange it so that that's more explicit.
17 And we do have focus areas, so maybe I should
18 turn this into what are our analytical focus
19 areas.

20 MR. COWART: Great. Thank you, Fred and
21 Joe and the Committee.

22 It's time to take a break. And I think

1 we've got -- what is it? A half hour or -- we
2 had -- so why don't we come back at 11:15 and
3 take up the next topic. Thank you very much.

4 (Brief recess.)

5 MR. COWART: Thanks. We have a couple of
6 follow-up items, quick follow-up items from this
7 morning's conversation. And the first deals with
8 the Storage Subcommittee's report. As mentioned
9 earlier there is a statutory obligation to create
10 a report from the Storage Subcommittee in the
11 near term. And we are close to the finish line
12 on that, and so I'd like to ask Ralph to comment
13 on how he would like to proceed.

14 MR. MASIELLO: Our idea was that the
15 report Brad presented fulfilled the obligation of
16 what's happening. And the policy points can be
17 revised to reflect this -- today's discussion
18 circulated -- we'll get it back out tomorrow to
19 you, Richard.

20 And those two things could form an
21 interim report with a plan to go back and
22 readdress the R and D needs identified in the

1 2009 report and -- against the here's what's
2 happening and see if there are any other R and D
3 needs that can be identified such as analytical
4 tools for assessment, et cetera, is discussed,
5 but premature to say that we can put that in the
6 report today.

7 MR. COWART: Okay. Thank you. Let me
8 just ask David Meyer does this work from the
9 Department's point of view?

10 MR. MEYER: I think this is -- this
11 concept will work just fine. It -- but I want
12 people to understand very clearly how some of
13 this is going to have to work. That is ideally,
14 this group would -- the full committee -- let me
15 back up a notch.

16 The Subcommittees -- their reports have
17 to be -- have to have the stamp from the full
18 committee in order to satisfy Federal Advisory
19 Committee Act requirements. And so that's easy
20 to do if a subcommittee comes forward, puts a
21 report on a table at a meeting, it's discussed,
22 and then at the end of that discussion the full

1 committee says, "Fine. Done." That's not
2 possible here, so we're going to have to manage
3 this electronically. And I think that's quite
4 manageable, but people just to have to understand
5 that's how this is going to work for this
6 particular item anyway.

7 MR. COWART: Okay. So -- just so
8 everybody understands, Ralph will be writing up
9 the results of our conversation today, appending
10 that to the report that Brad has already created,
11 and then we will then create a final document
12 which will be circulated to everybody, and we
13 will ask for your approval of that document as
14 the report of the committee. And that's going to
15 happen very soon.

16 MR. MASIELLO: Yeah, we'll get -- we'll
17 get it back out end of the day tomorrow.

18 And then there is another element to it
19 which is I asked David if DOE could review Brad's
20 report for correctness that -- in case we
21 overlooked and ARPA-E project or misstated
22 something. There's no sense putting bad data out

1 there.

2 MR. COWART: All right. Anything more on
3 this because we need to return then to this Smart
4 Grid Subcommittee and -- Fred?

5 MR. BUTLER: It was pointed out that we
6 really didn't end with the articulation of
7 exactly what the Smart Grid Subcommittee is doing
8 with regard to Joe Paladino's project in the
9 report. And I just want to make it clear that
10 what the Subcommittee is doing is reviewing the
11 progress and making suggestions, as there were a
12 number of suggestions made today, which I have
13 written down and Joe's written down, and we'll
14 meet on those afterwards going forward as to how
15 things might be improved, directions might be
16 slightly altered and perhaps some more new things
17 might be added if possible as the project goes
18 forward and then some reporting suggestions as to
19 how we can make the data that's gathered more
20 helpful in the short term to the decision makers
21 out there.

22 So that is the approach that we're going

1 to be taking. And I also think that argues for a
2 return by Joe at some point in time. And, Joe,
3 you can comment on -- is this six months that you
4 can come back and tell us where you are and
5 what's been reported and what's being uploaded to
6 the website? And then we could work on how to
7 get it disseminated better.

8 MR. PALADINO: Six months (inaudible).

9 MR. BUTLER: Okay. So maybe not the next
10 meeting but the next meeting we'll have a report.
11 Okay? That's it, Mr. Chairman.

12 MR. COWART: All right. Anything further
13 on Smart Grid's recommendations to the Committee?
14 Yes, Richard?

15 MR. VAGUE: (Inaudible).

16 MR. COWART: Mike.

17 MR. VAGUE: I'm relatively new to the
18 industry, and I think it's very interesting to
19 note how different the innovation model is for
20 Smart Grid in this industry versus other
21 industries noted for innovation, like the
22 internet industry or the telecommunications

1 industry. And I've been to seminars where I've
2 seen utilities present some of their pilot
3 programs for consumer Smart Grid systems and it's
4 -- you know, I've spent my career in consumer
5 marketing outside of a heavily regulated
6 industry. And it was very clear that many of the
7 pilot programs that were established were never
8 going to work. And yet a lot of time and money
9 was spent on these programs, and then a
10 conclusion was reached that seemed to me to not
11 necessarily relate to anything of value in terms
12 of understanding the way consumers really behave.

13 And I think, you know, what you have in
14 this industry is a very centralized situation
15 with a lot of regulation and very little private
16 capital as contrasted against telecommunications
17 or internet industries where you have an
18 extremely decentralized approach with very little
19 regulation and almost complete participation of
20 private capital.

21 And I think a comment was made somewhere
22 along the line that, you know, I want -- it was

1 in essence innovation has to be approved in
2 advance by a regulatory body. And it's hard to
3 envision that we'd have an iPhone or an iPad if
4 Steve Jobs had to go ask permission.

5 And it's also very uncharacteristic of
6 those industries, internet and -- to have
7 multiple-year studies with a hundred
8 characteristics. That's kind of not the way it's
9 done. The cycles are months or, you know,
10 certainly no more than a year. And it's a lot
11 fewer than a hundred characteristics that are
12 deemed to be the important ones.

13 You know, for example, consumer response
14 is one characteristic, which dwarfs, you know,
15 lots of others. So I don't mean to suggest that
16 anything being done here is not of value. It's
17 probably of enormous value, but I'm not sure a
18 model where you have to go ask a regulator for
19 permission is one where rapid innovation is going
20 to occur.

21 MR. COWART: That has been observed a few
22 times.

1 (Laughter.)

2 MR. BUTLER: It should be pointed out
3 that Steve Jobs does not have a monopoly granted
4 by the government to make money or to do business
5 in a certain space.

6 MR. VAGUE: Well, you know, perhaps
7 that's the most important thing to note and
8 perhaps it's an indictment.

9 MR. COWART: Yeah, on that imponderable,
10 I guess I would say, we'll have to move ahead.
11 Mike?

12 MR. WEEDALL: I mean, this'll get me
13 going. And how do I work for the abominable
14 power administration? Never mind.

15 But I think one of the things that
16 certainly we haven't talked about today but, you
17 know, to me is definitely going to be emerging --
18 you know, it's already starting to emerge on the
19 demand side. There's not going to be a whole new
20 set of players coming in. And some of the
21 barriers, you know, that you're talking about,
22 Richard, you know, we're going to get swept along

1 with them. And I think it's important, and I
2 don't know exactly where, you know, in our work
3 this might, you know, fit, but, you know, we need
4 to have it on our radar screen that when Google
5 comes in, you know, as I tell general managers
6 throughout the Northwest, and, you know, their
7 customers download an app and it tells them that
8 their bill is \$127, not, you know, \$137. It's
9 the utility's problem. It's not Google's
10 problem. And, you know, that's just one instance
11 of many.

12 So I think it's -- you know, it's
13 important to, you know, keep that on a -- I don't
14 know where it fits, Rich.

15 MR. COWART: Mike.

16 MR. HEYECK: I like thinking about
17 imponderables. I think the boundary line -- if
18 you think about what as said this morning about
19 energy storage, the boundary line is we still
20 need highways, rail, and we still need the
21 infrastructure. So where is the line between the
22 public good, the infrastructure, and the private

1 innovation?

2 What we want to do is make sure we reduce
3 impediments to allowing them to occur. And right
4 now the gateway is that Smart Meter. It's that
5 point where does that really bridge the gap in
6 the cloud between the private innovation and --
7 but I think for us if we look at ourselves as
8 looking at the energy infrastructure and making
9 sure the impediments are reduced to allowing
10 private innovation, I think that's where the
11 crumb is.

12 MR. COWART: Turn this conversation off.
13 Tom.

14 MR. SLOAN: You know, I sit here and I
15 really like the idea of, you know, of having an
16 app for that. But when all gets said and done,
17 reliability is still the key. And, you know, all
18 carry cell phones that are smart, or dumb, or,
19 you know, somewhere in between. And we've all
20 had calls dropped. We've all had, you know,
21 areas where there is no service. I sure don't
22 want to have to go to my voters and explain that,

1 you know, we've got a really sexy app for you to
2 measure you electricity use, but it's only going
3 to be available -- the electricity is only going
4 to be available for 22½ hours a day. I mean,
5 somehow we can't lose sight of the reliability
6 component.

7 MR. COWART: All right. Let's let this
8 be the last comment on this one.

9 MR. VAGUE: Reliability is what you
10 always hear. And I'm not sure ultimately it's
11 stands the test particularly as we live in a
12 world where -- I mean, if you want to -- I
13 haven't had particularly reliable electric
14 service over the last week in my community.

15 And the biggest issue for the businesses
16 that I'm around has been the loss of internet and
17 telecommunications. So I think -- I'm not sure
18 reliability ultimately is done a disservice by
19 decentralization. It may be enhanced.

20 (Comment by Mr. Delgado off microphone
21 was inaudible and not transcribed.)

22 MR. COWART: I think this is a

1 conversation that we should continue over lunch,
2 at dinner, whatever.

3 UNIDENTIFIED FEMALE: In a bar.

4 MR. COWART: Yeah, right. That's it.
5 It's a great conversation, and, you know, those
6 of us who are veterans of the whole
7 restructuring, you know, movement --

8 (Laughter.)

9 MR. COWART: -- have some appreciation
10 for, you know, the arguments on both sides of
11 this one.

12 I used to bring a black old rotary dial
13 telephone to the Committee Hearings and stick it
14 on the table, you know, and say to legislators,
15 you know, if we hadn't allowed competition in
16 end-use devices, this is what we'd still be using
17 and just to make that point.

18 On the other hand, obviously along with
19 the other people from the industry and the
20 regulatory community here, the imperatives for
21 reliability really do drive hugely what we -- a
22 lot of our decisions, including about

1 competition.

2 (Comment by Mr. Delgado off microphone
3 was inaudible and not transcribed.)

4 (Laughter.)

5 MR. DELGADO: You know, the other thing
6 is -- this is an industry driven by policy, by
7 public policy. We're implementers of public
8 policy. If you forget that, you realize that
9 then you're missing the whole point. There's a
10 lot of stuff we're talking about that if there
11 wasn't some state policy demanding a certain
12 amount of renewable, we wouldn't be talking about
13 it because economically it wouldn't make it.

14 But they're making it because it's a
15 state policy to do so. There's no federal
16 policy, okay. The federal government has been
17 unable to do it, but there's 50 states setting up
18 policy on leading environmental. Good, bad, or
19 indifferent, remember, they have the right to do
20 it and we are the implementers of it.

21 So we have -- there is a very different
22 driver for doing it. And by the way, that is

1 embedded in law. So you like it, don't like it,
2 but that is the fact. That's what it is. And it
3 would not be appropriate for a utility to decide
4 policy because then you'd be taking authority or
5 something that belongs to the people -- and as --
6 as represented by regulators.

7 So from that perspective it is a very
8 different mindset of what we're doing versus
9 what, in fact, IBM or Apple is doing. It's --
10 it's a lot of fund, and it's made a lot of money,
11 and has done tremendous amount of service for
12 everybody. But remember, we're implementers of
13 policy. If you lose that, then you lose the guts
14 of it. That's in law.

15 MR. COWART: Like I said, this is a great
16 conversation. And it is worth noting that a lot
17 of advancements in grid technology and in the
18 distribution of Smart Grid, Smart Meters,
19 controllable load, electric vehicles, you know,
20 that whole list of things actually is implicated
21 here. So, clearly something we can all talk
22 about as we go forward.

1 Fred, we're -- I think we were done with
2 the Smart Grid Subcommittee Report. The third
3 Subcommittee -- or actually, not a subcommittee
4 but a working group report deals with the topic
5 that we opened up last time with respect to the
6 current suite of pending EPA regulations under
7 the Clean Air Act and Clean Water Act and the
8 potential impacts on reliability associated with
9 that. And in -- the Committee heard from EPA
10 about the regulations that are pending. We also
11 -- we heard from some others about anticipated
12 impacts of those regulations and concerns about -
13 - potential concerns about reliability and tasked
14 a small work group to go forward and to consider
15 this question and to come up with recommendations
16 for the Committee.

17 And I am now going to pass around a short
18 report from that Subcommittee. Can you just take
19 -- pass them?

20 (Mr. Paladino leaves the meeting.)

21 MR. COWART: To summarize the -- to
22 summarize our discussions a little bit -- and

1 then I want to ask Pat Hoffman or David Meyer to
2 talk about what's going on within the Department
3 on this topic.

4 We discussed a range of possible
5 responses to the challenge of reliability in the
6 adoption of these new regulations and came up
7 with two that we think deserve the endorsement by
8 the full Committee.

9 Just give you a chance to -- I'll take
10 you through this document very quickly. The
11 first paragraph just describes the different rule
12 makings that are underway. This is what we heard
13 from Gina McCarthy at this -- in this room at our
14 last meeting.

15 We also heard about various independent
16 assessments that have been conducted on the
17 potential impact of the rules, including from
18 NERC, and from the industry, and from some --
19 from the Clean Energy Group there have been a
20 number of such reports now. And we're making a
21 clear point here that the EAC is not attempting
22 to evaluate those reports or to conclude that

1 either there is a, you know, reliability
2 challenge of a certain magnitude or a certain
3 other magnitude in particular. And -- but we
4 emphasize that reliability is paramount and that
5 the Department should act in concert with FERC,
6 NERC, and EPA to ensure that reliability is
7 maintained, will be maintained as environmental
8 regulations are implemented.

9 That leads us to two conclusions, two
10 recommendations that the Secretary create a
11 consultative process with EPA and FERC in which
12 the three agencies agree to communicate on these
13 issues. We're not trying to change the
14 jurisdictional boundaries of EPA or of FERC as --
15 or of DOE as we make this recommendation but
16 recognize that the agencies need to communicate
17 closely to make sure that there will be
18 procedures or processes for reliability issues to
19 be addressed.

20 And then second, there is now a specific
21 recommendation which we felt fairly strongly
22 about which came up actually from Gordon van

1 Welie to our Subcommittee. And perhaps it's
2 useful to just ask Gordon to explain that. Or do
3 you want me to?

4 (Comment by Mr. van Welie off microphone
5 was inaudible and not transcribed.)

6 MR. COWART: Okay. Well, the problem is
7 in terms of anticipating the potential
8 retirements that one -- that might flow from
9 implementation of the EPA regulations. One
10 problem for planning authorities -- and I'm told
11 by David that we should be using the new term
12 planning coordinators -- is that the plan --
13 those coordinators while being responsible for
14 ensuring reliability, that reliability is
15 maintained, are only really allowed to plan for
16 the retirement of a unit after the owner of the
17 unit informs the authority that there is a
18 retirement really going to happen and that that
19 creates a situation where right now, looking at
20 the implementation of these environmental regs --
21 and frankly, other things, too, but let's just
22 take the environmental regulations.

OLENDER REPORTING, INC.
1100 Connecticut Ave., NW, Suite 810, Washington, DC 20036
Washington: (202) 898-1108 / Baltimore: (410) 752-3376
Toll Free: (888) 445-3376

1 The planning authorities are unable,
2 formally anyway, to reach out into the future and
3 do scenario analysis to say, well, it really kind
4 of looks realistic that this -- these units, and
5 these units, and these units might be retired
6 early because of the implementation of these
7 regulations. And let's do some forward planning
8 to anticipate that and to then give us some time
9 to come up with responses, really assess whether
10 a transmission, a new generation repowering,
11 demand response, whatever it is, might be called
12 for. That kind of -- let's -- I'm using the
13 phrase scenario analysis because it's not
14 predictive because the market participant hasn't
15 actually said, "These are my intentions." No
16 one's trying to force the market participants to
17 do that. We're not trying to ask the planning
18 coordinators to read the hearts and minds of the
19 investors to figure out whether they're going to
20 retrofit that unit or retire it. But still,
21 reasonable people who know the characteristics
22 and costs of these things can run scenarios.

1 Gordon's suggestion was that we recommend
2 that FERC and the planning coordinators be
3 encouraged by DOE to broaden that planning
4 process so it can be more forward looking. And
5 I'll invite additional words or amendments to
6 what I just said.

7 MR. van WELIE: You did a great job
8 actually. There's a step beyond that which I'm
9 not sure we should take at this point, which is
10 what one would do about the information that
11 comes forward in these planning studies. And I
12 think that's a very complicated discussion which
13 is better left for the FERC and the planning
14 coordinators, authorities, and operators of the
15 system to go and work through.

16 But I think what this does is at least
17 allows to get good information on the table to
18 figure out what we want to do.

19 MS. HOFFMAN: And I think part of that as
20 the key is to get that information on the table
21 because we have to look at the intersection
22 between the markets, reliability, and

1 environmental protection as well as cost. And
2 so, how do you make educated decisions when
3 variables are changing and there's not a -- and
4 there's a certain level of unknown in the
5 process?

6 MR. COWART: I know I have comments from
7 other members of the Subcommittee who are active
8 on this, so let's start here, David.

9 MR. NEVIUS: Yeah, just one very specific
10 thing. In the second paragraph, the second line,
11 it says, "On the continued operation of the
12 nation's fossil generation fleet." Well, that's
13 accurate with respect to all the Clean Air regs.
14 316(b) can vary significantly affect nuclear
15 units that do not have cooling towers.

16 MR. COWART: Very good point. Did you --
17 you got that?

18 MS. HOFFMAN: Uh-huh.

19 MR. COWART: Okay. Good.

20 Just coming back -- well, let me hear
21 from the Subcommittee first. Michael?

22 MR. HEYECK: Just one of the -- the

1 criteria used by most planning authorities is a
2 deterministic criteria that's supposed to
3 encounter all outcomes or at least outcomes that
4 are probable. The new planning standards that
5 are going to come out probably in 2012 actually
6 for NERC reliability standards do include the
7 fact that you have to incorporated sensitivities
8 regarding the model that you're using.
9 Sensitivities around (unintelligible), demand
10 response, generators at risk, new generation,
11 offshore, onshore, so on and so forth.

12 But let's be clear that we're not trying
13 to predict an exact outcome. So the plant that
14 happens to be on the river here, we estimate will
15 be 82 percent probable of being retired as not
16 exactly what we're trying to get. It's really
17 the sensitivities around it which I think NERC
18 has been forward looking with their TPL-2
19 standards I believe it is for planning.

20 So just to be clear, no one has to say
21 that Acme Unit Number 1 is going to be retired by
22 2012. The problem with the criteria today is --

1 just evidenced by the Path Project that was put
2 under suspension -- we've -- it's been studied
3 for five years. And every year has a different
4 date, 12, 13, 14, 15, unclear, now really
5 unclear. And we don't know what the date is
6 going to be, so the Planning Authority has to
7 determine with some authority what it is that --
8 if this line is needed and when it's needed to
9 the point where the state regulator actually buys
10 it because we actually are going to use land.

11 So let's be clear, the Planning Authority
12 needs guidance, but we don't need to get the
13 micrometer out to determine the exact scenario.

14 MR. COWART: Thank you. Joe.

15 MR. KELLIHER: I just had a question or
16 two for Gordon, but how far in advance in ISO New
17 England do you get an official notification of an
18 intent to retire?

19 MR. van WELIE: Well, actually, since we
20 informed the four capacity markets several years
21 ago, we now get as much as three years' notice.

22 MR. KELLIHER: Okay.

1 MR. van WELIE: Prior to that we didn't
2 even get that much notice. So -- but, of course,
3 you're doing a 10-year -- your -- the reliability
4 studies that you're doing in terms of
5 transmission planning are a 10-year horizon, so
6 there is a disconnect there. And so, whereas,
7 you know, we are facing a specific problem in New
8 England, just for the rest of the group, where
9 about a quarter of our fleet is oil-fired
10 generation that was built in the '50's, '60's,
11 and '70's, and actually, they're being pushed out
12 of the market more to do with economics of gas
13 versus oil than anything else. But the EPA regs
14 are going to accelerate that process.

15 So our guesstimate at this point is that
16 within the next five -- and on the outside -- and
17 10 years, that fleet -- that portion of the fleet
18 is gone. Some of those units will be -- we'll be
19 able to let retire without any consequence
20 because we've already made the transmission
21 investments. Some portion of that fleet is going
22 to create a range of different reliability

1 problems would have to be resolved.

2 One of the criticisms that's come forward
3 with respect to our planning process is that we
4 don't signal that retirement need through our
5 marketplace in any way other than the four
6 capacity market mechanisms that I've mentioned.

7 And so, for regulators looking at that,
8 they say, well, you know, wish you had told us
9 sooner because we would have done something about
10 energy efficiency, or DR, or done something to
11 get some alternative resource sited, and, you
12 know, it seems like the only thing you can solve
13 the problem with is a transmission line. So, the
14 question of how to then solve the problem is much
15 more complicated because it affects wholesale
16 market design, and it affects the planning
17 processes, et cetera.

18 I guess my thought here was just to get a
19 sense and start educating people on what the
20 implications are of retirements of large portions
21 of the fleet. And then I think each region is
22 going to have to go figure out with appropriate

1 guidance from the FERC as to how to go solve that
2 problem.

3 MS. HOFFMAN: And if I can add something
4 there, it goes off of building the time
5 requirements for whether you're replacing it or
6 you're building a transmission line, or
7 implementing a demand response is how are we
8 syncing up all those time requirements as we look
9 at --

10 MR. KELLIHER: Sure, but the three-year
11 window for notification of retirement with
12 respect to the (unintelligible) market doesn't
13 limit your ability to plan beyond that, not in a
14 unit-specific sense, but you can plan in 10 years
15 from now X amount of --

16 MR. van WELIE: Right.

17 MR. KELLIHER: -- oil-fired capacity we
18 think might be retired, or X to Y might be
19 retired. I'm just trying to see how --

20 MR. van WELIE: You can -- yes, I think
21 the -- the -- it's an evolving discussion. So I
22 think technically there's nothing really

1 preventing us from doing the kind of sensitivity
2 analysis that Mike has referred to, and, in fact,
3 NERC is already heading in that direction.

4 The question ultimately becomes down to
5 whether on -- in the end whether we want to
6 create some requirement to be doing that because
7 the problem is dealing with the problem has lead
8 times of five, to six, to seven years associated
9 with it. And a unit owner can hang on until
10 essentially the last minute and then say, "I'm
11 gone." And at that point you're scrambling to
12 solve and, you know, the problem, and it might be
13 expensive or less efficient than had you been
14 given more lead time.

15 How one reconciles the -- sort of the
16 choice inherent in the market for somebody to
17 continue to operate while you simultaneously are
18 planning for that resource to not be there, is
19 not something we have a solution for today.

20 Why we are particularly concerned in New
21 England is that we see that this is going to play
22 out fairly quickly in a fairly short period of

1 time. From anecdotal information that I've seen,
2 and read, and spoken to people in the Mid-
3 Atlantic area, there are many smaller coal units
4 that have similar issues. So, where the owners
5 of those units are going to look at it and say
6 does it make economic sense for me to make the
7 investment given these EPA regs that are coming
8 at me.

9 So I think what's playing out in New
10 England may be sort of a precursor to what may
11 play out on a larger scale elsewhere. And I
12 think NERC took the first step in terms of sort
13 of quantifying -- doing a sensitivity analysis on
14 more and less extreme versions of the EPA
15 regulations and what that might mean in terms of
16 capacity margins in aggregate, but there's
17 another level of detail below that which is what
18 does that mean in terms of the specific localized
19 reliability problems that get created when you
20 retire those -- those resources.

21 So, you know, to Mike's point, you're not
22 going to want to get the micrometer out, but you

1 do need to understand where your problems are
2 going to come from, and broadly speaking, what
3 the solutions might look like to solve those
4 problems.

5 MR. KRAPELS: There is a potential -- I
6 totally agree with Gordon -- a game of chicken
7 that takes place between retiring generators and
8 states on this issue of when am I going to retire
9 and the state's need to do something. And
10 beneath the surface of this discussion is the
11 problem of the capacity market design and the
12 willingness of investors to come in and build
13 generation based on the capacity market design
14 that we have in New England, and New York, and
15 PJM, and California. This is a huge issue that
16 the Committee hasn't discussed yet.

17 What you see in this game of chicken is
18 the states blink, and you have, for example, in
19 New Jersey, Maryland, New York, and other states
20 looking at procurement of capacity through an RFP
21 process that makes this whole discussion even
22 more complicated, but the worry and the concern

1 about generators deciding at the last minute to
2 retire, and they're not being a sure response
3 from the marketplace is a part of the problem.

4 MR. POPOWSKY: You know, I start with a
5 rhetorical question which is -- maybe it's
6 rhetorical. Are we talking about reliability, or
7 are we talking about generation adequacy?

8 I remember I was on the NERC board, and
9 it was pretty clear that NERC did not have
10 authority to establish rules for generation
11 adequacy, you know, reserve requirements. I
12 don't know if that's changed since then, but --

13 MR. NEVIUS: The legislation actually
14 says NERC with the ERO cannot establish
15 standards. Neither FERC nor NERC can establish
16 standards that require the addition or the
17 expansion of generation or transmission.

18 However, we do have standards that
19 dictate the study and reporting of results which
20 is what we're doing.

21 MR. POPOWSKY: Right, and that's what I
22 was going to get to because I was also at work

1 with Dave on that committee when we drafted the
2 legislation at NERC. There was a provision that
3 was presented at the time that would have given
4 NERC and FERC a generation jurisdiction, and it
5 was roundly denounced and rejected.

6 So, I guess it's sort of curious that
7 we're not talking about -- in this document we're
8 talking about NERC, and FERC, and DOE but not the
9 states because it seems to me that to the extent
10 anybody has jurisdiction over generation
11 adequacy, it's the states. And so, you know, PJM
12 can plan. They can encourage generators to stay
13 on line. They certainly can't order new
14 generation. FERC cannot, as far as I can tell,
15 order new generation.

16 But I think in states like Wisconsin, and
17 Kansas, and even Vermont, I guess, the states are
18 still where this is being decided.

19 MS. AZAR: Thank you for that
20 introduction. Two different things: I think --
21 this is one of the things that keeps me up at
22 night, and, in fact, at my urging we opened up a

1 retirement generic docket in Wisconsin to try to
2 deal with this issue.

3 I've got a couple thoughts. First, how
4 this unfolds in regulated versus unregulated
5 states is entirely different. I can tell you in
6 unregulated states they've got even worse
7 problems than we do in Wisconsin, but with
8 regards to this docket we opened up, it's one of
9 the many reasons I have a bull's eye on my back
10 because the utilities do not want to talk about
11 this.

12 So, I think when we're thinking about it
13 and I don't know what more we're going to be
14 doing besides what's in this report, but we
15 really do need to unpack the unregulated problems
16 versus the regulated problems. The regulators,
17 we can get information, and we can predict, I
18 think, a lot better than unregulated states as to
19 what's going to be retired. But I can tell you
20 we need some education with the utilities on why
21 it's important to do that.

22 And I'm going to be a contrarian with

1 regards to we don't need to be plant specific.
2 Given the rapidity within which we will be
3 retiring plants in this nation, first of all, I
4 mean, Gordon has just mentioned this has nothing
5 to do with EPA regs. This just has to do with,
6 you know, the aging infrastructure.

7 The need to get a handle on specifically
8 what plants are going down in order to figure out
9 how the transmission grid is going to be working
10 -- I just think we're naïve if we think we're not
11 going to have to identify specific plants.

12 And I also want to recognize from a
13 competitive standpoint, it's nearly impossible to
14 do that. And so, that's what I've been
15 struggling with in Wisconsin is we've got -- you
16 know, my utilities are saying to me, well, I'm
17 not going to tell you which plants I'm going to
18 retire because, you know, I want to be able to
19 hedge this.

20 And by the same token, as a regulator, I
21 need to keep the lights on, and I know that
22 plants are going to be retired. And, you know,

1 working ATC to try to figure out how to build up
2 the grid and where the grid needs to be built up,
3 we need to know where those plants are going
4 down. So, I think it's naïve to say we don't
5 need to drill down. I think we need to drill
6 down now is the bottom line.

7 MR. COWART: Thank you. This looks like
8 a lively discussion, and we still have cards up,
9 so we're going to have to return to this after
10 our speaker and lunch break, which I'm happy to
11 do. But let's make -- let's now turn it over to
12 Pat and you're going to introduce the Under
13 Secretary?

14 MS. HOFFMAN: Thank you, Rich. What I'd
15 like to do is actually introduce Under Secretary
16 Koonin. Dr. Koonin was nominated or confirmed as
17 Under Secretary in 2009. He actually brings
18 great insight to the Department because he has
19 had positions that have been a university
20 professor and an administrator at California
21 Institute of Technology as well as he has
22 experience in the private sector being the Chief

1 Scientist at BP. So what he does is brings a
2 great balance between the science and the
3 technology and applied side.

4 He's also served on numerous advisory
5 committees from the Department of Energy, the
6 National Science Foundation, Department of
7 Defense, and as a Fellow of the American Physical
8 Society. So what he also can bring is very
9 insight on the value that advisory committees can
10 bring to the Department and other entities in
11 providing strategic leadership to the nation.

12 So I'd like to welcome Dr. Koonin and
13 really say I appreciate you coming here today.

14 DR. KOONIN: Thanks, Pat. Can you hear
15 me without a microphone? Is that all right? Use
16 my teaching voice. You need to record it. Yeah,
17 all right. I'm stuck behind the podium then.
18 That's fine.

19 Thanks. I gather I'm the last thing
20 before lunch, so I'll try to be lively, and
21 brief, and maybe get some discussion going.

22 The Department of Energy is about energy,

1 but it also has several other missions: nuclear
2 security, basic research, environmental
3 management, but energy is probably the thing
4 that's foremost on the administration's mind and
5 the public's mind during the last year or now.

6 To drill down even further, let me assure
7 you that power and the grid are also much on my
8 mind. On Tuesday I spent a whole afternoon with
9 the folks from Cal PUC, Cal ISO, and the three
10 big utilities on a fascinating discussion about
11 what DOE assets could be brought to the
12 prediction of grid with the uncertainties
13 associated with it as well as the real time
14 management. And I believe there are substantial
15 assets in the Department in the national
16 laboratories that can be brought to bear on some
17 of the problems you were just discussing.

18 I want to talk broader picture for a
19 minute in part because we're increasingly out and
20 about trying to talk to the public about what an
21 analytic energy strategy would look like for the
22 nation. And we've started to talk about the

1 energy challenges that the country faces in three
2 buckets or three dimensions. One is associated
3 with oil, our vulnerability to not only the price
4 but the fluctuations in the price in the global
5 oil market are coupling to that global activity,
6 in fact, is causing us a lot of trouble at the
7 moment, as you probably well know from reading
8 the papers.

9 Less widely appreciated is the increasing
10 concentration in the conventional reserves of oil
11 that the world has in the hands of a few national
12 oil companies. That blue wedge down at the
13 bottom shows that better than three-quarters of
14 the reserves are in the hands of Saudi Aramco,
15 Pedevesa [phonetic], Petrobras, and so on. And
16 only about 10 percent of the conventional
17 reserves are accessible by the international oil
18 companies like Shell, BP, Chevron, and so on.
19 So, that is rendering us subject to the actions,
20 and these days, the fates of countries that are
21 not always so clear to us. So, oil is one.

22 The second challenge is environmental,

1 associated with increasing greenhouse gases in
2 the atmosphere due to conventional use of fossil
3 fuels and that's impact on the global climate.
4 While there are perhaps some uncertainties about
5 exactly what's going to happen, the growing
6 concentrations are posing a risk that most people
7 we, society, should not be taking long term.

8 And then finally there is the issue of
9 U.S. competitiveness. We used to say that, well,
10 let the commodity things go and be manufactured
11 abroad, and we'll handle the high-tech things.
12 Well, in fact, increasingly we see high-tech
13 manufacturing going on in Asia, other parts of
14 the world. This chart shows lithium ion battery
15 production one percent in the U.S., most of it in
16 Japan, China, South Korea.

17 Many other fields the electrical
18 infrastructure that you-all purchase and operate,
19 not manufactured here in the U.S. much anymore.
20 We've got to deal with that.

21 And then with respect to competitiveness,
22 also the financial situation of the government,

1 this shows the historic and projected trends in
2 the federal deficit. You can see that we've had
3 a real regime change in the last year or two and
4 that looking out over the next decade we're going
5 to be in the red significantly at the trillion
6 dollar level each year.

7 And so these are all factors that touch
8 on, more or less directly -- on the energy
9 situation. And we've got to manage solutions to
10 them that are timely, material, and economic all
11 at the same time.

12 The administration has set goals to try
13 to manage some of this greenhouse gas emissions
14 from energy-related activities down by 17 percent
15 by 2005. I think there's a good chance we will
16 make that down by 80 some odd percent by the
17 middle of the century.

18 And then on the oil front to reduce daily
19 consumption by 3½ million barrels a day, just
20 about 25 percent of what we use for
21 transportation every day.

22 How are we going to get there? Let me

1 not go through the pretty pictures, but let me go
2 through some words. We've been trying to get
3 down on one chart everything a non-expert might
4 need to know as we think about transforming the
5 energy system. Let me go through that for you.
6 Some of it I expect will be in your DNA, but
7 others, as I discovered in the Tuesday
8 discussion, might be somewhat interesting to you.

9 The first of all, energy as a whole is
10 big and it's expensive, and it's a system. We
11 have trillions of dollars of capital tied up in
12 what we're using already, and it all needs to
13 function together as you-all well know and were
14 discussing.

15 The second most people forget is most of
16 it is in private hands. And those of you who
17 might be public or semi-public entities still
18 behave like private entities in the sense of
19 trying to deliver electricity at the lowest cost
20 to your consumers.

21 So the government's role in direct
22 deployment is pretty thin; however, the

1 government does govern things by the economic and
2 regulatory playing field that it sets.

3 On the supply side which is fundamentally
4 different than the demand side, the system is
5 characterized by a few centralized assets
6 together with a distribution system.
7 Historically, change has required decades to have
8 any material impact. The electrons that you
9 produce and the few molecules that the oil
10 companies produce are commodities. And that
11 means that you're operating on thin margins. And
12 as you think about new projects, technology is
13 among the least of the levers that you perhaps
14 can pull. Market conditions, operations,
15 guaranteed off-take agreements, and so on are
16 probably much bigger levers in ensuring the
17 success of a project so technical innovation is
18 not something that's first on everybody's minds
19 these days.

20 The disjointness of the energy sector in
21 terms of transport versus stationary is also
22 something most people have not understood even in

1 the government that you will not fix the oil
2 problem by building more nuclear power plants.
3 Or even that the clean energy standard for power
4 that we're talking about will not help with the
5 oil supply issue, much as some of the political
6 statements getting made imply.

7 As I mentioned, transport is about oil.
8 Power, well, you-all know that better than I, so
9 I'm not going to go through it.

10 On the demand side, it's a little bit
11 different. The assets are in the hands of
12 millions, hundreds of millions of different
13 actors. They do not always have finance at the
14 top of their list. For the consumers, it's
15 personal preference. It's convenience. It's
16 behavioral patterns and all of that determines
17 what happens.

18 The turnover is much more rapid.
19 Appliances, even automobiles last a lot shorter
20 than power plants or transmission lines do. And
21 as you-all well know, little attention has been
22 given to system optimization in the power sector.

1 This is, I hope, a familiar depiction of
2 the energy flow in the U.S. The point to take
3 away without going through the details is the
4 separation of petroleum on the bottom into
5 transport and a little bit of industrial use, the
6 exclusive use of coal for power and then the
7 diversity of sources that feed power.

8 If you look at this and you understand
9 some of the other things I talked to you about
10 about the energy system, you realize that there
11 are essentially six things we, as a country, need
12 to do to address the energy problems. If we do
13 them, we'll make progress. If we don't do them,
14 we won't. And so keyed in with that graph on the
15 supply side, we need to develop, deploy clean
16 electricity sources, solar, wind, nuclear are
17 perhaps the most important -- gas, as you
18 probably all well know will be a bridge to the
19 clean electricity future. The words roll off the
20 tongue.

21 On the mobile side of supply, liquid
22 hydrocarbons are not going away any time soon.

1 For heavy duty and even for light duty vehicles,
2 it's hard to beat the energy density in liquid
3 fuels. And so we've got to develop alternative
4 sources. Advanced bio fuels are most prominent
5 among them.

6 On the demand side efficiency -- 40
7 percent of energy used in buildings we can do a
8 lot better with both retrofits and new build.
9 Vehicle efficiency, there was a great article
10 today -- I think New York Times or maybe Wash
11 Post -- about how even conventional automobiles
12 are now up at 40 miles per gallon with about a
13 \$1,000 or \$1,500 price increment. A lot of head
14 room in building more efficient conventional
15 engines. And then somewhere in the middle,
16 modernize the grid. I'm not going to say any
17 more about that. You can lecture me on that.
18 And electrification of the light-duty fleet
19 progressively, a succession of hybrids. Most of
20 the automobiles sold in 10 years will be hybrids.
21 Plug-in hybrids -- we've just seen the Volt come
22 on and eventually, perhaps, battery electric

1 vehicles.

2 I was fascinated by the discussion in
3 California which is, in fact, a leader in
4 electrification of the fleet. And at least the
5 folks in PG&E were not so much worried about the
6 absolute load that vehicle electrification would
7 place on them but were more worried at the local
8 level where everybody in Marin County or in
9 Berkeley suddenly buys a plug-in and they've got
10 problems with the local distributions system.

11 We have put out recently a strategic plan
12 for the Department which is available for public
13 comment. The strategies go in three buckets.
14 It's always three. Deploy the technologies we've
15 got right now. And you can see modernize the
16 grid up there is prominent among the steps we're
17 trying to achieve. Discover new solutions.
18 We're putting in place research organizations
19 like ARPA-E, the Energy Frontier Research
20 Centers, the hubs to accelerate the motion from
21 the laboratory out to material impact.

22 And then very importantly, I think, lead

1 the national conversation on energy. There is
2 such misunderstanding and misinformation out
3 there about energy that the more we can push
4 sound techno-economic analyses the better
5 policies we're going to get in the end.

6 We are announcing today -- and the e-mail
7 will go out today, of course, because of this
8 meeting -- no -- coincidentally, a kickoff of a
9 quadrennial technology review that will be a
10 foundation for an analytic framework balancing
11 technology activities in the Department.

12 One of the principles by which would be -
13 - should be constructing a portfolio. What
14 technologies should be in? Which out? How do we
15 manage the interface between the government and
16 the private sector in demonstrating and deploying
17 new technologies? Many people feel a national
18 conversation long overdue, and this will be a
19 start at that.

20 We will issue on Monday a framing
21 document that lays out the energy context, the
22 challenges, and poses some questions about DOE

1 programs. So I would urge you-all to have a look
2 at that and respond. And then I would just note
3 that we're committed to full outreach and
4 transparency. Going through this we will not
5 become the victim of faults that other energy
6 strategies have fallen to. And there'll be
7 numerous workshops and public comments, and focus
8 groups, and so on. I expect some of you will
9 play a role in all of that.

10 Let me not go through that, but simply
11 say I welcome questions and comments on what I've
12 told you this morning. Thanks much.

13 MS. HOFFMAN: All right. I open the
14 floor for comments. Oh, come on.

15 MR. VAGUE: The one thing that seems like
16 it's been a profound change over the last years,
17 few years, has been the increase in natural gas
18 that's commercially available. And even your
19 first slide where you showed the dependency on
20 foreign oil, and that equation feels very
21 different today than it did three or four years
22 ago because of the opportunity to use natural gas

1 as a substitute for oil in at least some cases.

2 That -- it just seems so structural that
3 it -- I think the whole industry feels
4 differently now.

5 DR. KOONIN: I would agree with you.
6 We're seeing unconventional gas now, I think, at
7 15 percent of U.S. production. Gas imports have
8 -- shrinking to zero. It is -- I don't want to
9 sound too much like a methanophile, but it is,
10 you know, quite a bit cleaner than coal. It's
11 abundant, relatively economic. We've seen a
12 decoupling of gas and oil prices over the last
13 couple years. And gas prices right now are
14 staying low.

15 There are environmental concerns with
16 tracking and shale gas production more generally.
17 I think EPA has spun up a study to look at those.
18 I think we need some coherence in the state
19 regulations about how you produce unconventional
20 gas, but certainly for power, I think it's a game
21 changer. And you look at EIA's projection of
22 what power capacity will be installed over the

1 next 10 years, and gas is the biggest piece of it
2 by far.

3 On transportation, for fleets, sure, why
4 not? And the delivery vehicles and other things
5 like that maybe even long-haul trucking if you
6 want to do that. The problem for more broad
7 acceptance is simply the distribution
8 infrastructure. And do you want to go to gas, or
9 do you want to go straight to electricity? And I
10 think it takes a lot of study to really
11 understand what the advantages and disadvantages
12 are doing that.

13 One of the issues, of course, is if you
14 go to gas significantly for transport, you wanted
15 to do all of transport or let's say light-duty
16 transport, you'd need something like a 50-percent
17 increase in current gas production to power that.
18 And we've got lots of other growing uses for the
19 gas. So I think it's a systems issue that needs
20 optimization.

21 MS. HOFFMAN: And one thing that we need
22 to keep in mind that Michael Heyeck brought up

1 earlier in our conversation is we're getting into
2 the just-in-time processing within the electric
3 sector and storage, the different storage
4 requirements. We're going to lose some storage
5 requirements as you look at the storage of coal,
6 your storage of gas. It's going to have to be
7 looked at as well across the system. And Mike
8 was talking about that earlier in our
9 conversation.

10 DR. KOONIN: Storage of the fuel and
11 stuff, yes.

12 MR. COWART: Can you comment on the
13 degree to which -- I would -- I'm intrigued by
14 the title of the quadrennial plan. That is the
15 Quadrennial Technology Review. And maybe you can
16 comment on that --

17 DR. KOONIN: Why is it that?

18 MR. COWART: -- on this strategic -- and
19 the reason I'm asking is that, you know, a lot of
20 the things that you're talking about, it's --
21 there's -- say, the consequences for the nation
22 lie at the intersection of the technology and the

1 policy.

2 DR. KOONIN: Right.

3 MR. COWART: And so it isn't just, gee,
4 what's on our list of available technologies, but
5 rather, what does this imply for policy?

6 DR. KOONIN: Right. Let me start at a
7 higher level and I'll get eventually to the
8 answer to your question, which actually I think
9 an interesting one.

10 Let's contrast energy with defense.
11 Defense is a function that the government decided
12 more than two centuries ago was really important
13 for the government to carry out. And it has put
14 into place a number of organizational constructs
15 that make sure it gets done independent to what
16 happens in the political system. We have a
17 professionalized corps of people in the
18 government, not only the uniform services, but
19 also Acquisition Corps, and Logistics Corps, and
20 so on, who make sure that that gets done.

21 We have enduring apolitical organizations
22 like the Office of the Secretary of Defense, the

1 Joint Chiefs of Staff, which make sure, again,
2 independent of politics that the mail gets
3 answered so to speak.

4 And then, finally, we have a bipartisan
5 four or five-year planning process, the
6 Quadrennial Defense Review, which sets
7 strategies, goals, budgets -- or at least budget
8 recommendations -- for the defense function.

9 If we were really serious about energy,
10 we would try to get some of those same sorts of
11 things in place. Of course, energy is different
12 because, as I mentioned, it's all in the private
13 sector. Nevertheless, there's a fragmentation of
14 responsibilities and, frankly, as many people
15 realize, a lack of a long-term analytic planning
16 in what we're trying to do in energy.

17 This PCAST report which was issued, the
18 President's Council of Advisors on Science and
19 Technology, was issued in November, called upon
20 the government to execute a government-wide
21 quadrennial energy review, analogous to the
22 defense review that's been going on for several

1 decades now. But it recognized that that would
2 be a major undertaking because you look at all
3 the parts of government that touch on energy,
4 some of them represented around this table. It's
5 a really big undertaking.

6 Also, recognizing where in the
7 presidential election cycle we were, they said,
8 you know, DOE, you get started first. And try to
9 undertake a DOE centric review that would try to
10 lay the groundwork for a possible review going
11 forward.

12 The Secretary has, in fact, taken up that
13 recommendation, and we're kicking that off in the
14 next few days, as I mentioned. It may lead to a
15 broader energy review, but that remains to be
16 seen.

17 Why does it have the word technology in
18 it? Well, again, it is because there are so many
19 agencies across the government that affect policy
20 that we figured it would be hard enough to get
21 all the technology folks singing from the same
22 page. And so that seems to be a pretty useful

1 task in the next six months which is when we hope
2 to deliver this thing.

3 I would like to get a coherent framework
4 for thinking about energy, some sense of
5 prioritization among our technology programs.
6 That's a necessary foundation for any good policy
7 discussion. So, that's why.

8 MR. HEYECK: I think you answered my
9 question. I just wanted to piggyback on what Pat
10 was saying regarding the security of the delivery
11 system, whether you're talking gas, oil,
12 transmission, rail, road. All is required to
13 deliver our energy.

14 It's remarkable -- I think I've said to
15 someone I think the jet fuel at major airports is
16 measured in hours. It's amazing how fragile our
17 infrastructure is, and it's going to become more
18 and more fragile as we move forward.

19 But the other side of this is the
20 security risks of EMP, solar storms, the
21 propensity to want to stockpile large
22 transformers because the manufacturing for large

1 transformers is outside the United States. I
2 would really like the Department to actually seed
3 incentives to get the plants back here. And we
4 are going to be replacing infrastructure.

5 I mentioned to Pat that Mitsubishi's
6 announced in Memphis. There's another
7 manufacturer announcing. But to the extent that
8 we get manufacturing back here, then we have the
9 infrastructure in place to replace should these
10 things occur.

11 DR. KOONIN: The issue of bringing
12 manufacturing back to the U.S. at one level is
13 above my pay grade, right, because it involves
14 labor costs, and regulatory issues, and financial
15 regimes, and so on. But one way we can help is
16 if we do the innovation, which this country, I
17 think, is second to none. Then the high-tech
18 manufacturing, we can and should have here. And
19 that's one way of bringing the manufacturing back
20 to this country.

21 The broader issue, I think, is a topic
22 that needs to be continually raised and pushed in

1 the broader public arena. You see the
2 administration's doing that. It may have a hard
3 time cutting through lots of noise, but we are
4 talking about that.

5 MS. HOFFMAN: Which is really important
6 and critical to making sure the next generation
7 technologies get manufactured in the United
8 States as much as possible as we can continue to
9 do that.

10 One of the things that was also brought
11 up in the earlier discussion is innovation, which
12 is very hard in this sector of trying to drive
13 innovation under a regulatory environment. And
14 so that was another comment. Tom?

15 MR. SLOAN: Thank you. You know, when we
16 talk about energy security, and you started out
17 that way. You're talking immediately about the
18 amount of oil we import, excluding our Canadian
19 neighbors. But the last thing you touched on
20 which was the innovation and Mike's job creations
21 touch -- I mean, if we're going to be trying to
22 convince the American public whether it's for

1 economic reasons, or for environmental reasons,
2 or for whatever, that we need to go to electric
3 vehicles or less polluting vehicles, I think we
4 need to make a concurrent educational effort to
5 say but you have to buy American innovation.
6 And, yes, the price will be higher because we pay
7 our workers more, and we require more in benefits
8 and whatnot. But that concurrent education
9 function I think if we want energy security has
10 got to occur.

11 DR. KOONIN: For the general public I
12 think what you're saying is exactly right. On
13 the other hand, you know, I have met and
14 discussed with very knowledgeable and learned
15 people about this who will take the other side
16 and say flat world, we optimize things by letting
17 activities happen where they're most economic.

18 What I would argue -- and again, you-all
19 well know this in your world -- there is hardly
20 any such thing as a separation between the public
21 and private sectors. And the best example I like
22 to cite is simply nuclear power where the

1 government made a very deliberate decision 50
2 years ago to bring that technology into the
3 private sector and has been effective in doing
4 that -- not so much in the last few decades, but
5 at least for a while.

6 There are many other examples where
7 government actions have stimulated innovation and
8 change in the private sector. And we shouldn't
9 let ideology stand in the way of doing that
10 again.

11 MS. HOFFMAN: Any other comments,
12 questions? Barry -- I mean, David.

13 MR. MOHRE: One of the things that we
14 kind of skirt around a little -- Tom, you sort of
15 came to it -- was the issue of creativity in
16 manufacturing. I think Senator McCain
17 unfortunately put his foot in his mouth the other
18 day when he said I agree with innovating. Look
19 at this iPad and said it was manufactured in this
20 country. Wrong, zzt, wrong.

21 So the question is, okay, we're
22 innovative, and then we transfer that innovation

1 to some other place. That's a continuing pattern
2 that we have had. Given what we're dealing with
3 -- and let's call it energy security -- do we
4 need some form of -- and gee, I hate to say this,
5 but I'm going to say it anyway -- industrial
6 policy for this nation that if you have a
7 critical asset, you don't have to build them all,
8 but don't you need the capability to build some
9 of them?

10 DR. KOONIN: If this were the Groucho
11 show, the duck would come down. You said the
12 magic words, right?

13 (Laughter.)

14 MR. MOHRE: You're showing our age.

15 DR. KOONIN: Look, I think there really
16 needs to be a very good healthy discussion of
17 what a proper industrial policy will be, not only
18 for the energy sector, but for iPads and all of
19 those things.

20 Can you really -- and I'm agnostic about
21 it. Could you run the country as a nation of
22 iPad designers and just let the manufacturer

1 happen somewhere else? I don't know.

2 There are some things I think it's
3 absolutely essential that we be able to
4 manufacture here for security reasons. The
5 industrial base that supports national security,
6 some of the IT things we need to really
7 manufacture here, but there are credited people
8 who will make a case that let all that other
9 stuff go and focus on the high end. Now can you
10 really employ 50 or 60 million people doing that?
11 I'm skeptical.

12 MR. MOHRE: Well, even if it's
13 employment, you know, a few decades back I used
14 to run something called the Defense Electric
15 Power Administration, which was something that
16 dealt with what happens when they start dropping
17 the bombs and how would the electricity system
18 work and other things.

19 And when I got into it a little bit, I
20 found out, guess what? We can't manufacture a
21 tank turret in this country. Hmm, how are we
22 going to fight a war? But that's a little bit

1 off of this, but it's related to that industrial
2 problem.

3 DR. KOONIN: It's related, yeah.

4 MS. HOFFMAN: All right. We'll quickly
5 go through two more questions and try to keep it
6 on time. Brian?

7 MR. WYNNE: Yeah, more of a comment, Mr.
8 Secretary. I think -- I commend you for the
9 quadrennial approach. I think that's extremely
10 important.

11 I just wanted to make the connection as
12 I'm representing electric drive technologies here
13 that, you know, a buyer of first resort here is
14 the federal government. We have an enormous
15 fleet. And that fleet is going to suffer with
16 the volatility of gasoline prices, et cetera, et
17 cetera. And I think that needs to be looked at -
18 - the entire energy use of the government that
19 comes into play here.

20 On the electric drive side, obviously the
21 technologies continue to move and advance
22 through, you know, many efforts, including at the

1 forefront of the efforts in DOE and the vehicle
2 technologies program, but we have this, you know,
3 our own national labs are telling us that we
4 could fuel north of 70 percent of the existing
5 light-duty fleet with off-peak kilowatt hours in
6 this country. I mean, there's an enormous amount
7 of economies that get created here as we
8 encourage the utilization of an electric motor
9 which we've always known is better than a
10 combustion engine and always will be.

11 So, Peter Whoriskey article in the
12 Washington Post notwithstanding, my Volt
13 downstairs is telling me I'm getting 250 plus
14 miles per gallon over the course of the last
15 4,000 miles. I've been to a gas pump once with a
16 Chevy Volt, and I've used 14.8 gallons of
17 gasoline. That feels really good, given what's
18 happening right now in the marketplace.

19 The question is how fast can we
20 accelerate this? It's like prepaying a mortgage,
21 a front-end loaded mortgage. The more we can
22 bring that deployment schedule in, the faster we

1 can get down this cross curve and adopt the
2 technologies. My point again is the federal
3 government can lead here. We have an enormous
4 opportunity and all the motivation in the world.

5 DR. KOONIN: So yeah, I generally agree
6 with that. Just a couple of comments. One is
7 that, you know, in terms of at least greenhouse
8 gas emissions the electric vehicles are better
9 only if you make the power in the right way. And
10 there are certain regions of the country where
11 the coal heavy nature of generation actually
12 makes it worse than gasoline vehicles. So you-
13 all have got to get to a lower carbon supply if
14 you want the internal combustion engine to fade
15 away faster.

16 The second is there's a lot of discussion
17 about federal purchasing power, but I frankly
18 need to be better convinced of that. The federal
19 government purchases 50,000 vehicles a year.
20 That is half of one percent of the light-duty
21 vehicles that the country purchases every year --
22 purchases every year, not the fleet. And so, the

1 purchasing power can help a little, but again,
2 Chevy is talking about 100,000 Volts a year. If
3 the government bought all of them, that would be
4 great. It would cost more money than the
5 alternatives, but not a material effect in
6 stimulating demand.

7 Just another, you know, facts and
8 figures, the Department of Defense uses 300,000
9 barrels of oil a day, 90 percent of that for
10 tactical use. There are great advantages that
11 can be made in tactical efficiency. And we
12 should do that. But in terms of DOD driving
13 demand, no -- small potatoes.

14 MR. KELLIHER. Mr. Secretary, I live in
15 Massachusetts, and in New England there is an
16 incipient movement headed by the NESCOE, the New
17 England State's Committee on Electricity, that is
18 contemplating a regional procurement of renewable
19 as part of, frankly, kind of a regional
20 industrial policy that might include onshore
21 wind, offshore wind, and other renewable type
22 assets that could be bid into sort of a

1 competitive procurement.

2 And one of the questions we struggle with
3 in the group that's trying to think this through
4 is what would the economic benefit beyond energy
5 be to the region. Is the Department able to help
6 with that? Are there studies that the Department
7 has done that we could --

8 DR. KOONIN: I turn to Pat for that.

9 MS. HOFFMAN: I don't know if we have any
10 specific studies in that area, we'll have to talk
11 about that further.

12 DR. KOONIN: My own urging, by the way,
13 even though I'm a technologist, I think by the
14 time you get to real world deployments, you
15 really want to be as technology neutral as you
16 can, consistent with what you're trying to do.

17 And so I think you have to decide are you
18 trying to promote renewable. Are you trying to
19 get emissions down? Are you trying to get off of
20 fossil fuels? And they're all different, you
21 know, high level goals that will lead to
22 different answers.

1 MR. KELLIHER: If you ask the Governor,
2 he'll say, "I want jobs."

3 DR. KOONIN: Ah, right. Well, right.
4 That may give you yet a different answer.

5 MS. HOFFMAN: I agree with that last
6 point. Okay. With that we're going to close
7 out. I thank you very much for coming today.

8 DR. KOONIN: Thanks for your attention.

9 MS. HOFFMAN: I appreciate it.

10 (Applause.)

11 MR. COWART: We're ready to -- so,
12 perhaps we could -- while we make sure that lunch
13 is going to be available when we break, why don't
14 we continue the conversation we were having just
15 before the last presentation? And I recall there
16 were still some people who had cards up, so,
17 Gordon had his card up, and Rick did. Okay.

18 So why don't we -- but it would be nice
19 if we were calm for five minutes and finished
20 this one off. Gordon.

21 Oh, maybe I should hear from Rick and
22 then let you --

1 MR. van WELIE: Okay.

2 MR. BOWEN: Sorry. I wanted to build on
3 what he said, which I think is not just in his
4 region, although I know he was speaking for that.

5 I would actually assess that even the
6 Midwest region is probably even more impacted by
7 -- associated with what is written here in these
8 words from a planning perspective and a
9 coordination perspective mainly because there's
10 so much solid fuel assets that are tied to that,
11 I know recognizing that he has a lot more on the
12 oil side and there's just some things that are
13 occurring in that area to him.

14 But I think the concern -- and the reason
15 why I fully support what you guys have down here
16 is because it's -- it's growing exponentially.
17 Okay. So every year we delay in making change or
18 firming up where we're going to stand relative to
19 emissions and things of that, it's going -- it's
20 just going to accelerate significantly because I
21 know as a generator owning generating assets and
22 have all my career that people are delaying

1 making financial decisions about those assets of
2 which -- I don't know what the percentage is of -
3 - are in IPPs today, but it's very significant
4 that are being held by those people.

5 And you're not, despite how hard NERC and
6 others work to try to make some definition around
7 that, you're not going to get the data as she was
8 speaking to already. So it's -- the frustrating
9 piece to it is at least as long as you can get
10 the agencies, you know, having that dialog and
11 really trying to make that assessment on impact,
12 I mean, that's just got -- that work has got to
13 be done.

14 It cannot be done in silos. It cannot be
15 done by a single agency without the support of
16 the other agencies to get there because it's --
17 again, every year that we stand here and we wait
18 in limbo and not with that coordination, if
19 indeed there is a position taken by an agency
20 like EPA or otherwise, the ramifications of that,
21 I mean, it's going to very quickly be known
22 because those -- and it's not that hard to get to

1 the detail that she was talking about because
2 everybody knows what compliance means.

3 And if you take it to certain levels of
4 compliance, clearly we know which power plants
5 will not comply. And depending upon when you put
6 those dates on it for compliance, I can guaranty
7 you those that are less than 100 megawatts on
8 solid fuel are gone. I mean, it's just -- it's
9 not that hard.

10 I mean, and then you kind of build up
11 from there as to whether they can meet compliance
12 and what the cost associated with that are. So,
13 I'm -- I fully support, you know what's in this
14 and clearly believe that that interface and
15 relationship has to occur within the agencies for
16 sure.

17 MR. van WELIE: I just wanted to respond
18 to Sonny, and then Lauren's comments.

19 To Sonny's concern about whether this is
20 a resource adequacy issue, I don't see it as a
21 resource adequacy problem per se because I think
22 there are mechanisms in place like the capacity

1 market constructs that over time ensure adequate
2 resources. So I see it as more of a transmission
3 security problem.

4 So when you lose a specific unit at a
5 specific point on the system you now have a
6 problem where you either have to retain that
7 unit, which many people don't like, or replace it
8 with something else or build a wire to have it
9 displaced with a resource from some other part in
10 the system.

11 I think all of the system operators,
12 planning authorities, have mechanisms today for
13 maintaining reliability, but you can argue that
14 they're not efficient.

15 So let me expand that for a moment. If
16 you get late notice on a resource retiring and
17 there is no response from the marketplace, then
18 the thing that you've got left in your toolbox is
19 a transmission line basically. And in many cases
20 that is the most appropriate fix, but it may not
21 always be the most appropriate fix if -- and then
22 you get to the question of could the signal fall

1 an alternative resource have been sent earlier in
2 some way.

3 And so I think that's really the focus of
4 this. It's a transmission reliability issue to
5 begin with, and then there's a discussion about
6 efficiency, but I don't really see it as an
7 adequacy issues. So I don't think it falls foul
8 of the debate as to who has jurisdiction over
9 adequacy.

10 And then to Lauren's issue, I think
11 you're correct. In the end you need to know unit
12 by unit what's going to happen. I think there's
13 a different construct you put around that
14 depending on whether you're operating in the
15 organized wholesale markets versus the sort of
16 vertically integrated fully regulated by the
17 state markets because by definition if you've
18 identified a specific place on the system that
19 happens to be a particular connection point on
20 the grid, you've got 100 percent market power at
21 that point. So whether it's a smart thing to
22 sort of tell the whole world that or not, is

1 another discussion.

2 MR. MASIELLO: I have what may turn out
3 to be very naïve and stupid questions, but,
4 Gordon, between the incentives for renewable and
5 the RPS goals and the way the capacity markets
6 are run on the one hand and the impact of EPA
7 regulations or aging plants on the others, is
8 there a disconnect? In other words, is there any
9 way that the incentives could change such that
10 retrofitting old plants or cleaning them up got
11 the same consideration as -- forgive me, Rob --
12 building wind farms in terms of net effect?

13 And then the second question would be is
14 it within the purview of this group to think
15 about that at all, or is it something not on our
16 list?

17 MR. van WELIE: Not sure I quite
18 understood that. I mean, the -- you said the
19 incentives for renewable?

20 MR. MASIELLO: Well, if there's a plant
21 in your region that is going to become not viable
22 --

1 MR. van WELIE: Right.

2 MR. MASIELLO: -- right, because of loss
3 of grandfathered SO₂, let's say, right? That's --
4 so they're penalized to stay in business, but
5 we're giving incentives to other people to bring
6 clean energy, but the money spent on that plant
7 could have similar impacts in terms of net
8 cleanliness. SO₂ may not be a great example, but
9 coal to gas would be a good example.

10 So I'm simply saying are the incentives -
11 -

12 MR. van WELIE: You're questioning an
13 underlying policy. I mean, so I think the
14 question -- somebody raised that, which is what
15 is your policy about. Is it about getting more
16 renewable on? Is it about reducing CO₂? Is it
17 about creating jobs? I think most of the states
18 sort of get confused about that.

19 (Laughter.)

20 MR. MASIELLO: That was why I asked, but
21 then if that's the case, then the next question
22 is: Is this something this group's able to think

1 about, or is it outside our charter?

2 MR. van WELIE: I think it's outside --

3 MR. COWART: I'll give you a quick
4 reaction to that, that I think it's probably
5 outside the charter of this group. We can
6 discuss whatever we want to discuss, but in terms
7 of particularly this proposed action, I would say
8 -- I would recommend that it be a topic for
9 another day as to whether, you know, we could
10 design capacity markets, for example, to not be
11 technology neutral.

12 I mean, it's possible to design a
13 capacity market that pays more for clean energy
14 than it pays for fossil energy. It pays more for
15 gas than it pays for coal. It's possible to do
16 that. That's the conversation I wouldn't expect
17 to have around this table.

18 I do have a recommendation for the
19 Committee because I'd like to bring us to action
20 on this item. I've heard three small
21 recommendations for wording changes to this memo,
22 but I'd like the Committee as a whole to approve

1 the memo, or I'm going to recommend that you-all
2 approve the memo so that we can take an official
3 committee action.

4 And the changes which I would make to it
5 are to change the word fossil in fossil
6 generation in the second paragraph to thermal
7 because I thought that was a correct observation
8 on that score.

9 And picking up on Sonny's point about
10 state regulatory authorities in the third
11 paragraph I would perhaps -- I think we could add
12 after EPA and state regulatory authorities to
13 ensure. And then throughout -- there's a couple
14 of instances in which we use the term planning
15 authorities because that's -- we're all used to
16 the old terminology instead planning
17 coordinators, but we just change authorities to
18 coordinators and that --

19 MR. CURRY: Can we have a vote on that,
20 please?

21 MR. COWART: Anyway, with those changes
22 how does the Committee feel about approving this

1 as a communication to the Secretary or --

2 MS. AZAR: Richard, could wait until
3 after lunch because I've actually been listening
4 to the discussion rather than reading this, so --

5 MR. COWART: Of course.

6 MS. AZAR: That would be great.

7 MR. COWART: Yeah.

8 MS. AZAR: Okay.

9 MR. COWART: Yeah. And if -- if others
10 have recommended changes, we can take them up at
11 that time. All right? Dian?

12 MS. GRUENEICH: Are you defining
13 planning, I guess, coordinators is your new term
14 in --

15 MR. COWART: It's not my definition.

16 MR. NEVIUS: It's a definition in the NERC
17 functional model and the NERC --

18 MS. GRUENEICH: Right. But I'm just
19 thinking --

20 MR. NEVIUS: -- standards.

21 MS. GRUENEICH: -- it probably makes
22 sense to put --

1 MR. NEVIUS: Well, you might want to put
2 a footnote exactly what that definition is so you
3 can pull it out of --

4 MS. GRUENEICH: My only -- my hesitancy
5 is is that in one place it says this is
6 recommendation to DOE and DOE to then advance the
7 recommendation to FERC. And then in another
8 place it says it's a recommendation to both DOE
9 and FERC. So I'm not quite certain whether we're
10 now undertaking advising FERC as well as advising
11 DOE.

12 And this is more internal within DOE how
13 will DOE be communicating this recommendation to
14 FERC? Is there an open docket? Does DOE
15 typically intervene or not intervene? And these
16 -- you know, I'm a lawyer. These are sort of
17 lawyer-like questions but it is something to say
18 here's an Advisory Committee recommendation that
19 is really going to DOE to FERC. And I just --
20 sort of really what's going to be the process for
21 moving this forward?

22 MS. HOFFMAN: Could be as simple as a

1 discussion. It could be as complicated as a
2 letter from the Secretary to the Chairman.

3 MR. COWART: Okay. Well what I heard was
4 let's look at this over lunch and any further
5 recommendations for changes can be discussed at
6 that time.

7 (Comments made by Ms. Welsh off
8 microphone were inaudible and not transcribed.)

9 (Mr. Vague and Whythe left the meeting.)

10 (Brief recess.)

11

12

13

14

15

16

17

18

19

20

21

AFTERNOON SESSION

22 MR. COWART: All right. Thanks, folks.

OLENDER REPORTING, INC.
1100 Connecticut Ave., NW, Suite 810, Washington, DC 20036
Washington: (202) 898-1108 / Baltimore: (410) 752-3376
Toll Free: (888) 445-3376

1 I realize that people's schedules are pressing,
2 so we should just get -- turn the crank and get
3 on with our conversation.

4 Are there other comments about our
5 editorial suggestions with respect to the memo
6 that we were discussing just before lunch? I see
7 Joe's got one and Lauren has one. Joe.

8 MR. KELLIHER: With respect to the second
9 recommendation, if I were still at FERC, I'd be
10 confused by the recommendation because I'm not --
11 it's not -- to me it's not clear what we're --
12 what we're recommending. Are we arguing that
13 FERC's the problem and I'm not -- of course, I
14 don't defend FERC anymore, but I might explain it
15 sometimes. Is it that FERC's the problem and
16 FERC has kind of impaired regional planning and
17 made it impossible for regions to plan around
18 retirements in a way that we think is better?

19 Or is it that regions on their own have
20 adopted the -- an incorrect view towards planning
21 around retirements and that FERC has let them do
22 that? So and it's different in that what do we

1 want FERC to do if -- if they think we're
2 recommending the first, FERC's going to be
3 puzzled and think, "Well, we're not the problem,"
4 and they will probably do absolutely nothing.

5 If they think what we're saying is,
6 "Planners aren't doing this right and, FERC, you
7 need to save the day. You need to fix that,"
8 then that's a -- you're asking them to act, but
9 to me it's not clear that we're asking FERC to
10 take a specific action. We're saying, "Hey,
11 there's a problem with retirements and it's not -
12 - generation retirement planning's not working
13 very well."

14 And FERC might shrug and say, "Yeah, we
15 sort of agree."

16 So I think if we're asking FERC to act,
17 we have to be a little bit more specific. And
18 then legally are we asking FERC to initiate a
19 national 206 to change regional planning and all
20 tariffs governing regional planning? And if so,
21 that's a, you know, a very specific ask, but
22 usually you actually have the burden to make a

1 case. And I don't know if DOE wants to assume
2 that burden.

3 MR. van WELIE: So I'll say something and
4 then I'll pass it on to Pat. Maybe she's got
5 some thoughts on this.

6 But the -- so I don't think FERC's the
7 problem. I think it's the -- if you're really
8 asking the planning coordinators to expand what
9 they do in terms of planning. And they could do
10 so naturally of their own and that will occur on
11 a time frame that would be consistent with how
12 important each region felt that that issue was to
13 them.

14 But what I hear DOE saying is that
15 they're concerned about this issue from a
16 national perspective. And so, in the early
17 discussions there was some discussion about
18 should there be some institutionalized process
19 for looking at this problem.

20 And my response to that was it makes no
21 sense to set up a separate and parallel
22 institutionalized process for looking at this

1 problem. There's already an institutionalized
2 process. Each planning coordinator has to go off
3 and do these plans, and those plans are a
4 requirement of NERC and ultimately the oversight
5 authority is the FERC.

6 So if what the DOE wants is some
7 institutionalized response to this problem that
8 they perceive, then the most efficient way, I
9 think to get the answer they're looking for is
10 through a process that already exists. And then
11 you have to ask somebody to go and change it.

12 So the DOE could go to each planning
13 coordinator and say, "Please change your
14 process." That's one way of doing it. They
15 could bypass the FERC entirely on this one or
16 they could go to the entity that essentially
17 controls and regulates those entities. I think
18 those are the choices.

19 MS. HOFFMAN: I would just add to it that
20 what we were trying to figure out is what are
21 some of the different solution sets to keep us
22 ahead of the game? And looking at this problem

1 of potential retirements of plants and so part of
2 it is just the discussion of opening the dialog
3 of saying what are the options out there, and
4 what can people do.

5 MR. COWART: All right. Lauren first and
6 then Mike.

7 MS. AZAR: Yeah, just a recommended
8 comment for an edition on page 2, the last
9 paragraph -- this would be -- it appears to be
10 the first long sentence. At the very end we talk
11 about the retirement of resources as a
12 consequence of EPA regs, but as we heard from
13 Gordon, there are other reasons that we expect
14 retirements in different parts of the nation, so
15 I would somehow broaden that to aging -- possibly
16 aging infrastructure -- retirements due to aging
17 infrastructure.

18 And then I think there is a typo at the
19 very beginning of that sentence. It says, "Power
20 systems are can."

21 MR. COWART: Yeah, are can. Right.
22 Okay. Do you have -- well I'll hear from Mike

1 and then I'll ask Joe if he's got a wording
2 change he wants to suggest. Okay. You got a
3 wording change? We can -- there's no implication
4 in this, as I read it, that FERC is the problem.
5 It's simply that we recommend that DOE
6 communicate this to FERC.

7 MR. KELLIHER: Sure, might. I wasn't --
8 my main point was we want it to be clear to FERC
9 what we're asking them to do, and I don't -- this
10 is saying -- this seems to say, "FERC, we're
11 informing you that generation retirement planning
12 isn't really properly calculated." And FERC
13 might say, "You're right." And they feel -- they
14 agree. They -- there's no action they have to
15 take.

16 And if we want them to take action, I
17 don't know what it is. Is it we're asking them
18 to initiate a proceeding and do -- we're either
19 asking them to act or we're not asking them to
20 act. If we're just informing them about a
21 problem, then I think the current language is
22 good. If we're asking them act, I actually am

1 not sure what action we'd be asking them to
2 undertake. Is it for them to direct NERC to plan
3 differently and the planning coordinators? Is
4 that the term of art?

5 Anyway, group writing is something I -- I
6 fear probably more than most things. So I'm not
7 sure how to do it in this room to be specific on
8 what the ask is, but I think we need to decide.
9 Are we asking FERC to do something? Yes or no.
10 And if the answer is yes, what exactly do we want
11 them to do?

12 MR. COWARD: Tom?

13 MR. SLOAN: Thank you. I think what
14 we're asking the FERC to do is to be an enabler
15 for those regional coordinators to adjust their
16 modeling or thinking in terms of trying to get
17 earlier timelines on when plants may be retired.
18 So we're asking the FERC to enable that process
19 to move forward, they having the -- the larger
20 hammer.

21 MR. KELLIHER: But then do you want to --
22 I'm sorry. Can I just respond? I'll be very

1 quick.

2 But then to what extent do you want FERC
3 to instruct them on how to do it? Because I
4 think some people would not think that NERC's
5 analysis was very correct on what the generation
6 retirement impact might be of all of the combined
7 EPA initiatives. So if you do -- if you don't
8 like the way NERC did it, do you want FERC to
9 instruct them on how to do it different?

10 And then could we -- do we -- would we
11 actually agree that it wasn't done perfectly and
12 how to change it, how to do it differently?

13 MR. COWART: Gordon, do you have an
14 answer for that?

15 MR. van WELIE: I don't have an answer,
16 but here's a -- just a thought, Joe, which is I
17 see the problem that you're raising which is the
18 precision of the request. I guess one thing that
19 comes to mind is we may not want to be
20 prescriptive. I mean, all we may want to do here
21 is simulate a conversation and have the right
22 levels at the DOE and the FERC have the

1 conversation and then decide between them what
2 the most effective mechanism is for dealing with
3 this.

4 MR. COWART: I can certainly say what I
5 thought when the Committee discussed this and at
6 some point these words came off of my computer,
7 but I can't claim that they were originally
8 penned by me because it was a group effort.

9 But I actually think -- I personally
10 think that being prescriptive, being lawyerly in
11 the fashion that you're recommending is not what
12 we want to do. I think the Department wants to
13 hear from us a general recommendation, and they
14 can decide in what manner they want to advance
15 that recommendation to FERC and exactly what they
16 want to say to FERC. That's how I would view our
17 advice is we're giving the Secretary and Pat
18 Hoffman a general recommendation. They can take
19 it forward and I assume we'll hear back at our
20 next meeting what happened.

21 That's how -- to be clear, as -- in terms
22 of writing this, I was not trying to be

1 prescriptive about an exact procedure.

2 I've taken on board the recommendations
3 for wording changes, and will include the last
4 one.

5 Now assume for the moment that those
6 things are included. What's the -- I'll ask
7 David two things. What's the process for this
8 committee advancing a recommendation to the
9 Secretary, and what's the action step we take
10 right now in order to decide either to do that or
11 not to do that?

12 MR. MEYER: I think the format that
13 you've adopted here is just fine. That is, a
14 memo to the Secretary and to Pat Hoffman. And we
15 will -- once we have it, we'll make sure it gets
16 the attention that it requires from the Secretary
17 and his staff.

18 So, it's a -- as soon as the Committee is
19 comfortable with the text and has it in
20 electronic form, they can send it to us, and the
21 -- in some way or other we'll let the record show
22 that the Committee and acting as a whole chose to

1 do this.

2 MR. COWART: I suppose the -- just to be
3 formal about it then, if someone wants to make a
4 motion to adopt this and forward it to the
5 Secretary and to Pat Hoffman, then that seems to
6 be the action item. Tom?

7 MR. SLOAN: Mr. Chairman, I would move
8 that the recommendation be approved by the
9 Committee subject to the editing that we have
10 discussed and be forwarded to the Secretary and
11 to Ms. Hoffman.

12 MR. COWART: All right. Thank you.

13 MR. BOWEN: And I'd second that.

14 MR. COWART: Thank you. And any further
15 discussion? All right then. All those in favor
16 say, "Aye," or wave. Thank you.

17 Any opposed? All right. Thank you.

18 The record can show that this was
19 unanimously adopted. Thank you very much.

20 At least for this iteration of the
21 Committee, I think that's the first formally
22 adopted action.

1 All right. Our conversation for the rest
2 of the afternoon deals with recommended -- or
3 some requests from the Department about tops
4 involved in transmission. And I guess this is a
5 good time to announce that we are very fortunate
6 that Lauren Azar has agreed to accept appointment
7 as Chair of a new subcommittee, the Transmission
8 Subcommittee. And I'm thrilled by that fact.
9 And so we are going to be creating a new
10 subcommittee on transmission.

11 And we're -- just to let you know that in
12 the traditions of this committee, subcommittee
13 membership is voluntary and open to all. Perhaps
14 everybody doesn't want to be on the Smart Grid
15 Subcommittee, and the Storage Subcommittee, and
16 the Transmission Subcommittee, but those are
17 choices that you can make as an individual.

18 And do you want to say anything more
19 about how you intend to go forward with the
20 Subcommittee, Lauren?

21 MS. AZAR: Yeah, I can hopefully briefly
22 talk about it. First of all, it's going to be a

1 lot of fun, and it will not be controversial, so
2 --

3 (Laughter.)

4 MR. CURRY: Then why bother?

5 MR. AZAR: You know, I think we're going
6 to have a discussion -- I'm assuming right now --
7 about some of the issues that Assistant Secretary
8 Hoffman would like us to address. As Rich and I
9 were talking about this, I think in all honesty
10 most of us know what the sort of panoply of
11 possible answers are to these questions. The
12 problem is who actually gets to make the decision
13 and how do we get there.

14 And so, I would foresee this, hopefully,
15 as being a rather surgical strike subcommittee
16 where we flesh this out. Possibly I'll prepare a
17 document in advance with at least what I see as
18 some of the potential answers. And then either
19 we will have, you know, one face-to-face meeting
20 -- I don't know if that's going to be financially
21 possible or a conference call where we pound it
22 out and come up with a product. So I don't see

1 this as being something that's going to take a
2 long time since I think most of us know what the
3 range of options are, and it's a matter of trying
4 to figure out if we can come up with some
5 recommendations.

6 MR. COWART: All right. Thank you.
7 Maybe now this is time to turn to the questions.
8 Are you up, David or --

9 (Comment by Mr. Delgado off microphone
10 was inaudible and not transcribed.)

11 MS. AZAR: We already signed you up,
12 José.

13 (More comments off microphone were
14 inaudible and not transcribed.)

15 (Laughter.)

16 MS. AZAR: How would you like to do this,
17 Rich?

18 MR. COWART: I think we'll just circulate
19 a piece of paper and let people sign.

20 MR. HEYECK: Mr. Chairman, I just have a
21 --

22 MR. COWART: Yes.

1 MR. HEYECK: As the unfortunate head of
2 the last Transmission Committee --

3 (Laughter.)

4 (Comment off microphone were inaudible
5 and not transcribed.)

6 MR. HEYECK: Take a look at the section
7 in the report. That was really the compromise,
8 the planning, cost allocation, and siting. If
9 those are the three subjects that are going to
10 resurrect themselves, there's going to be
11 munitions and other things, but I like concept of
12 revisiting some things, but there's also other
13 topics that we didn't cover such as resiliency
14 and the greater subject of grid planning.

15 I think planning, we gave it kind of a
16 soft pedal. It was really cost allocation and
17 siting.

18 So I would volunteer to help you out, and
19 I could help control Dian.

20 MS. HOFFMAN: Mike, I thought -- I
21 thought you were volunteering to do a new
22 subcommittee on resiliency.

1 MS. WELSH: So, Pat, I've just given a
2 piece of paper -- just sign it if you're
3 interested. Then we'll use that as the basis of
4 all future communications for this new
5 subcommittee.

6 MR. COWART: All right. David Meyer has
7 volunteered to take us through this list of
8 questions and to facilitate with Pat Hoffman a
9 discussion of sort of getting us going on
10 reacting to them.

11 MR. MEYER: Well this -- first, I want to
12 say we don't intend that you feel that you have
13 to do all five, or you don't have to take on the
14 questions exactly as written. In the time-
15 honored fashion of many graduate students, you
16 will interpret the question as you wish and then
17 answer. So I don't -- you've all had a copy of
18 this and I hope have had a chance to read it, so
19 I'm not going to go through it in great detail.

20 The funding question, number one that we
21 start off with is one that I think about a lot.
22 That is, we are supporting these long-term

1 infrastructure planning capabilities. We feel it
2 is important that they be established in such a
3 way that they can do iterative analyses for the
4 indefinite future. That is, this need is not
5 going to go away.

6 This is an industry that is undergoing a
7 transformation and will continue to do so over
8 decades to some. And it is so laden with public
9 policy issues that it -- to me, it cries out for
10 a planning process that involves both the
11 industry people and state officials and also NGOs
12 for that matter.

13 So, there is a need for this capacity.
14 It's a question of how to fund it. The Recovery
15 Act money will run out soon enough, and so it's
16 timely now to start thinking about how to go
17 forward here. So I welcome your opinions on this
18 and want to hear more about them.

19 The second one --

20 MR. COWART: Do you want to take them one
21 at a time?

22 MR. MEYER: Yeah, sure. That's fine.

1 Let's -- that's probably the best way to do it.

2 Yeah?

3 MR. COWART: Yes.

4 MR. KRAPELS: David, do you envision this
5 as a continuation of the current sort of EIPC
6 procedure or what's the venue? How does it
7 relate to RTO and ISO planning?

8 UNIDENTIFIED FEMALE: Can you use your
9 mike?

10 MR. KRAPELS: I did. I'm sorry.

11 MR. MEYER: Well, we don't -- we're --
12 certainly, I don't think any of us on my -- in my
13 office think that we necessarily hit the bull's
14 eye the first time with what the projects that we
15 launched under Recover Act money.

16 And so we're not wedded to that
17 particular way of structuring these kinds of
18 analyses. And it -- I think it is important to
19 do it at a broad geographic scale and to do long
20 term, that is, 20 years at a minimum. And the
21 Secretary wants us to go out a little further if
22 we can.

1 Because the long-term analyses clearly
2 gives them sign posts for the shorter term
3 analyses that the industry typically does. And
4 it's important if you're thinking 20 or 25 years
5 out, you may modify your shorter term plans
6 accordingly. Yeah, and I think that that synergy
7 between those different time frames is an
8 important one to bear in mind and support. So --
9 Dian? Sorry.

10 MR. HEYECK: And I'm probably going to
11 agree with Dian. The current timeline for the
12 planning efforts seeded by the 80 million is
13 2013. And so my question would be of why not
14 wait until we get there.

15 However, there are other issues that I
16 think need to be surfaced. One being what we
17 talked about today that we are going to move to
18 more and more Just In Time. So the security of
19 the grid, not necessarily the traditional
20 reliability approach is going to be important,
21 and that treads on cyber security as well.

22 And then the other is the -- if there's

1 any research on the analytics, we tend to do more
2 deterministic planning rather than a stochastic
3 way or probabilistic way, which could incorporate
4 some of these generator retirements and things
5 like that. I mean, if it's research into that
6 end, that -- what I'm suggesting is let's wait
7 for the current processes to offer some
8 traditional planning, but there are things we can
9 do in parallel.

10 One thing to note in history is we began
11 planning for the interstate highway system in the
12 '30's and actually had another plan done in the
13 '40's. It took 1956 for it to be enacted. And
14 the issue with any of these plans is who's going
15 to pay for it. And the issue with the current
16 studies is cross-border issues. I think regions
17 do a very good job. We could always criticize,
18 but I think they do a pretty good job. The
19 issue's going to be between regions. And I'm not
20 sure how that's going to come out of the study.
21 I'm sure we'll have transmission lines traversing
22 Regions, but the argument's going to be who pays

1 for what when it crosses the border?

2 I know that's a lot, but the crumb is
3 we've got something going through 2013. If it's
4 analytics or security, maybe that's an increment
5 or an augmentation.

6 MR. DELGADO: Okay. I am going to add a
7 little bit to what Mike said, which I agree with.
8 And it's -- I think there's a necessity to
9 facilitate the partitioning of State Commissions
10 in a longer range planning. This is something
11 that became very apparent to me years ago when we
12 were trying to build across certain borders. It
13 is very -- not every Commission has the resources
14 to do this. And I thought that one of the things
15 that DOE could do is not only to contribute some
16 resources but also contribute some ideas.

17 The interdependence between states is not
18 very clear with some Commissions. And let me put
19 it very blame -- and I don't want to pinpoint,
20 but it's not very clear. Sometimes you get a
21 Commission no mention that feel that today we're
22 fat, dumb, and happy, and this is the way it's

1 going to be for a long time, but if you were to -
2 - my feeling was if we were to look at a 20-year
3 plan and they realized that what today is quite
4 adequate, 20 years from now it is not. And,
5 frankly, the best solution is to link up with
6 somebody else.

7 The fuel is usually coming from someplace
8 else. I thought that having DOE direct -- not
9 direct, participate particularly funding will, in
10 fact, provoke a broader thinking, a longer-term
11 thinking that would encourage its cross border.

12 Mike talked about between planning
13 authorities like the ISOs. Well, I think it's
14 between states, too, and state jurisdictions.
15 Remember that the states do have a lot of
16 authority everywhere these things are put. And
17 it would encourage them to realize their
18 tremendous interdependence and tremendous benefit
19 of interdependence.

20 Now recently there was a very -- I was
21 going to say a successful effort between five
22 states that included Wisconsin and going west.

1 And it took quite a bit of work but ultimately
2 came up with some conclusions of common needs.

3 And you might say, "Well, this is not big
4 enough. They have to go east and west from
5 there." But, you know, I would say I'm satisfied
6 because it began where we are and surrounds us.
7 So you've got to begin someplace.

8 And that required quite a bit of
9 resources from those commissions. Now not ever
10 Commission can do that. So I'm -- I'm going to
11 support you in order to create a longer view --
12 help the Commissions to have a longer view of
13 need and greater interconnection between them.

14 MR. MEYER: Let me respond to that
15 briefly, that yeah, we -- we've noticed in the
16 west where some of this kind of analysis is --
17 has somewhat longer history that by looking at
18 some of these questions on a west-wide basis that
19 subgroups of states begin to say to themselves,
20 hey, we need to really focus in a little more on
21 this particular problem. They under -- in other
22 words, they learn from that one process and it

1 feeds into a more productive approach to certain
2 kinds of regional problems.

3 And I'm not saying that the states
4 wouldn't maybe get there independently in any
5 event, but this does seem to help. It -- and so,
6 I -- that's a benefit that I think we're seeing.
7 It's -- but we'll continue to watch for that sort
8 of interaction.

9 MS. GRUENEICH: I'm going to talk just
10 about the western interconnection because I'm not
11 that familiar with the east and don't want to
12 speak to it.

13 The way that it's written here, it's
14 actually a very narrow issue, which is basically
15 how would you pay for travel costs for state
16 regulators and NGOs so they can participate. And
17 I wonder if that's really the issue you are
18 trying to address because that seems to me within
19 the scheme of things to be an awfully harrow
20 issue for this group to address travel costs.

21 Then you step back and say, well, maybe
22 the bigger issue is when the Stimulus money runs

1 out, how will the consultants who have been hired
2 be funded where -- you know, there's \$80 million
3 that's going -- I'm not -- I can't even remember
4 the budget, but I'm assuming it's gone to hiring
5 internally staff, for example, at WECC and at WGA
6 some of who have come on line, I believe, as
7 staff, a whole bunch of consultant money,
8 acquiring some models to do interconnection-wide
9 planning and then that portion called travel.

10 So if we are going to look at this, it
11 seems to me we -- you know, you need to start
12 breaking it down into what were the categories of
13 expenses, but I -- I come back a little bit to
14 with what Mike said which is the products are
15 twofold. One is September this year is the first
16 plan. And then in September 2013 is the second
17 plan.

18 And it seems to me until we see the first
19 plan, we don't have much sense to be able to make
20 any sort of a good judgment about the benefits of
21 continuing the process and how it would be
22 changed. I, for one, actually hope this doesn't

1 turn into a whole process to produce a plan every
2 two years because that's going to take a
3 phenomenal amount of energy. And I think
4 instead, it needs to be okay -- by 2013 you're
5 going to have two plans on the table with various
6 scenarios in each of those plans. And the
7 question is who's picking up -- who's making the
8 decisions as a result of those plans, and how are
9 they going?

10 And it just seems way too early to know
11 this whole process that you've put in place. Is
12 it the right process? How should it be modified?

13 And then I'll just end with saying, I
14 mean, my particular view -- have been again, for
15 the west, is that this is something that needs to
16 be embedded within the west, quite frankly,
17 funded by folks within the west because that's
18 where they're going to have some real ownership.
19 And that's really going to be the tricky part. I
20 mean, having the DOE money has been fabulous, but
21 at some point it is -- you have to play -- the
22 grown-ups have to get to the table and say, "This

1 is important enough to have funded on our own."

2 So I'll just stop by saying it seems to
3 me that, you know, we may need to see at least
4 the first iteration of the plan to be able to
5 really have a good discussion about how should
6 this continue, what are the funding issues that
7 need to be addressed?

8 MR. MEYER: Let me say that we -- we've
9 gone back and forth, certainly on my side and the
10 people on the -- you know, that are actually
11 doing this stuff -- about where is the value
12 added. Is it from the plan, you know, the paper
13 product, or is it in the process?

14 And I'm -- I, personally, feel that the
15 value added is largely in the process, that the
16 plans under current law are going to be advisory.
17 They will be informative to people, whether
18 corporate, or regulators, or policy makers who
19 have decisions to make, but nonetheless, they are
20 essentially informative documents.

21 But in terms of process, what you get out
22 of it is -- to start with a common database, a

1 common vocabulary, a common realistic
2 understanding of what the options are that -- and
3 not that people are going to agree on the merits
4 of the options, but I think they will have a
5 better understanding of what the pros and cons
6 are associated with different options.

7 So I think what we're laying here is the
8 basis for a much more useful and focused
9 conversation on an ongoing basis, and we think
10 that that can't help but be beneficial. And so
11 far as how the process should be structured that
12 I think certainly it's too early to make any firm
13 decisions on that, but the real question is -- I
14 mean, we're -- we're very -- one question that I
15 raise with people frequently is what does success
16 look like here.

17 How would we recognize it? Because I
18 think we do need to answer that question
19 particularly if we're going to argue for some
20 ongoing kind of long-term process here. So,
21 Lauren, I think you're up next.

22 MS. AZAR: I think the -- well, one of

1 the question we may want to answer is if we think
2 this process is beneficial. I can tell you the
3 plans -- plans with quotations around them --
4 that we're going to get out of the east in this
5 iteration will help us in future plans to the
6 extent we decide to go forward.

7 As far as being meaningful, to be frank,
8 I'm not sure they're going to give us a lot of
9 information vis-à-vis what the world may look
10 like in the future just because of all the
11 inconsistencies we've already been seeing and the
12 glitches and things like that. So this has been
13 a huge learning process in the east, a wonderful
14 process, but if you're looking for actual results
15 in the plans, I'm not sure that's what you're
16 going to get in this iteration.

17 Speaking to David's comment with regards
18 to process that does not mean this is
19 unsuccessful. I think this has already been
20 tremendously successful. Speaking from the
21 states' perspective, having the 39 states and the
22 Canadian provinces in a room talking, and, guys,

 OLENDER REPORTING, INC.
1100 Connecticut Ave., NW, Suite 810, Washington, DC 20036
Washington: (202) 898-1108 / Baltimore: (410) 752-3376
Toll Free: (888) 445-3376

1 reaching consensus -- reaching consensus --
2 reaching consensus on what should be modeled in
3 the Eastern Interconnection.

4 Honestly, a year ago did you think that
5 was ever going to happen? I didn't, and I was
6 leading it. So, you know, I think on a going
7 forward basis, you know, in my mind, you know,
8 how we fund it, I think, is a question we answer
9 after we decide whether or not it's beneficial
10 and whether or not this has been a success.

11 I know DOE just came out with -- I think
12 it was DOE came out with a report indicating that
13 the Eastern Interconnection actually is somewhat
14 unstable. And so the question then is, you know,
15 are -- should we be doing this kind of planning
16 on an Eastern Interconnection-wide basis. I
17 don't know the answer to that. I'm not a
18 scientist, but I think part of the question is
19 what value are we going to get from this in a
20 going-forward basis, and if so, then how do we
21 pay for it.

22 So I think the answers are going to be

1 different, in other words, for the west, the
2 east, and ERCOT, because each of us are looking
3 at very different things.

4 MS. HOFFMAN: I think you're -- I think
5 you're referring to the FERC Frequency Study?

6 MS. AZAR: Yes, I am.

7 (Comments by Ms. Azar off microphone were
8 inaudible and not transcribed.)

9 MS. HOFFMAN: I just noted the word
10 unstable.

11 MR. van WELIE: So, it was interesting
12 hearing Lauren define success. I would have
13 defined it approximately the same way, which is I
14 think the success of this effort has been in the
15 educational process.

16 But I was curious about how DOE viewed
17 this because you were the ones that put up the
18 money, so what was your view of success?

19 MR. MEYER: I think I've already tipped
20 my hand on that. That is the -- one of the basic
21 premises of the whole initiative was that this
22 industry is in transformation. This is a very

1 daunting transformation to manage. That is, make
2 massive changes to the generation infrastructure,
3 add a lot of transmission, integrate a lot of
4 variable generation into the system, and oh, by
5 the way, while you're doing all -- and keep the -
6 - keep costs reasonable. And by the way, while
7 you're doing all that, keep the lights on.

8 The only way we can do that is if we set
9 up some kind of collaborative process so that the
10 -- all the -- the states, the feds, the industry,
11 the NGSs, and the public, we're all in this
12 together. There's a tremendous capacity for
13 different factions to stalemate each other unless
14 we find ways to collaborate. And so, the idea
15 was we need a mechanism where we can periodically
16 look ahead, look at our options, and talk with
17 each other about what does this mean, where do we
18 need to go.

19 MS. HOFFMAN: From my perspective it's a
20 process to be able to create a open transparent
21 dialog around issues. We talk about climate
22 change. We talk about future directions. We

1 need to get the right stakeholders together to
2 say if we are truly going after a policy
3 objective, whether it's a carbon objective or
4 something else, what do we need to prepare the
5 system to handle this and create a forum where
6 it's not a gotcha afterwards, that, oh, we
7 should've been able to talk about this and have
8 this on the table ahead of time.

9 One of the values of the Texas CREZ Study
10 was, look, you've got Option A, B, and C. Here's
11 the cost requirement. You can decide based on
12 your policy objective, but here is the cost
13 requirements, here are the system requirements.
14 Here are some of the things that we all need to
15 be aware of.

16 MR. van WELIE: So with that
17 understanding, I could see where you're going
18 with this which is you wouldn't want it to end.
19 If you see value that you believe that -- and I
20 think there has been value created in terms of a
21 better industry-wide understanding of some of the
22 issues amongst disparate groups. And that's

1 already been achieved even before the first
2 report.

3 And I think it would be healthy for the -
4 - for that to continue in some formal fashion. I
5 think you're correct that the entities like, you
6 know, the planning coordinators and the industry
7 can fund their own way on this, and they'll
8 recover it in whatever way they can. The
9 challenge is going to be how do you keep the
10 state officials at the table. So I can see the
11 problem that you're trying to solve, and I think
12 it's a problem that's worth solving.

13 MR. SLOAN: Thank you. There -- I mean
14 obviously we're continuing to reinterpret your
15 first question which was what you asked for. And
16 I come back to I think DOE can serve a
17 significant role nationally by helping to educate
18 and stimulate discussions between the
19 stakeholders and certainly the Eastern
20 Interconnect discussion. It's a -- that's a
21 relatively technical level discussion.

22 Keep in mind that state legislatures with

1 the governor's acquiescence define what the PUCs
2 roles, tools, and capabilities are. And DOE is
3 funding a workshop next month that will have PUC
4 Commissioners and the -- some selected state
5 legislators -- like, Lauren's going to be
6 speaking at that meeting. And it's one of the
7 few occasions of which I'm aware where you're
8 bringing the two parts of the state policy making
9 community together to talk about a particular
10 subject. In this case it's transmission
11 technologies and how they may be able to
12 alleviate political problems. You know, where
13 to you put overhead lines? Where do you bury
14 them? Where do you do other things? So, as I
15 said, the DOE is facilitating that through
16 funding assistance.

17 The -- a second thing that some of the
18 folks at this table were at, including Gordon, is
19 the Council of State Governments has a working
20 group if you will looking at the feasibility and
21 what might be components of an interstate compact
22 for siting. How do you get states to adopt, I'll

1 say, a common form, format, timeline process so
2 that -- with some kind of ultimate decision, you
3 know, coming forward so you have those interstate
4 lines that are not bogged down as AEP was for --
5 was that three decades, or three generations, or
6 some long time.

7 But the -- the -- part of it, too, that
8 the DOE, I think, can do is by stimulating these
9 discussions is identify best practices. For
10 example, one of the things that we have in my
11 state is a law that allows our Commissioners to
12 sit in concert with other states' Commissioners
13 for hearings and decision making processes.
14 That's heretical. Now, but it's getting at
15 trying to have our policy makers, be they the
16 Commissioners who have ultimate responsibility,
17 or the legislators and the governors who will set
18 that framework to see beyond the state border
19 parameter.

20 You know, that -- one of the things that
21 we constantly struggle with we talk about here
22 but more in my venues is if you want an

1 interstate transmission line, and I don't see a
2 benefit, why should I be paying for it.

3 Well, trying to get that education
4 process going that there is a national or a
5 regional benefit -- it's similar to -- again I'll
6 use the SBP as an example -- we're trying to
7 build transmission lines and have the costs
8 spread across the beneficiaries. If a utility
9 doesn't see a benefit for a line in Kansas, they
10 have a potential to block it. You know, so what
11 the SBP does is they build enough, you know,
12 lines into their plans so everybody gets
13 something and, you know, you go forward. That's
14 not necessarily the best planning.

15 But again it comes back to I think the
16 DOE has a significant opportunity to bring those
17 disparate policy making groups together separate
18 from and including the utilities or the expertise
19 in terms of how do you actually keep the grid
20 working but to define what the parameters of that
21 new decision making model should be.

22 MR. BUTLER: Tom, as usual, you know,

1 you've seen this from the mountaintop almost
2 because I couldn't agree with you more.

3 A couple years ago when I was President
4 of NARUC my theme was breaking down silos. The
5 whole idea was for legislators, for
6 Commissioners, for governors' office, for rate-
7 payer advocates, for the regulated utilities for
8 the costs is talk about these things. And until
9 they do -- and they're still -- you noted some
10 developments along those lines -- it's still not
11 anywhere near enough.

12 And so, to the extent that DOE can, in
13 what they fund, move that dial farther towards
14 the ideal point on the dial, it would be helpful
15 to everyone involved because we really cannot see
16 these things only through the silos in which we
17 live, not even within the state, but certainly
18 not between the states.

19 And the large square and rectangle states
20 out where you are do a better job of this,
21 frankly --

22 MR. CURRY: Much better.

1 MR. BUTLER: -- than we do on the east
2 coast. Even though we've had things like PJM,
3 and ISO, and et cetera, for decades, we still
4 tend to be in our silos way too much.

5 MS. GRUENEICH: One of the parts that I,
6 as -- if we are going to get into this in future
7 meetings and are thinking about that I think has
8 been of great value from the funding is
9 identifying missing technical data.

10 And, for example, in the west, just
11 getting a common base inventory collected from
12 the state governments of the wildlife, of the
13 threatened species, seeing endangered species,
14 some idea of water usage at the power plants.
15 Those are the types of data-building efforts
16 that, to me, are sort of front and center of what
17 a national Department of Energy is helping us as
18 a country have good solid information on.

19 Getting together -- you know, I think you
20 were at the meeting where we talked about with
21 the foundational transmission lines in the west.
22 Nobody had thought to gather the information on,

1 okay, so how much renewable are they projected to
2 actually carry and communicate that to the group
3 because otherwise it was this amazing effort that
4 had no correlation to understanding how it was
5 then going to meet State RPS goals and
6 systematically having that information available.

7 So I just wanted to throw out that to me,
8 as we're thinking about that, it's -- it is much
9 more than bringing people together and talking.
10 It is DOE having provided good, solid, technical
11 information and databases. And I think going
12 forward that's an important question to ask and
13 to think about between the three interconnections
14 what data has been collected and what ended up
15 being useful. What is the cost of maintaining or
16 expanding those databases?

17 MR. KRAPELS: Yeah, this is a similar
18 question. When you actually start building
19 transmission, the people you run into, including
20 the state regulators, are also folks like the
21 Forest Service. As we go offshore, it's people
22 like DOI, who I had a meeting with yesterday. At

1 the state level, it's the environmental
2 commissions who will make the call on whether
3 water can be used in a particular nuclear power
4 plant. And this is just a question. I'm not
5 involved in EIPC. Are those folks represented in
6 the analysis and in the study?

7 MR. MEYER: Yes, definitely, and more so
8 in the west than in the east because of the
9 greater prevalence of federal lands in the west,
10 although Interior is quite interested in offshore
11 so far as the east is concerned.

12 The one party that I would say that's
13 absent, at least to a greater degree than we
14 would like, is the Defense Department. And they
15 -- obviously, they own a huge amount of real
16 estate. They typically come to the party too
17 late when it comes to the development of some
18 kind of facility, and they wave their arms and
19 say, "Oh, you know, you can't do that because
20 it's going to interfere with X, Y, Z."

21 And yet when we talk to some of those
22 people they say, "Yeah, we sure would like to be

1 there, but we're just not geared up. We don't
2 have the horsepower staff-wise yet to do it."
3 And maybe they will in future. But we've learned
4 a lot.

5 I mean, the feds -- the other federal
6 agencies seem to -- in fact, it was interesting
7 that we have been telling some of our senior
8 people about this effort for some time, but what
9 really got their attention was when BLM and
10 Forest Service were coming in and saying, "Do you
11 guys know how terrific this stuff is?" That --
12 that kind of made a difference for them, yeah.
13 So --

14 MR. COWART: Can I just make a comment?

15 MR. MEYER: Sure.

16 MR. COWART: It sounds to me like there's
17 been -- and you've been taking notes, I assume --
18 that a lot of good input, like, from this
19 conversation for the Subcommittee and -- but no
20 one has yet raised the question -- actually
21 answered the last sentence which is how would you
22 propose -- I heard all these great things about

1 the value of these processes for different
2 reasons and no suggestions on how you would
3 propose to make sure the funding continues to
4 make it possible. And that's fine for today.

5 I mean, that's the job of the
6 Subcommittee to come up with ideas, but perhaps
7 we want to just toss that one out explicitly
8 right now and see does anybody have a suggestion
9 that you'd want the Subcommittee to examine?

10 Go ahead.

11 MS. AZAR: Well, I come to use MISO as an
12 example where MISO ends up funding the
13 organization of MISO states. And similarly, PJM
14 funds OPSI.

15 (Comment by Mr. Curry off microphone was
16 inaudible and not transcribed.)

17 (Laughter.)

18 UNIDENTIFIED MALE SPEAKER: Bah-dum-bum.

19 OTHER UNIDENTIFIED MALE SPEAKER: Four to
20 one vote in New York.

21 MS. AZAR: So I think there is a model
22 there for a lot of the Eastern Interconnect at

1 least. We do have some challenges in the
2 Southeast as far as how we could collect funds
3 from them.

4 But I do think with regards to the
5 majority of the Eastern Interconnect, I think we
6 could find a mechanism through similar types of
7 funding.

8 For the West where you guys don't have
9 RTOs, I'm not sure how east that's going to be.
10 I think with ERCOT it's going to be pretty easy
11 but --

12 MS. GRUENEICH: It's been discussed. It
13 would be through WECC.

14 MS. AZAR: It would be through WECC.
15 Okay.

16 MR. GRUENEICH: Yeah. The difficulty, as
17 I said, I think whenever you get into this, you
18 want to break it down into categories of funding
19 because they were quite different. You know,
20 funding state officials to travel versus
21 acquiring a new database, but the discussions
22 have been it would ultimately be funded through

1 WECC.

2 MR. SLOAN: Yeah, I'll pickup and build
3 on what Lauren and Dian said.

4 Essentially whether you're having
5 sponsored workshops as you are with that -- the
6 transmission workshop next month in Denver or
7 whether you partner with NERUC, NCSL, CSG, some
8 other organizations, NGA, to bring people to
9 conferences where DOE is sponsoring a workshop or
10 a panel discussion, rather, or even within the
11 industries. You know, Brad's invited me to the
12 ESA meeting which I now can't go to but, you
13 know, the education of Commissioners and selected
14 legislators -- I mean, you don't want everybody
15 there -- you know, is crucial to moving public
16 policy forward. You can have the best ideas, the
17 best technologies, but if I don't permit you to
18 use them or to recover your costs because I don't
19 understand it, you know, we're not going to go
20 very far very fast.

21 I mean, I've been a big advocate of we
22 have to reward first adopters, but that's not a

1 subject that shows up at any of my legislative
2 conferences and such. It's think meetings that
3 I, you know, I'm coming to like this one. So,
4 again, it comes down to not, frankly, whether
5 it's industry supported scholarships, whether
6 it's the RTO, ISO, WECC supported scholarships,
7 or whether it's just DOE money that's funneled
8 through, they've got to get us together, as Fred
9 said, and avoid the silos.

10 MR. POPOWSKY: Just a narrow point in
11 response to Lauren. PJM doesn't fund consumer
12 advocates or NGOs. In fact, we've tried to get
13 funding, and I'm unable to do that. And the
14 reason we're able to participate in the EIPC is
15 because DOE made is clear from the beginning that
16 they wanted to have representation from consumers
17 and from NGOs.

18 So we certainly appreciate that support,
19 but I just wanted to point that out, Lauren, that
20 we need something broader than the -- what's been
21 going on at the RTOs.

22 MR. MOHRE: I have a couple thoughts

1 here. One is you've got to keep on keeping on
2 with this. It's been going on almost as long as
3 the interstate highway system. I will point out
4 I was 6-foot, 8 when I tried. And look what's
5 happened.

6 But the -- I think there's a group
7 missing in the Item one. And it's one thing to
8 plan and do analysis. It's another thing to get
9 the right-of-ways. And, quite candidly, even
10 when you plan a line, there is a problem getting
11 the federal agencies to talk to each other and
12 buy in. And it seems to me -- and I realize you
13 can't tell another federal agency what to do.
14 And I realize there was some legislation that
15 talked about fixing that problem, but we still
16 have it today. And we have it in spades when we
17 try to build a transmission line.

18 And it involves -- I don't want to get
19 into the agencies. I'll tell you off line, but
20 it seems to me that particularly where you're
21 doing planning in an area where there are federal
22 agencies involved, okay, somehow we've got to get

1 their attention that this is important and they
2 don't go out and sell their wares by saying sign
3 up with us and if you do, we'll make sure
4 transmission lines don't get built. And I say,
5 we'll talk off line about that.

6 MR. MEYER: I can speak briefly to that
7 particular problem. That is one of the -- the
8 states and the industry alike are somewhat
9 uncomfortable at the list -- at the uses we feds
10 have made of a couple of lists that they've come
11 up with -- lists of projects.

12 That is, the modelers, when they do these
13 long-term forecasts, what they have to ask
14 themselves are what are some of the projects that
15 are not yet operational but in the pipeline that
16 we expect are going to come on line during the
17 study period -- that we think are very likely to
18 come on line during the study period? And those
19 kinds of projects need to go into sort of what
20 the base case, or the reference case, or whatever
21 you would call it.

22 Projects that are more speculative, you

1 want to put into the scenarios that you're going
2 to compare with the base case. Now, both in the
3 east and in the west now, the working groups have
4 come up with these lists of projects that were to
5 go into the base case that were believed to be
6 comparatively likely to come on line.

7 And so we then -- that is DOE, and
8 Interior, and Forest Service, and others -- have
9 said, okay. Those lists are very useful to us
10 because they help us prioritize attention, say,
11 within the Forest Service about what -- what
12 projects -- and, you know, we've had the
13 Secretary of Agriculture say, I don't want a list
14 of 25 projects. I want a list of five or six
15 projects that I can tell my people, hey, pay
16 attention to this. I'm not telling you how to
17 rule, how to make the decision, but make sure
18 that this gets attention. Make sure if you have
19 data problems that need to be addressed, tell me
20 about it. If you have coordination problems with
21 other agencies, tell me about it, but stay on
22 schedule.

1 So this is a -- we're using different
2 parts of this process to leverage each other.
3 And I think it's very productive. And it -- I
4 would love to be able to bring the Defense
5 Department into this conversation more because I
6 think that would be very helpful.

7 (comment off microphone was inaudible and
8 not transcribed.)

9 MR. MEYER: Sure. Rich is reminding me
10 we need to move on.

11 Yeah, Item 2. In -- when we issued the
12 request for proposals under -- for the Recovery
13 Act money, we listed about four or five core
14 objectives that we thought the planners should be
15 seeking to balance.

16 But when the Recovery Act money runs out
17 and if this process is ongoing, what are the
18 planners going to plan for? What should they
19 plan for?

20 This is an important set of variables to
21 be thinking about here. And it -- so I'll stop
22 there and let people respond.

1 MR. KRAPELS: I think FERC has done a
2 very useful job in pointing to some things in the
3 NOPER that is currently under consideration. And
4 I believe they said we will look at state
5 policies, environmental policies, and we will try
6 to implement transmission planning and
7 transmission procedures that help the states
8 achieve what they want to achieve, and obviously
9 how they actually do that is going to be of great
10 interest to us.

11 They had a second issue that they
12 defined. And it's almost a policy objective.
13 They didn't quite put it that way but I wondered
14 if this committee would like to embrace it as a
15 policy objective. And that is greater regional
16 integration.

17 The Eastern Interconnect is not well
18 integrated. The Commission seemed -- and, Joe,
19 I'd love your thoughts on this -- whether FERC
20 seems to look at the integration of different
21 control areas as a public policy good that it
22 tries to facilitate. The Commission's been very

1 helpful to our projects. We tend to be
2 interregional projects focused because they're
3 difficult to do, and utilities don't typically do
4 them. So those are two possible candidates for
5 us.

6 MR. HEYECK: I just want to -- I'm trying
7 to figure out if the Department of Energy could
8 carve out a piece that's not being done. Right
9 now planning is being done by many. And if you
10 have to think about what to carve out, I would
11 say certainly engaging Homeland Security,
12 Department of Defense, the security of our grid,
13 not just from a cyber perspective but physical.
14 And then determining what's RAYPARE [phonetic],
15 what's really national defense, resiliency.

16 Those are the things that are not being
17 done today by RTOs. And I really think RTOs are
18 doing a good job. You did carve out a value add
19 in our first discussion, that being there are
20 more people at the table. And I -- that's good.
21 Everyone can get an understanding as to what
22 needs to be done.

1 But I really think we need to carve out
2 what it is that -- as you had in the Item 1 as
3 the value add. And I really think the value add
4 is let's give the planners -- they're doing a
5 good job. FERC does have some action along the
6 three pillars of policy, reliability, and
7 efficiency, congestion. So let's give that a
8 chance to work.

9 I'm intrigued by your notion of the
10 Department of Defense. I think I would add
11 Homeland Security. And I'm wondering if that is
12 more of a separate effort than getting mired in
13 the effort that has many stakeholders at the
14 table.

15 MR. van WELIE: I think Mike has a good
16 idea there.

17 My perspective on this really comes from
18 having to do the planning ultimately. And I am
19 nervous about this one because I think the only
20 public policy requirement that's clearly defined
21 at the moment is reliability. So the last thing
22 you want to do is give planners an ambiguous set

1 of criteria to go and plan for.

2 And it may be that in single state ISOs
3 they can get that from the state officials of
4 that state, but the minute you're in a multi-
5 state mode with conflicting requirements in each
6 one of the states, and an absence of direction
7 from a federal level, you're essentially giving a
8 planner something that's impossible to do.

9 So I don't know how this committee can
10 actually provide advice on this issue to be
11 honest with you.

12 MR. KELLIHER: I would have to say I
13 agree with Gordon on that. I mean, but the
14 second question was posed by FERC nine months
15 ago, right, in their proposed rule. And they
16 have a multi thousand page record on this very
17 question. And it just seems starting to ask it
18 now at DOE is not timely.

19 And what if you actually come up with a
20 different answer than FERC in the end along a
21 different time frame and a different answer, it
22 just seems how is that helpful to anyone, really.

1 Hopefully, the final rule actually does -
2 - at least in a categorical sense -- these
3 categories -- things like Clean Air Act rules
4 that might cause retirements or something that
5 should be considered in planning -- not, you
6 know, naming them but hopefully the final FERC
7 rule actually identifies the public policies that
8 planners have to consider and just doesn't throw
9 a jump ball in each region and say, you guys
10 settle on what the scope of public policy needs
11 to be incorporated in planning and that varies
12 from region to region. That, I think, would be a
13 pretty bad outcome.

14 But I just think from a DOE context this
15 probably isn't a helpful question to ask or
16 answer.

17 MR. van WELIE: And just to add something
18 to that, Joe, I think the issue really is you
19 don't want the planners to be trying to discern
20 public policy. They need to be given something
21 quite clear.

22 From a New England point of view we

1 punted on that and said let NESCO, which is our
2 state committee on electricity, decide. Once
3 they decide what the regional public policy is
4 that we need to solve for, we'll do it.

5 But I don't think you want to put
6 planners in the mode of trying to balance
7 something that's not -- unbalance-able.

8 MS. AZAR: When I agreed to take on this
9 committee, the subcommittee, one of my questions
10 was or conditions were that one of the first
11 questions we ask is who should be answering this
12 question. And it needs to be okay for us to say
13 not DOE.

14 And it -- this is an example of -- when I
15 read this question, I didn't think the proper
16 place was DOE either, but I think the Committee
17 can help to the extent we think it's solely at
18 FERC. Let's just say we think it's solely at
19 FERC, or perhaps we need to say, you know what?
20 We need some other stakeholder group. We need
21 somebody else to take a look at this. We need
22 Congress to step in, whatever the case may be.

1 Or we may decide, as a Subcommittee, not to
2 attack this issue at all.

3 But I just wanted to let you know it's
4 okay to say not DOE.

5 MR. COWART: I'm going to echo that. It
6 doesn't necessarily need to be DOE, although, we
7 may want to, in fact, recommend a planning
8 process or we might, you know, individually favor
9 a planning process that looked at more than
10 reliability.

11 I mean, I'm aware that planning processes
12 for interconnections, for example, ask questions
13 like how can we minimize congestion and,
14 therefore, reduce consumer costs. That's pretty
15 common in planning processes.

16 Or we might say how can we ensure the
17 interconnection of a larger fraction of
18 renewable. Same thing, I mean, you know, it's
19 not like we don't do this already and have
20 multiple objectives.

21 The question as to whether DOE should be
22 making up that list or whether we would want to

1 allow the planning processes that we just
2 discussed for a good while in Topic 1 to, you
3 know, empower them to come up with their planning
4 objectives as part of their process, that's a
5 separate -- or whether we say, as Lauren just
6 said, maybe we are content to let FERC do it or
7 Congress do it.

8 I do think -- I would just observe that
9 having a planning process for large scale systems
10 integration that only looks at reliability, to
11 me, doesn't advance the nation's long-term
12 objectives. So I -- I doubt we will want to end
13 up there.

14 MR. MEYER: Anything further on Item 2?
15 Seeing none, we will go on to Item 3.

16 The right-sizing issue is one that has
17 come up frequently in discussions that I've had
18 with people. They are very keenly aware that you
19 may only get one shot at this -- at building a
20 line in a given area. And so it's extremely
21 important to try to get it right. And so, that
22 leads to a series of questions which are the

1 bullets here.

2 And in the interest of time I won't go
3 through them one by one. I'll let folks comment
4 as they think appropriate. Mike, you had your
5 card up first.

6 MR. HEYECK: This is like the Jeopardy
7 game. We have to hit the button.

8 Let me -- as a proponent of higher
9 voltage transmission 765-kV, for example, versus
10 345-kV. There's a place for each of these
11 elements. It's not one-size-fits-all that --
12 perhaps Wisconsin doesn't need a 765-kV circuit
13 but maybe West Virginia does. It really is an
14 element-by-element proposition.

15 The issue then becomes what you -- you
16 know, the up-front cost versus the life of it.
17 So if you put a 345-kV double circuit tower up
18 string one side, then string the other side five
19 years from now, and then 10 years from now
20 reconductor it, and then 15 years from now
21 actually tear it down and put a higher voltage
22 transmission, I would say that that's not going

1 to be hard to figure out that that's going to be
2 more costly than actually building it right the
3 first time.

4 However, I am -- I am accountable, and I
5 understand the issue on rates -- the impact on
6 rates.

7 But there's another part of this grid
8 that we haven't really figured out. And we waste
9 350 billion kilowatt hours per year in delivery -
10 - 350 billion kilowatt hours in delivery. And we
11 do a lot of stupid things by loading up lower
12 voltage facilities to their rating all the --
13 much more time than it should be. And that
14 wastes a lot of losses. In fact, you can get up
15 to 9 percent even on a 345-kV circuit. So the
16 efficiency of the grid's got to be looked at as
17 well. And actually, we could do simple things in
18 substations, existing substations, on efficiency.

19 But getting back to the subject at hand,
20 I think this is going to be an element-by-element
21 proposition. If you look at DC versus AC, again,
22 it's application and where it is in the network.

1 DC has very strong opportunity underground in
2 urban areas, along interstates. Long-distance DC
3 is certainly efficient, but the states in between
4 don't want to see it because they don't get the
5 off ramps.

6 So, what I'm saying is each of these
7 propositions will make themselves evident in a
8 planning process. But there can be an economic
9 model run to see what if you do this, this, and
10 this, up-front costs versus ongoing costs. You
11 can do that, but that's an academic exercise in
12 my estimation.

13 So, again, I'm an advocate for high
14 voltage transmission because of efficiency and
15 the fact that there is many more unknowns that
16 when you put the lineup that you have to endure
17 such as generation at risk.

18 MR. DELGADO: I will add to what Mike
19 said, which I think is quite -- quite well.

20 And it has to do with the fact that the
21 industry has some practices which are, I would
22 say differing in different places, but this is

1 not new to us. The fact is that you never build
2 a line that gets fully loaded the day you turn
3 the switch. You always have excessive capacity.
4 It's part of the plan. You always put a problem
5 way out of the way. You don't plan -- build
6 transmission for to solve the problem just two
7 years. You solve the problem for the next 15, 20
8 years, okay. And this is part of transmission.

9 A transmission line does not become
10 stranded simply because the flow is low. The
11 only way I can think of is stranded transmission
12 if you built a line to some load that never
13 appears and it's a single radial, and nobody
14 wants to pay that because they have no use
15 whatsoever -- the load that doesn't show up.

16 I know very few cases of that, and most
17 of us would never build anything like that. We
18 would just go and (unintelligible) to the thing
19 that's always useful.

20 So the issue of capacity -- like Mike
21 said, transmission lines that have an empty side,
22 double circuit without a circuit. Whether that

1 base or not, everybody does a present worth. And
2 very often we do not know the rate of growth of
3 load, and sometimes -- or most often we are
4 wrong. It is too fast or too slow.

5 So what we do is basically try to
6 determine our best case of the present worth of
7 doing it 15 years from now. You should know that
8 we have the ability because we have done it to
9 actually replace a line while it's still running.
10 Okay? I mean, it's dicey. The equipment is
11 expensive, but we have done it. 345-kV line
12 replace while it's running -- new
13 (unintelligible), new wires and the line is
14 running. Yeah, it makes the hair in the back of
15 your head go straight and may give you bad
16 nights, and you don't want to watch it, but can
17 it be done? When it's worth it, yes.

18 If the line -- an hour of the line costs
19 you \$2 million in re-dispatch. You can afford to
20 pay a lot of money to replace that sucker. So,
21 when there is a need, there is a drive.

22 There are right-of-ways that I think it

1 would pay to do what I think -- what I was
2 thought in the past is that we do need some
3 broader right-of-ways. And also, we have to come
4 to a conclusion that we have to use multiple uses
5 for right-of-ways. Sometimes -- it was canceling
6 for a long time the highway the permit. They
7 don't want us to put lines next to it because it
8 made their highways ugly. Okay?

9 (Laughter.)

10 MR. DELGADO: But then the legislature
11 passed --

12 MS. AZAR: What's your point, José?

13 MR. DELGADO: Well, you know, I -- I, you
14 know, when an engineer tells to me about beauty,
15 I say, "Great. When is the last --" well,
16 anyways.

17 (Laughter.)

18 MR. DELGADO: But the issue is -- and
19 finally the legislature passed a law that listed
20 the double use of right-of-way and highway was
21 the first one they order us to put them in. Why?
22 Because it makes sense, folks. It's already

1 there. And, you know, a six-lane highway on the
2 south of Madison is not going to get any uglier.
3 The case has been already decided, so I'm not
4 compromising your -- because we built a 345 next
5 to it. Okay? But you should see the emotions
6 that get involved in this.

7 The point, folks, is that there --
8 there's traditions the industry have used in
9 this. The question then comes if, in fact, we
10 need a very large investment to go across the
11 state, which Mike is very familiar with this,
12 where the needs, the sources and the syncs, the
13 needs are in both ends. How do we compensate the
14 people in the state so they don't end up with the
15 cost probably at minimal benefit. And those are
16 things that we have to decide as a matter of
17 money.

18 The issue of expandability, we have been
19 dealing with that for a very long time. There
20 are critical right-of-ways, so I'm not going to
21 say that we can ignore it in any case. We have
22 to look at it.

1 I'm particularly concerned with right-of-
2 ways into heavily populated areas where, in fact,
3 the right-of-ways that exist are being over built
4 carelessly, and you're not thinking of the
5 variety of infrastructure. This is a matter of
6 city planning, you know.

7 We very frequently have had issues with
8 development groups in counties where they have
9 this whole park, and then we come and say, "Well,
10 where is the right-of-way for the transmission
11 line?"

12 And they say, "What transmission line?"

13 And say, "Well, all this industry, what
14 is it going to run on? Electricity?"

15 Oh. You know, please remember you've got
16 to leave a crack for us to get through. Okay.
17 So I think that it -- we have a role -- the
18 Commissions have a role. The most important
19 issue which we -- it's kind of an expansion of
20 this is what happens when we have to cross a
21 corner of a state to serve folks someplace else?
22 That continues to be the issue that bedevils the

1 industry.

2 And sometimes what we have done is we say
3 the local state doesn't pay anything. The one
4 that doesn't get the benefit doesn't pay
5 anything. We have done it with one line in
6 Wisconsin. I know that people don't like it, but
7 the fact that Minnesota didn't pay anything for
8 Arrowhead West and even though it ends there.
9 Okay. Because the bulk of the needs was in
10 Wisconsin.

11 But those are issues that have to be
12 discussed. My impression is that we have the
13 technology and the experience to sort of build
14 and build in place and continue expanding in
15 place.

16 MR. MEYER: My understanding is that this
17 right-sizing issue has been made more acute by
18 the prospect of the long-term development of
19 large amounts of renewable and that, say, in the
20 case of meeting state level RPSs, to meet that
21 RPS as now written, it might take a Size X line,
22 but if the -- if you're talking about a resource-

1 rich area that potentially could be developing a
2 lot more later on, that's when this right-sizing
3 issue becomes more difficult now than -- than it
4 might have been earlier. Yeah, so sure.

5 MR. van WELIE: So, David, the engineer
6 in me likes the idea of while you're sort of
7 doing the surgery, you do an all-in-one shot and
8 you spend the money to put in place a decent
9 solution that'll last you a long time.

10 But I think -- I'm doubtful that any
11 study attempt that we or the DOE could do in this
12 area will be of much use until you solve the
13 items in 2 because this is essentially a public
14 policy problem. And there's a great case study
15 that's just occurring as we speak up in New
16 England that illustrates the point.

17 There's -- I had said that the only
18 public policy requirement that's clear at the
19 moment for planners is reliability. And I think
20 we've used that to good effect in New England to
21 deal with a lot of investment that was needed for
22 reliability in New England. And when you take

1 the transmission line to the siting authority,
2 believe me, they take you through your paces in
3 terms of demonstrating how and why it's necessary
4 to make this investment in order to meet that
5 need.

6 In Maine there's a \$1.4 billion project
7 that's just gone into construction that went
8 through our planning process. And there's a
9 section of that line which we're building at a
10 115-kV. It actually makes more sense to build it
11 at 345-kV, but the reliability case isn't there.

12 If you look about -- if you look at the
13 investment that's been made in the long term and
14 you assume a lot of wind integration up in Maine,
15 you would -- and if somebody were to say, "We're
16 going to do that," from a public policy point of
17 view, you would have built that line at 345-kV,
18 not at 115-kV.

19 But in this case the decisional authority
20 was the Maine Public Utility Commission. They
21 have the signing authority. And essentially what
22 they were looking at was a narrow requirement,

1 which is you, ISO, and Central Maine Power, say
2 you need this line in order to maintain
3 reliability. What's the minimum amount you have
4 to spend in order to achieve that objective?

5 And with respect to the rest of the
6 region who has to pay their fair share of this
7 line, people would ask the same question. So,
8 because we have environmental policy unresolved,
9 effectively, you can't even have a productive
10 discussion about this issue.

11 So, perhaps through the FERC NOPER they
12 opened the door for the states to weigh in on
13 what public policy is. And then the planners
14 will get clarity as to how to go from there. I'm
15 not confident we will get -- we'll make much
16 progress in this forum on this issue.

17 MR. WEEDALL: So I'm going to echo a lot
18 of what Gordon just said. Certainly another
19 driver that many of you have heard me, you know,
20 talk about today, you know, during breaks, et
21 cetera, is the scrutiny that we're coming under
22 is just unprecedented. You know, as I've talked

1 to -- when you have a public meeting and 600
2 people show up and they're very well organized,
3 and they're very well informed, and very well
4 represented, it's just very hard for me to look
5 here and start to say, "Yeah, go ahead and over
6 build the thing." You know, they're -- again,
7 the scrutiny is just there.

8 You know, of course, you know, we --
9 we're in some ways our own worst enemy because,
10 you know, we're very transparent, or we try to be
11 transparent. And we have a non-wires process.
12 And, you know, again the detail is there. You
13 know, we're trying to skinny down the investments
14 that we make also because it's our capital, and,
15 you know, again, we've got to make sure it's the
16 very best investment.

17 So I just look at this and think --
18 especially going forward when people have more
19 ability to push back, and you know, whether it's
20 social networking or other, you know, ways that
21 people are bringing, you know, different points
22 of view to the discussion. I just think it's

1 going to be more and more difficult for us, and
2 we've got to put the very best case forward as to
3 why that investment makes sense and --

4 MS. GRUENEICH: I'm going to be a bit of
5 the skunk here. And even though I know it does
6 say potential study topics that actually 2
7 radically suggests 3, 4, and 5 not be addressed
8 by the Transmission Subcommittee. So I'll just
9 lay it out, and I recognize DOE is going to
10 decide, but this gets back to -- this is an
11 Advisory Committee to DOE.

12 DOE has no legal jurisdiction over the
13 sizing or siting of transmission lines. And so,
14 to provide advice to DOE on whether lines in
15 general should be made larger or not seems to me
16 to be a bit of an academic exercise.

17 As a Commissioner I spent six years
18 overseeing the successful permitting of
19 transmission lines -- three major ones all
20 permitted and all under construction.

21 And when it comes down to super-sizing,
22 it is absolutely dependent upon the line itself.

1 And I -- I'll just be honest. I feel like we
2 could have a lot of discussion of some general
3 theories should you, you know, build larger or
4 not larger, but the reality is that there will be
5 millions if not billions of dollars at stake in
6 the issue, and it will be dependent upon the
7 project. So that's the right-of-ways.

8 I'll just quickly go to this fourth and
9 fifth since I know we're going to move on. The
10 fourth I think is squarely at issue before FERC,
11 so why should we all discuss positions that
12 probably all of our organizations have already
13 submitted it to FERC and we're waiting to happen.

14 And the fifth -- my memory is is that
15 that's a legal issue that is state specific,
16 which, again, providing advice to DOE on what I
17 guess DOE would then turn around and start
18 telling states, "You should change your state
19 law." You know, I don't think we want to go --
20 so I'm just saying we should -- we should
21 probably -- if we're going to take these on --
22 hone in a little bit more on how our time

1 advising DOE is going to help DOE in its decision
2 making because that's - that's how I think
3 fundamentally we're trying to assist DOE in this
4 committee.

5 MR. COWART: Okay. Let me --

6 MS. GRUENEICH: So I told you I was
7 going to be the skunk.

8 MR. COWART: I understand. Let me say
9 that I think to look at what is in DOE's
10 jurisdiction, if you like, is a mistake. That
11 is, DOE does have a policy function at the
12 interagency level where -- in working with the
13 White House or others. We have a capacity to
14 turn to the National Laboratories and ask them to
15 focus on questions that are of particular
16 interest or value to the states, say.

17 And, you know, it wasn't very long ago
18 when we were hearing from lots of different
19 sources that there were three fundamental problem
20 areas with respect to transmission: planning,
21 cost allocation, and siting. And not that those
22 three are necessarily the only way to -- the only

1 typology to use, but in any event, my point is
2 that from my point of view as a -- working at DOE
3 on transmission policy questions, my fundamental
4 question to myself is, all right, what are the
5 fundamental issues here. And what can DOE do
6 that would be a useful contribution to the
7 dialog?

8 And if we can provide -- if we can
9 facilitate a more intelligent conversation on any
10 of these subjects, fine. That's what -- that's
11 worth doing. And we're not trying to get into
12 somebody else's jurisdiction. We recognize
13 people's -- other people have very specific
14 authorities, and we respect that, but
15 nonetheless, we think we can find ways to help
16 deal with the most acute issues. And that's our
17 objective.

18 So, let's turn with what time we have
19 left to Number 4 and Number 5. And Number 4 is
20 unquestionably a hugely important issue. And to
21 say that FERC is dealing with it, yes, they're
22 dealing with it. They've been dealing with it

1 for some while. And so I -- whether they will
2 succeed this time around or not, I don't know,
3 but if there are some useful ways to -- creative
4 ways to deal with this, I think it's well
5 worthwhile to give attention to them.

6 MR. KRAPELS: I think 4 and 5 are pretty
7 much related issues. And when we were foolish
8 enough to initially get started in transmission
9 development, we knew we didn't have imminent
10 domain. And so when we look at transmission
11 projects, we always say, "What can we do," and,
12 "What can we use where we don't have that
13 authority?" And compensation is one way to solve
14 that problem.

15 For example, we are looking at a Hudson
16 River project. And compensating the river for
17 what we're going to do to it is actually a good
18 thing with creating a fund for Hudson River
19 repair and restoration once the cable is buried
20 is an idea that's so sensible to me that R. H.
21 Coase could have written about it and applauded
22 it.

1 So I think anything the Department can do
2 to legitimize this idea that bodies of water or
3 rights-of-way are things that are being used or
4 people are inconvenienced deserve to be
5 compensate is a big step forward.

6 MR. KELLIHER: I guess I share some of
7 Dian's concerns about 4 and 5. And 4, again, is
8 -- the benefits issue is something FERC asked
9 nine months ago, multi-thousand-page record.
10 They're poised to issue a final rule in a month,
11 two months. Is there any possibility that the
12 Electricity Advisory Committee in the next month
13 will have a eureka solution to the benefits issue
14 that has eluded everyone actively participating
15 in the proceeding to date?

16 I suppose it's possible. I don't want to
17 --

18 MS. AZAR: I've been keeping it a secret.
19 I'll tell everybody later.

20 MR. KELLIHER: Well, yeah. And so that's
21 one where it just seems it's arguably too late to
22 ask the question, right? Because there would be

1 some period of time -- let's assume we actually
2 agreed on what the answer was. We'd agree
3 probably months after FERC issues a final rule,
4 and depending on how they answer that -- the
5 benefit principal question in the final rule --
6 they've either decided it or they handed it off
7 to regions.

8 And then is DOE advising regions -- and
9 regions still isn't very defined in the FERC
10 proposed rule. It just seems like it's arguably
11 too late to ask the question in this -- in this
12 body, Question 4.

13 And 5, until and unless federal siting
14 becomes a reality, that is a, I think -- a state
15 and a local consideration. And it seems like an
16 academic exercise to basically in the abstract
17 say the best, the optimal right-of-way
18 compensation scheme is X. Issue a report, and
19 maybe we're exactly right, and maybe we're very
20 persuasive. What's the value of that report? It
21 is of slight value unless it's sent to every
22 state siting body and every local siting body in

1 states like New Jersey where there isn't a state
2 siting body.

3 And it just seems -- the report by itself
4 would have an academic value unless there's going
5 to be an attempt to persuade the state and local
6 siting bodies, the multitude of them, that they
7 should change their compensation scheme to
8 reflect the ideal. And is that really what the
9 Committee should be doing?

10 MR. POPOWSKY: Yeah, I was going to agree
11 with Dian, I guess, in particular on Number 3 and
12 5. I think Number 3 the right sizing seems to me
13 the kind of thing people like José have been
14 doing for 30 years and is a fairly technical
15 question that has to be decided on a case-by-case
16 basis.

17 And Number 5, I agree with Joe, is an
18 intensely local issue. I mean, that's what we've
19 found in Pennsylvania. I mean, when it gets down
20 to the siting on that right-of-way, it's -- it's
21 house-by-house, farm-by-farm, historic site-by-
22 historic site.

1 So I tend to think, though, that Number 4
2 -- and then even going back to Number 2 -- are at
3 least the kind of issues that a group like this
4 could contribute on. Maybe Number 2 is -- if I
5 could just go back to that for a minute, it's --
6 if we -- the question I think is what -- instead
7 of what broad public policy objectives should be
8 considered, maybe we should say what national
9 public policy objectives should be considered by
10 the regional planners and by state planners.
11 What are the national objectives that we should
12 be -- that we, as a group, could contribute to
13 this process because -- and just finally, when
14 you get to both Number 2 and Number 4, what's
15 been frustrating to me, I guess, like when I got
16 into the EIPC process, I really thought that the
17 fundamental question was going to be how are we
18 going to decide as a nation -- how are we as a
19 nation going to deal with reducing carbon, and
20 how do we do this on a national basis because
21 it's so much harder to do it on a local and
22 regional basis.

1 (Mr. Butler leaves the meeting.)

2 MR. POPOOWSKY: So, now unfortunately,
3 that rug's been pulled out from under us, I
4 guess, in terms of the carbon issue -- or maybe
5 it has, maybe it hasn't, but to the extent we can
6 identify positive national benefits, positive
7 national attributes that we as a nation ought to
8 be looking at in our local and regional parochial
9 plans, maybe that would be helpful.

10 And I think that goes to both Number 2
11 and Number 4, so --

12 MR. SLOAN: I guess I disagree with the
13 last few speakers. I think that these last three
14 topics are worthy of our investment of our time
15 and effort because I see the Department's role
16 being that educator, facilitation process that I
17 talked about earlier. And that is how do you get
18 the state policy makers, the regional policy
19 makers, the general public, the media to
20 understand the significance that these are not
21 necessary local issues, but they are larger in
22 scope. I mean, they define what kind of energy

1 security, or reliability, resiliency, or whatever
2 system we're going to have.

3 And so, for me, these may not be the same
4 type of recommendations that we would sent to the
5 Department as we would on 1 and 2, but we can
6 certainly encourage the investment in that public
7 education, that public dialog facilitation that I
8 think we've talked about before.

9 MR. van WELIE: I tend to agree with Joe.
10 I think this Committee will become a microcosm of
11 what's playing out at the FERC right now. So I
12 think it would be quite a frustrating discussion.

13 MR. COWART: Yeah, I actually have a
14 mixed bag of reactions to these things. I'll try
15 to remember -- to remember what's in the bag.

16 The -- first, I do believe that the
17 Department of Energy has a public policy role,
18 and so I wouldn't -- and that -- that consists,
19 as David said, of advancing policies within the
20 federal government to other agencies. It also
21 consists of providing assistance to the states,
22 and it consists also of supervising the work of

1 the labs.

2 (Mr. Bowen leaves the meeting.)

3 MR. COWART: And so there's actually a
4 broader -- I wouldn't judge the role of this
5 committee to be limited to those things over
6 which the Department has some kind of either
7 direct spending authority or direct regulatory
8 jurisdiction.

9 That said, I agree with some of the
10 comments about which is -- which things are
11 closer to the core of our job advising the
12 Department and which things might not be.

13 With respect to Item Number 3, I think
14 I'll echo what Sonny just said that there are
15 national policies implicit in these major
16 infrastructure planning initiatives and that
17 framing the question what are the national
18 policies that we believe should be advanced in
19 those planning processes is to me an appropriate
20 way to position that question.

21 With respect to Number 5, I share the
22 comment that that seems -- that seems pretty

1 narrow and not something that -- that I -- that
2 sort of rises to the high level of concern for
3 this group.

4 Now, Number 4 is really quite interesting
5 because that's really a question for -- if you
6 think of it in a federal system of government, it
7 really is right there at the -- what's the -- the
8 manner or what are the mechanisms by which we can
9 accommodate competing state interests. And it is
10 a generic issue that goes to the ability to
11 create a grid that provides the public benefits
12 widely that we want to see. And I think there
13 are opportunities to be creative about that.

14 It may well be the case that the
15 Department doesn't have jurisdiction to implement
16 any of the recommendations or good ideas that we
17 might come up with in Number 4.

18 I'm taken by the fact -- I mean, I am
19 influenced here by the fact that FERC has a
20 docket. And if FERC's going to be issuing
21 something, then maybe we should put off our work
22 until FERC issues it, and then we can see what we

1 think of it and what we want to do next.

2 But I am also aware that being creative
3 about compensation to pass-through communities or
4 pass-through states is actually going to be
5 really important. Gordon's well aware of the
6 example in New England of siting the -- I guess I
7 get to echo Dian having sited transmission --
8 siting the HVDC line from Quebec into Central New
9 England through New Hampshire and Vermont which
10 weren't going to have any take-off points at all
11 off of that line.

12 And so there had to be a creative
13 solution to provide -- to make it politically
14 possible to site that line through the pass-
15 through states, there had to be a deal. And
16 there was a very creative deal struck to provide
17 compensation in the form of energy credits to
18 those pass-through states.

19 And just having lived through it, I know
20 that these problems can be solved, and we ought
21 to be collecting a -- you know, a play book of
22 good examples that might help get some -- get

1 some solutions on the ground.

2 So I can see a role. I don't know how
3 much it's going to be needed after the FERC order
4 comes out and maybe we just wait and see.

5 MR. DELGADO: On the assumption that, in
6 fact, we're going to talk about it, I would say
7 that Number 5 is extremely interesting and having
8 had a lot to do with it, I would like to -- I
9 always get -- like to focus on what is good
10 policy. In the value of electricity carrier
11 where the line has been proposed to me by many,
12 many, many people who saw their future totally
13 paved with gold. And I had many, many reasons
14 why, in fact, that was very poor policy which I
15 could easily go through it.

16 But the fact is that we do not know the
17 value of the current going through our line
18 because we don't even know who owns it. Okay?

19 So, from that perspective, the ownership
20 -- this is not a toll way even though I call it a
21 toll way like Mike does. But anyways, the toll
22 way every car has a driver that is accountable

1 for the car. Here we don't have it.

2 And there is such a thing as, you know,
3 compensating appropriately. One thing that we
4 have done that I have experience with is a law
5 that we promoted helped, which is that anything
6 over 345 and above we actually contribute a
7 certain percentage of the total construction to
8 each county, each community that we go by.

9 And all (unintelligible) is for a
10 (unintelligible) rural community this is for a
11 345 or a 765, this is a humongous amount of money
12 for them because these are communities very
13 (unintelligible) territory, very few people.
14 Their budget is extremely small. And, you know,
15 to them this is a tremendous amount of money.

16 Now to the project which is a
17 multimillion dollar project, frankly, it's
18 relatively small to the point that it can easily
19 justify to the counties. I'm going to tell you
20 there's a whole portion of the county which means
21 everybody not directly affected by the location
22 of the line is in favor of you once they

1 understand how much money they're going to make.

2 And it's not that you're bribing
3 everybody. It's that you're actually providing a
4 compensation that is the issue you're talking in
5 Number 4. And it works extremely well.

6 It does not mean, however, that you can
7 convince everybody. And one of the things that
8 in transmission business you learn is that you
9 cannot make an omelet without cracking eggs.
10 It's impossible to please everybody.

11 (Laughter.)

12 MR. DELGADO: Anyway, you might as well
13 forget about it. If you do not care to have
14 enemies and hate mail, just don't get in this
15 business. Somebody's going to hate your guts with
16 passion and express it in ways which are very
17 creative.

18 And you just have to admit the fact that
19 that is the way life is. We cannot make
20 everybody happy. Some people are incapable
21 emotionally to be happy. Their parents couldn't
22 make them happy. I'm not taking the obligation

1 to make them happy because they are unable to be
2 happy.

3 So from that perspective, any attempt at
4 pleasing everybody is extremely poor policy. I
5 don't know if you would propose that, of course,
6 but this issue on energy value is out of sight.
7 You know, it is impossible to manage.

8 Actually, I think it's very inadequate,
9 very poor policy.

10 MR. HEYECK: I just wanted to start at
11 the beginning. It would be good if Peggy could
12 excerpt the transmission section of that report
13 to go over some of the issues that we addressed.

14 If we -- again, if we have to consider
15 what the DOE should do, I think it's in the value
16 add department. And I've mentioned the area of
17 security. I mentioned the area of planning
18 analytics. We are still doing planning very much
19 the same way we did planning 30 years ago. We're
20 using the same tools that we did then.

21 In fact, when I joined AEP in the '70's
22 we were talking about stochastic techniques. I

1 developed a technique called probabilistic
2 transfer capability technique in the early '80's.
3 But we really don't use those as much as we used
4 the deterministic criteria.

5 Now that's not really for this Advisory
6 Committee. To me, that might be something that
7 the DOE could take a look at.

8 I agree with all the comments that have
9 been made, and I think that the report -- some of
10 the fundamentals of -- of transmission that we
11 shouldn't lose sight of is that there is much
12 more to transmission than just the load flow
13 planning technique.

14 One of the techniques that are not being
15 accomplished by the \$80 million is taking a look
16 at what Dave described earlier -- the inner-area
17 phenomena that occurs. We missed that because
18 our grid right now is on an EMS system that looks
19 at only every two or three-second snapshots of
20 what goes on in our interconnected system.

21 So the other area that the DOE could look
22 at which actually links up with synchrophasors is

1 developing the next generation EMS system to deal
2 with intermittency, to deal with the issue that -
3 - of Just In Time.

4 So those are the things that the DOE can
5 do. I'm not sure this Committee needs to be
6 involved in designing the next EMS system or at
7 least encouraging it. So, from my perspective,
8 I'd just like to make sure that we do that which
9 is not being done, which I think it's been echoed
10 around here.

11 MR. MEYER: Let me speak to -- respond to
12 some of that, that is, Pat's office does have a
13 very substantial R and D program. And some of
14 these real time or near real time grid management
15 challenges are certainly very much on our screen.

16 So at some point I expect we will have
17 people from the office in talking to the group
18 about some of those projects, what -- we would
19 certainly want to get your input on what you
20 thought the priority things to focus on are and
21 match that up with the kind -- the work that we
22 have under way. So, that's -- it's certainly a

1 subject to be explored.

2 MR. COWART: So any other comments on any
3 of these topics?

4 MS. GRUENEICH: I had one item --

5 MR. COWART: Or addition -- yeah, totally
6 different things that you'd like to put in front
7 of the Subcommittee?

8 MS. GRUENEICH: One of the areas that I
9 worried a great deal about when I was overseeing
10 the permitting of the new transmission lines in
11 California was because we were in real time, we
12 never stepped back and said, "Are the actual
13 physical materials on the lines the most
14 advanced?"

15 And over time I've had folks coming to me
16 and say, "Hey, we've got a great new product, new
17 technology," and that's something that I wonder
18 if there isn't a way to address it and think
19 about it and understand it because, again, I
20 worry that whatever is the R and D that is being
21 done with the demonstration on just better
22 materials and maybe better physical building of

1 the lines, how well is that getting dispersed out
2 into the actual new lines.

3 And there is, of course, a great
4 hesitancy for state commissioners to say, "Okay,
5 we're going to try something new," when it's a
6 billion dollar project. I was never willing to
7 do it, and I was about as risk-takey as you could
8 get. And so I worry, again, that there is no
9 systematic way of thinking about do we have some
10 demonstration projects going on that that
11 information is then shared.

12 So I don't know if you've thought about
13 it already. I just wanted to pass on that was a
14 worry that I always had.

15 MR. HEYECK: If I could answer, I'm on
16 the -- I head up the Transmission Committee at
17 EPRI. We do a lot of demonstration projects of
18 composite core conductor, for example. Yeah, we
19 still buy a conductor the same way we bought a
20 conductor when Dave Nevius was 10 years old.

21 (Laughter.)

22 MR. HEYECK: But we do have some R and D

1 efforts there, but I think your question brings
2 up that it might be well worth it in one of our
3 meetings to have a presentation on some of the R
4 and D topics for the industry.

5 MR. ROBERTS: And back to that whole
6 right-sizing issue and everything, I mean, the
7 consideration now of storage as a part of that
8 whole process in this whole planning effort needs
9 to now take place because I think there's a place
10 for it in that whole issue.

11 MR. COWART: Lauren, do you want to --

12 MS. AZAR: Yeah -- no, I -- this was a
13 great discussion and just demonstrated how
14 noncontroversial this committee's going to be.
15 What I think I will probably do is we'll convene
16 the committee, and I think our first order of
17 business is going to decide what issue we will be
18 addressing, and then we'll go from there. So,
19 thank you.

20 (Comment by Ms. Grueneich off microphone
21 was inaudible and not transcribed.)

22 MS. AZAR: I'm sorry? Delegate it to me?

1 MR. COWART: Folks, if conversation seems
2 to have reached a natural stopping point, that's
3 great.

4 As you know, at each of our committee
5 meetings there is a formal opportunity for any
6 member of the public who wishes to address the
7 committee to do so for not more than five minutes
8 each.

9 And I don't think anybody signed up to do
10 that but I'm making sure of that by asking now.

11 And hearing no responses, then I conclude
12 there are no public comments.

13 And let me ask the members of the
14 Committee is there anything any of you wishes to
15 put in front of the Committee at this point --
16 any further business?

17 All right. Let me, first, congratulate
18 David, Pat Hoffman, and the various presenters
19 for their contributions. And once again, to let
20 y'all know that I love coming to these meetings
21 and listening to you and sharing ideas with
22 y'all. Thank you very much.

1 We're adjourned.

2 (Whereupon, at 3:34 p.m., the Electricity
3 Advisory Committee Meeting was adjourned.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21