

UNITED STATES DEPARTMENT OF ENERGY

ELECTRICITY ADVISORY COMMITTEE MEETING

Arlington, Virginia

Wednesday, September 30, 2015

1 PARTICIPANTS:

2 JOHN ADAMS
Electric Reliability Council of Texas

3
4 AKE ALMGREN
Orkas Energy Endurance Inc.

5 PHIL ASSMUS
National Association of Clean Air Agencies

6
7 STEPHANIE AYERS
IMCORP

8 WILLIAM BALL
Southern Company

9
10 ANJAN BOSE
Washington State University

11 DAVID BOYD
Midcontinent Independent System Operator

12
13 MARILYN BROWN
Georgia Institute of Technology

14 MERWIN BROWN
California Institute for Energy & Environment

15
16 CAITLIN CALLAGHAN
Department of Energy

17 PAULA CARMODY
Maryland Office of People's Counsel

18
19 PAUL CENTOLELLA
Paul Centolella & Associates LLC

20 CARLOS COE
Millennium Energy

21
22 MEGHAN CONKLIN
Department of Energy

23 RICHARD COWART
Regulatory Assistance Project

24
25 KEVIN CULLIGAN
U.S. Environmental Protection Agency

26

1 PARTICIPANTS (CONT'D):

2 PHYLLIS CURRIE
Pasadena Water and Power

3 LIZ DALTON
4 Department of Energy

5 DEREK DE BANDERA
Midcontinent Independent System Operator

6 RACHEL FINAN
7 ICF International

8 EMILY FISHER
Edison Electric Institute

9 CLARK GELLINGS
10 Electric Power Research Institute (EPRI)

11 VINSON HELLWIG
Michigan Agency for Energy

12 HONORABLE PATRICIA HOFFMAN
13 Department of Energy

14 CYNTHIA HSU
House Community Science, Space and Technology

15 PATRICK HUGHES
16 National Electrical Manufactures Association

17 PAUL HUDSON
Stratus Energy Group

18 MARK LAUBY
19 North American Electric Reliability Corporation

20 JANICE LIN
California Energy Storage Alliance, Strategen
21 Consulting, Inc.

22 MAUREEN MALLOY
ICF International

23 ELI MASSEY
24 Department of Energy

25 DAVID MEYER
Department of Energy

26

1 PARTICIPANTS (CONT'D):

2 GRANGER MORGAN
Carnegie Mellon, Engineering & Public Policy

3

4 JEFF MORRIS
Washington State House of Representatives

5 JOSEPH PALADINO
Department of Energy

6

7 MARY ELLEN PARAVALOS
National Grid

8

9 SONNY POPOWSKY
EAC Vice Chair

10 ANNE PRAMAGGIORE
Commonwealth Edison

11 WANDA REDER
S&C Electric Company; IEEE

12

13 PAUL ROBERTI
Rhode Island Public Utilities Commission

14 MATT ROSENBAUM
Department of Energy

15

16 HEATHER SANDERS
California Independent System Operator

17 JOHN SHELK
Electric Power Supply Association

18

19 CHRIS SHELTON
AES Energy Storage

20 RAMTEEN SIOSHANSI
Ohio State University

21

22 SAMIR SUCCAR
ICF International

23

24 ERIK TAKAYESU
Southern California Edison

25 ROY THILLY
Independent

26

1 PARTICIPANTS (CONT'D):

2 SUSAN TIERNEY
Analysis Group

3 DAVID TILL
4 Tennessee Valley Authority

5 GORDON VAN WELIE
Independent System Operator of New England

6 ANDREA WAGNER
7 ICF International

8 REBECCA WAGNER
Nevada Public Utilities Commission

9

10

* * * * *

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1 P R O C E E D I N G S

2 (8:05 a.m.)

3 CHAIRMAN COWART: Good morning, everybody. I
4 think we should begin. Please take your seats.5 Thank you. Once again, let me begin by reminding
6 people that a transcript is being prepared and that when you
7 speak, you should speak into a microphone. And it's also
8 very good to eliminate feedback if you're not speaking, to
9 turn your microphone off.10 If there are any members of the public who wish
11 to address the committee, please be sure to sign up so we can
12 plan for that at the end of today's session.13 I'd like to begin with just a couple of
14 announcements. It's hard to decide which is more important,
15 but -- I say that jokingly. First, we're happy to give you
16 some news about further changes in the leadership of the
17 committee due to the pending retirements of Wanda and Gordon
18 van Welie, who are also terming out as chair and vice chair
19 of the Smart Grid Subcommittee. We are pleased to announce
20 that Paul Centotella will become chair of that subcommittee
21 and Marilyn Brown will serve as co-chair with him. And you
22 can see they're already organizing their agenda together.23 And the second announcement is just simply to
24 thank our support staff for bringing the coffee this morning.

1 (Applause) See what I mean about which is more important of
2 these two? (Laughter) In order to have coffee on the first
3 day next time, it would be good if we took up a small
4 collection, when you have a chance this morning, to hand \$5
5 or something like that. Please do that and that way we don't
6 have to wait until day 2 to actually have coffee in this room.

7 This morning we're going to be discussing in some
8 depth the proposed Clean Power Plan that has been unfolding
9 in the United States in order to moderate carbon emissions
10 from the power sector, obviously raising quite a number of
11 economic, environmental, and potentially power system
12 operations, challenges. And we're going to have two panels.
13 The first one is being led by Sue Tierney, who is jumping right
14 into her role on this committee. And I'll just turn it over
15 to you, Sue.

16 MS. TIERNEY: That's great, and maybe I will ask
17 the panelists to come up to the table. Since this is my first
18 time actually working with you in a presentation mode, I don't
19 really know the style, so come on up, you guys. Let's go.
20 I have to say that Rich knew I would be a sucker for saying
21 yes if he asked me to get involved on this particular topic.
22 I probably am spending about 80 percent of my time on this
23 topic at the moment and feel like it's very important for the
24 nation and the world's future outcome that the United States

1 is moving toward reducing its greenhouse gas emissions.

2 I had the pleasure of doing some writing on this
3 topic, on reliability, the markets issues. I was a declarant
4 in the first set of lawsuits that have already been filed
5 since the final rule was passed in August. And I was happily
6 on the winning side of that one, which said you can't file
7 for an appeal before it actually gets published in the Federal
8 Register.

9 So, as I say, I'm really interested in this and
10 I think that the two panels today are going to be looking at
11 the Clean Power Plan from really interesting and different
12 lenses. Ours is going to be looking at it through the lens
13 of how does the electric system and its embedded
14 infrastructure, and going forward infrastructure, interact
15 with the Clean Power Plan, and to understand that we have a
16 panel who's going to go through some of the pieces of the Clean
17 Power Plan, so we can have some predicates and make sure that
18 we are grounded.

19 Is there anyone in the room who has not read the
20 1,700 pages, for example? I figure that's true, but you
21 probably have read some condensed versions. And so we still
22 will give you some high-level summary starting points and
23 then try to dig into some of the delivery issues, your
24 liability issues, the planning issues that are going forward.

1 And then the later panel will be looking at
2 compliance options. The EPA final rule provides a
3 tremendous amount of flexibility and optionality for states
4 in terms of how they choose to comply and whether they do want
5 to interact with other states -- either neighboring states
6 or noncontiguous states -- in trading regimes or not. So
7 we're going to hear about those kinds of things later on.
8 Probably there's not neat interactions between these two
9 panels and if there's some sloppiness that overlaps, I'm sure
10 that you'll go with that.

11 So my job is simply to tee up this fantastic panel
12 and I thank them in advance. And I'm going to introduce them
13 to you by -- let's see, how do you do this? You push a button?
14 Which button? Who wants to help me with --

15 SPEAKER: (inaudible).

16 MS. TIERNEY: Where do I have to point it?

17 SPEAKER: Oh, use the keyboard.

18 SPEAKER: Use the keyboard.

19 MS. TIERNEY: Oh, the keyboard. What a concept.

20 Thank you very much. I can do that.

21 So you all know that the Clean Power Plan is the
22 program under the Clean Air Act to address existing power
23 plant's emissions of CO₂. The reason I start with this
24 picture is that the emissions of CO₂ from the U.S. power

1 sector represent one-fifteenth of every emission of
2 greenhouse gases around the world, from all sectors, from all
3 countries. This is a big, important amount of emissions
4 reductions and is important not only for our own ability to
5 address our carbon footprint having been the largest
6 cumulative emitter of greenhouse gases amongst the world's,
7 but also because it helps us not with -- let's see -- it helps
8 us address -- oh, excuse me, let's get Eric off of there for
9 a moment -- it helps us bring other countries like China along
10 to the program.

11 And, of course, that's been enabled in the past
12 year through a set of discussions. So the Clean Power Plan,
13 of course, is addressing this particular system. And I put
14 up the transmission infrastructure because, of course,
15 that's key for assuring that whatever states decide to
16 do -- and then owners of affected generating units decide to
17 do -- is enabled or challenged by this particular picture of
18 the nation's infrastructure.

19 Plus, I think it looks really cool. So I had to
20 start that way. The panelists are actually from different
21 parts of this map. And so I'm going to introduce them and
22 I think I'm actually introducing them in opposite order of
23 the way that the panel is talking.

24 First, Erik Takeyesu -- long a for the e -- is

1 here from Southern California Edison. And this particular
2 spot on the map is important, as we know, in part because
3 California has taken pretty bold steps to address greenhouse
4 gas emissions from its power sector and from the economy.
5 But also because of the ongoing relationship of the California
6 market to the West-wide energy imbalance market and the fact
7 that there are resources around that Western interconnection
8 that will provide further enablers of those state's ability
9 to comply with the Clean Power Plan.

10 And, of course, California has done a number of
11 studies that look at the implications of deep penetration of
12 renewables and intermittent resources on the grid. If Erik
13 were wearing a duck curve hat he would be doing us all a favor
14 because we all know that they've been looking at the
15 implications for ramping of the system are challenges,
16 challenges that certainly can be overcome, in part, by just
17 turning off the renewable supply. But that won't
18 necessarily be a solution going forward that actually allows
19 a lower carbon footprint. So Erik's going to give us his
20 vantage point.

21 From the other side of the coast, Mary Ellen
22 Paravalos from National Grid is here. Mary Ellen is in
23 charge of the transmission part of National Grid. National
24 Grid's footprint not only is across the pond in England, in

1 the U.K., but also in the New York/New England area as both
2 a gas and an electric supplier and is part of an organized
3 market where the region is part of a nine-state cap-and-trade
4 program for greenhouse gas emissions. So, a different
5 vantage point that we're going to hear about, system
6 interactions with the plan.

7 David Boyd is here from the mid-continent ISO,
8 which has its own different profile. Of course, the heavy
9 concentration of coal-fired power plants in the neck of the
10 woods makes this an interesting challenge. There, as well
11 as in the South and in PJM, same kinds of issues -- an
12 organized market that stretches across states that are
13 vertically integrated utilities, with a variety of other
14 power plant owners. So we have a different profile there to
15 hear about the system interactions.

16 And then Mark Lauby from NERC is the whole
17 shebang. You get to look at the whole profile and, of course,
18 I covered Canada up there, too. Mark is going to start the
19 presentations because of the kinds of analytic work that NERC
20 has been doing to look ahead, to think about resource adequacy
21 and systems operations issues. And he's going to start us
22 off and then we're going with David, Erik, and Mary Ellen.
23 Thanks.

24 MR. LAUBY:: Thank you, Susan. And I'm

1 delighted to be here today to chat a little bit about the Clean
2 Power Plan, from NERC's perspective. I don't know if this
3 is teed up? One thing you don't know about me is I had an
4 older brother. The good news about that was he was the one
5 who made all the mistakes and I just learned from him, so thank
6 you, Susan, for helping me get sorted out here. (Laughter)
7 It started with the arrows and everything else.

8 MS. TIERNEY: Don't touch that mouse.

9 MR. LAUBY:: Yeah, I got that. It's remote.
10 So, just real quickly, what we're seeing with regards to the
11 EPA plan, and I'm one of those who has not read all 1,700 pages
12 of it, but we have folks that have and so they looked at it
13 from a variety of different ways and just looked at some of
14 the EPA projections. So why this is important to NERC -- I
15 assume everybody knows who NERC is? Who doesn't know what
16 NERC is? Okay, I'm from NERC.

17 SPEAKER: NERC is (inaudible).

18 MR. LAUBY:: Yes, that's right. I'm from NERC
19 and I'm here to help. (Laughter) That happens every time,
20 Billy, I don't understand it. So, in any event, we care about
21 reliability and that's really what we care about mostly
22 around the bulk power system.

23 So, when we look at this transformation of
24 resources from where we are to where we're going, of course,

1 what's important to NERC is that the bulk power system remains
2 reliable. So we see this transformation of resource mix that
3 we're kind of heading down and, of course, that's interesting
4 to us because our bulk power system, generally, is
5 locationally developed. That is to say that where the
6 generating plants are, we build out a transmission system and
7 then we, from a central station perspective, then deliver
8 that to load. Now, that model's changing and has been
9 changing for some time. What we see with the Clean Power Plan
10 is that that change will be accelerated.

11 So just a quick overview. The Clean Power Plan
12 does set carbon dioxide emission performances for various
13 plants using what they call, "the best system of emission
14 reduction." And it's based on research, as well as other
15 applications that are out in the field already. They
16 identified three building blocks as opposed to four because
17 energy efficiency was rather put toward a credit approach,
18 and I've got a slide on that.

19 And then, of course, they translated the state
20 goal measured in both mass and rate based on their particular
21 mix of generating plants from 2012. This kind of lays out
22 the three building blocks and how EPA calculates and their
23 assumptions, and how they get to what they're expected
24 reduction on carbon is, both in improving the efficiency of

1 the power plants, shifting generation from higher emitting
2 electric generating units to natural gas and renewable plant
3 and, of course, shifting a lot of generation toward
4 renewables.

5 What we did see in this particular plan -- and
6 there was a lot of discussion when the original proposed rule
7 came out around a cliff, and we're not seeing that cliff
8 anymore. It's much more of a glide path and three specific
9 steps. I think that's helpful, as well, because based on our
10 original study work at NERC, we were concerned about all the
11 changes that need to happen before 2020, so this certainly
12 helps a great deal.

13 And, of course, here's the timeline, so you have
14 that in front of you as far as what has to be done in the first
15 year, 3 years from now, 7 years, and, of course, 15 years.
16 Basically, the goal is by 2030 to get to 32 percent reduction,
17 I believe, of 2007.

18 So, of course, there are a number of different
19 plans that can be developed by the states. They can have
20 their own specific plan. You'll hear it called SIP, or State
21 Implementation Plan. You can have a regional implementation
22 plan where multiple states work together. I don't know if
23 that's RIP or not? Anyway, and then there's the federal
24 implementation plan, which has not been proposed yet. It's

1 still, I think, going through the discussions on formation
2 at EPA.

3 And there's also trading mechanism available
4 now, so you can trade with other states. So mass states can
5 trade with other mass states or rate states can do the same
6 with others. And there also is a clean energy incentive
7 program. It's really trying to get early investment in wind
8 and solar power and also energy efficiency. And there's
9 allowances for the various states that work within that
10 particular incentive program.

11 That's pretty much what happened with energy
12 efficiency, which was in the proposal; it was that fourth
13 building block. So there was also some reliability
14 provisions. One, of course, is that each state has to
15 demonstrate in their final plan that they've considered
16 reliability issues and also there's mechanisms for states to
17 seek revisions. So, for example, you have a particular plan
18 in place and unexpected changes, I can't get a generating
19 plant in place for the next two or three years. Maybe I can't
20 get in the queue to buy a gas power plant or I maybe my load's
21 changed. And those of you in Texas or in North Dakota can
22 understand how that can happen real quickly, real
23 unexpectedly.

24 So there's an ability to revise those plans and

1 also there's a safety valve. And that's really just about
2 a short-term piece where unexpected events on your system,
3 you need some relief for a month or two, there's a mechanism
4 to get relief on that to maintain reliability.

5 This is hard to read, and I apologize for that,
6 but try to get 50 states on a X axis and you know what you've
7 run into. This is basically from a high-level perspective,
8 what changed between what as proposed in the original rule
9 and what the final numbers look like. And you'll see some
10 places, for example, like Texas where it was a little bit more
11 of an increase than the mass cap, and then in some states there
12 was actually reduction, like in Kentucky or in Missouri.

13 So, before I finish, this just gives you kind of
14 an overview of the plan itself. I did have a few things that
15 I would like to inform and also ask your thoughts on. As far
16 as what NERC is going to be doing going forward, of course,
17 we will be working with industry. We think it's extremely
18 important for the transition and we talk a lot about
19 micro-grids and renewables on the distribution system, and
20 all sorts of different types of technologies. The bulk power
21 system is, you might say, the Christmas tree that you put
22 these ornaments on.

23 It will be critical that the bulk power system
24 remains reliable during the transition, as well as into the

1 final end product. And what does that mean? It means that
2 we're going to get more and more generation, perhaps, on the
3 distribution system and we need to make sure that we can
4 balance that generation with load. And so that brings a host
5 of different things to at least consider when we're going
6 through this transformation. And I think it's critical that
7 we do this up front so that the bulk system remains reliable
8 and we get the most efficient end product.

9 And I think one key thing will be that we continue
10 to keep an eye on what is the essential reliability services
11 that generating plants provide us? I heard yesterday, we
12 were talking about certain percentages of margin. Let's say
13 10 percent or 15 percent, but that really doesn't mean as much
14 anymore. It's still an important metric, but we also need
15 to be concerned about frequency response, ability to respond
16 to events, voltage support. So those are the essential
17 reliability services that you can think of from a technical
18 perspective, and you heard John Underhill talk about that.

19 But then beyond that there's this whole idea of
20 what does the operator need to maintain reliability? And at
21 a minimum, certainly, to be able to observe what resources
22 are on the distribution system, to be able to dispatch that
23 generation when it's actually energized. For example, the
24 solar during the day or wind, et cetera. And then, of course,

1 control, the ability to be able to control, so we can balance
2 the generation, no matter what side of the line, if it's in
3 the distribution system or on the bulk power system.

4 So you're not just building a bunch of resources
5 on the bulk power system that perhaps is only there for
6 essential reliability services. So we think -- again, the
7 CPP accelerates this change. This is a change that has been
8 ongoing for some time, certainly now with cheaper gas,
9 renewables being more affordable, and, of course, state
10 mandates. But now if we see this acceleration, we need to
11 do it in a thoughtful way.

12 That, of course, then drives certain research and
13 development needs. Tools that we talked about yesterday, I
14 think, are going to be important for planners because one
15 thing I learned is if you don't plan something, it never
16 happens. If you don't plan to get to this meeting, you'll
17 never get here. So it's important that you make all
18 the -- now, of course, there's the planners and the operators
19 and they always argue with each other, so I'll hold that joke
20 back.

21 Then, also, we need to be able to evaluate the
22 coordination of controls. And the industry's working really
23 hard right now coordinating the relays and working with
24 others, their neighbors, to make sure that the controls and

1 relaying is all coordinated. We're going to be adding
2 another layer of control, both at the distribution and in the
3 bulk power system. It needs to remain coordinated.

4 How do we do that and how do we have these detailed
5 models that we may need to have, getting back to three phase
6 models, in some cases? And of course then, this whole idea
7 of how to restore and recover after events. I did talk about,
8 certainly, some of transient needs, like frequency response
9 and voltage, but also then we've had experience in
10 Germany -- you've got to make sure you stay coordinated with
11 your distribution generation and your bulk power system
12 generation, so more quickly can recover and restore. So
13 those are areas that perhaps we need to think about from an
14 R&D perspective.

15 NERC is going to continue to have two particular
16 reports coming out. One will be a kind of dos and don'ts for
17 states, so that when states think about adding certain types
18 and certain amounts of renewable energy, for example, what
19 they need to consider. What interconnection agreements are
20 needed, for example? These are jurisdictional issues.
21 NERC does not have any role, per se, in the states, but we
22 want to make sure that we get some advice out on what kinds
23 of things they should be putting in those interconnection
24 agreements and things to consider.

1 And then, of course, we're going to assess a
2 number of different key scenarios around these assumptions,
3 probably about the first or second quarter of next year, so
4 we can identify some of the things that industry needs to keep
5 an eye on when they go through this transformation.

6 So with that I'm finished. And I want to thank
7 you all and look forward to your questions.

8 MR. BOYD: Good morning, everyone. As probably
9 the newest kid on the block in a new role, a recovering
10 regulator -- I used to say I was a recovering academic; I'm
11 always recovering from something -- and can't help but think
12 that when Sue was saying "sloppy," she was looking at me, so
13 I will hopefully stay a little bit focused today and give you
14 some insight into what we're doing and thinking about at MISO
15 right now with respect to the Clean Power Plan.

16 Mostly thinking about how we're doing analytical
17 work to try and be supportive of our states as they find an
18 optimum compliance strategy. I think it's fair to say we all
19 could find compliance strategies, the question is, are they
20 effective? Are they efficient? Do they preserve the value
21 that's built into the current system? Do we maintain the
22 reliability of the system? And I think that's where we're
23 focused.

24 Perhaps, first, just a reminder that the Clean

1 Power Plan's not coming up in isolation. The system's
2 already absorbing a series of initiatives and so this is a
3 bit of jigsaw puzzle where we're trying to make sure these
4 oddly shaped pieces fit together, that we don't undo some of
5 the good things we've done already with MATS and with other
6 rules.

7 And so, while we don't take a policy position on
8 these types of EPA initiatives, our goal in doing our analysis
9 is to make sure that we're responsibly complying with the rule
10 and helping our stakeholders find the best path forward. We
11 are interested in compliance solutions that meet the
12 regulation, but maintain reliability and value inside the
13 system.

14 So this rule will certainly have lots of
15 wide- ranging impacts on the generation system. Gas and
16 electric infrastructure most certainly will be altered.
17 There's a potential for reliability impacts. Obviously lots
18 of folks are worried about the reliability issue and for us,
19 again, the economic dispatch piece of this is very important.
20 How can we encourage compliance that maintains the current
21 economically driven dispatch scheme, which is the
22 cornerstone of the value to the tune of billions of dollars
23 a year that organized markets bring to their customers?

24 We certainly think that we have a role in

1 informing policymakers, asset owners, state regulators,
2 economic and error regulators. And the goal, again, is to
3 enable a reliable and efficient implementation scheme. The
4 work we've done started a year or year and a half ago, trying
5 to analyze the draft rule, and it continues today as we begin
6 to scope analytical information that we think will be
7 valuable to our stakeholders moving forward.

8 Again, we're trying to look for a way to be
9 supportive. It's an interesting relationship. Someone has
10 to ask us to come into the room, to a certain extent. We don't
11 go out and lobby, we don't grab our error or economic
12 regulators by the ear and tell them this is what they should
13 do. It's not our role. But when our regulators come to us,
14 we certainly try to be informative.

15 And we've done outreach in many different manners
16 so far: One-on-one with states, we've worked on some
17 webinars, particularly to our error regulator friends to help
18 them better understand what it is we do as an RTO, what
19 economic dispatch means, and what peril there could be in a
20 less than optimally configured solution to the Clean Power
21 Plan.

22 This is a busy slide with just a few of the changes
23 from the proposed rule to the final rule, and some have
24 already been mentioned. The methodology changes the final

1 compliance obligation for states and, in the case of MISO,
2 about half of our states have more stringent targets and about
3 half have less stringent targets.

4 There's a series of outcomes in the middle of this
5 slide that we think were helpful changes, that made
6 compliance easier: Changing the interim compliance period,
7 allowing states more time to put together their compliance
8 plans, things that we hope will enable multistate trading, or
9 at least serious consideration of multistate trading. The
10 safety valve issue that came up previously and the expression
11 of obligations in both rate and mass form are all things that
12 I think we believe made the rule better, made the rule easier
13 to comply with.

14 This is a timeline of some of the analytical work
15 we've been doing. The first two chevrons on the left
16 represent work we did on the proposed rule. We did work here
17 with a new modeling tool for MISO 1, which would allow us to
18 look at both gas and electric infrastructure iteratively,
19 looking for an optimal solution as more gas comes on to our
20 system. We are a coal-heavy system. Those changes, as was
21 noted before, have already started.

22 The low cost of gas was creating incentives for
23 moving from coal to gas generation. But in the case of MISO,
24 through MATS, we believed we had sufficient pipeline capacity

1 to handle the change from coal to gas. With the Clean Power
2 Plan, that question is up in the air again and it was necessary
3 to look at the cooptimization financially of infrastructure,
4 both on the generation and the fuel supply side.

5 The third chevron is the analysis of the final
6 rule, which is just beginning. We think we have a proposal
7 for how to move forward. I'll mention that in a moment.

8 And then the last one would be modeling we do once
9 we receive state plans, to begin to analyze the impact of what
10 the states have elected to do as the move into their
11 compliance.

12 There were a few lessons learned from our work
13 on the draft rule. It's pretty clear, and I think all the
14 RTOs have come to the same conclusion, that compliance on a
15 broader than single state basis is more economical. A
16 regional compliance plan, in our case the numbers were
17 something in the range of 4- to \$11 billion over 20 years of
18 savings. That's money on the table that we hope we will be
19 mindful of if we can do this in a regional method or a more
20 cooperative method of compliance as opposed to single state
21 compliance.

22 There will be, it would seem from the draft rule,
23 a very significant build-out of the transmission system to
24 accommodate the new resources, not just counting the

1 megawatts and the reserve margins, but the location of
2 resources and also some gas build-out, as well. Dispatch
3 could be effected, again depending on how we choose to
4 monetize CO2. We continue to believe that finding a way to
5 monetize CO2 and build that value into the dispatch price is
6 a way that most transparently and clearly maintains the
7 economic dispatch of the system and preserves the system as
8 we have it right now.

9 So, in terms of the going forward modeling, what
10 we've proposed to our stakeholders -- and it really is just
11 a proposal at this point -- is to look at footprint-wide
12 compliance and state-by-state compliance in three scenarios.
13 One would be using the proposed federal plan as a platform.
14 It's something that I think MISO will come to be considering
15 business as usual as we move forward in our other transmission
16 expansion work over time.

17 And then the other two plans would be bookends,
18 if you will. One where, for whatever reason, the
19 implementation of the Clean Power Plan is slowed or delayed,
20 a half-compliance -- half of the mandated carbon reductions
21 are achieved inside the timeframe and vision, whether that's
22 technical reasons, legal reasons, it doesn't matter. It's
23 a bookend of half-compliance.

24 And the other bookend would be going beyond the

1 Clean Power Plan to an 80 percent carbon reduction and we
2 think by looking at those three scenarios as a starting point,
3 we can begin to have a good dialogue about options, pros and
4 cons of the system, as we move forward.

5 I probably covered this. We certainly think
6 that we've found a good tool to do our work. Part of the early
7 modeling was proof of concept with this modeling tool. It
8 seems to have performed well for, again, thinking about gas
9 and electric infrastructure in a more systematic way. And
10 then we've also discovered that doing these studies
11 cooperatively with our stakeholders in something of a
12 measured, step-wise process is important.

13 And then, lastly, the question of rate and mass
14 seems to us to be a very significant one. The EPA has
15 presented both options, equivalent methods of achieving
16 compliance through a rate-based or a mass-based compliance
17 tool. We think that states will make choices based on their
18 perception of the opportunity for economic development under
19 one scenario or the other. We certainly believe that
20 economic growth can be accomplished in both scenarios, but
21 we do know that there are some states that are leaning towards
22 a rate-based approach simply because of that growth
23 opportunity.

24 It's not clear to us yet how we can readily

1 monetize carbon in that rate approach. That's one of the
2 things we're working on now. It's intriguing to think that
3 there might be a way to translate the two, English and
4 metric -- kilometers and miles -- that there may be an
5 economic way to translate the two systems. Most smart people
6 say that can't be done, but, of course, that won't stop us
7 from trying to see if we can find such a relationship.

8 Clearly, if we could achieve that kind of a
9 translation, then it won't matter from an economic dispatch
10 standpoint what path states go on. And at the end of the day,
11 we feel it's our job to be prepared to assist our regulators
12 and our stakeholders in trying to look for that best
13 compliance option, and that's our task going forward.

14 So, with that I think I'll stop. Get out of the
15 way and I thank you for the opportunity to be here.

16 MR. TAKEYESU: Good morning. While that's
17 getting set up, I want to thank the committee for the
18 opportunity to represent Southern California Edison. I'll
19 talk a little bit about the things that are going on in
20 California. As Sue mentioned this morning, there are a
21 number of things going on.

22 California has been pretty aggressive about
23 climate change, starting with AB32, our Global Warming Act,
24 California's cap and trade. We're facing, or preparing for,

1 50 percent RPS. And we have the California Distribution
2 Resource Plan and all the host of different things that are
3 going on, so what I'd like to do and focus in on this
4 presentation is a little bit about the impact to the electric
5 system -- the power grid -- and some of the work that we have
6 done to prepare for that.

7 So, a little bit about Southern California
8 Edison's service territory. Our service territory is about
9 50,000 square miles. We have about 4.8 million meter
10 customers. The peak demand in the system is just over 23,000
11 megawatts -- 23,300 -- which we experienced back in 2007, and
12 we haven't seen that level of peak demand up to this point.
13 Demand has essentially flattened due to a number of factors,
14 one of which is the economy, the other of which is going more
15 and more towards renewable technologies on the distribution
16 system.

17 So one of the things that we did probably started
18 in about 2011, it was to look at the impact of more distributor
19 resources that would come into our service territory and how
20 we can look at the power grid and understand some of the
21 challenges with respect to the technical side, as well as
22 cost.

23 So we looked at where the trend was, where people
24 were applying for generation interconnection. And most of

1 which that we found was that people were applying out in the
2 rural areas where land is cheap. Now, in Edison service
3 territory about 75 to 80 percent of our load is located in
4 about 25 percent of our service territory, so it's really
5 restricted along the coast. So the bulk power transmission
6 system is really intended to bring power from -- you know,
7 import power -- across the Western interconnect into the load
8 center.

9 So when you think about added renewables into the
10 more rural parts of our system, you really begin to think
11 about what the impact is on lines that may already have
12 congestion due to generation imports that we're already
13 dealing with. So what we found out, from a cost standpoint,
14 the integration cost to connect more generation in the rule
15 system was over two times the cost that it would be to go into
16 the urban. Now, that's really looking at it from a grid
17 perspective, but it does give us some idea from a distributor
18 resource standpoint what some of our policy positions could
19 be, particularly as you look at the California Distribution
20 Resources Plan.

21 Now, location matters, as we saw on the previous
22 chart. And even when we get to the distribution system, very
23 granular locations begin to matter even more. So one of the
24 analysis pieces that we did for the Resources Plan was to

1 characterize the distribution system by modeling a
2 representative sample of our feeder.

3 So we took 30 feeders that represented a full
4 population of about 4,600 distribution feeders across the SCE
5 system. And we looked at what the integration hosting
6 capacity limits were based on limitation for thermal
7 protection and voltage limitations. And, really, the
8 findings are relatively simple. It had to do with the
9 voltage levels that we were applying the distributed
10 generation over, whether they were clustered, whether they
11 were spread out, and the distance of the generators from the
12 substation.

13 So that, from a static system perspective, is
14 interesting because it does give us a clue in terms of what
15 the theoretical ability is for a system to bring in more
16 distributor resources. However -- and as we'll get into more
17 later -- the distribution system particularly is very
18 dynamic. So, from a control perspective and a design
19 perspective, how do you deal with a system that is constantly
20 changing for a number of different reasons?

21 Now, I do want to talk a little bit about the
22 Distribution Resources Plan and the stakeholder working
23 group that is currently still working on aspects of DRP moving
24 forward. So some of you might have heard about the More Than

1 Smart stakeholder working group. It's a pretty good mix of
2 different representation, representative folks, including
3 utilities, advocates, vendors, technology folks, and so
4 really coming together to talk about collaboratively what we
5 can imagine the grid to be. And how does that inform our
6 efforts around the DRP and to what level of areas do we agree
7 or disagree?

8 So one of the things that we did to begin to
9 converge on is what are the instincts of the grid? Think
10 about the grid 30, 40, or 50 years from now, how could you
11 characterize that? So we began to look at this as an entire
12 system. So there were basically four states that were talked
13 about.

14 One is, does a grid just become a giant battery
15 and as a backup? Do we handle the grid in a current
16 trajectory, business as usual, just study interconnections
17 as they come along? Are we really more of an interactive grid
18 where the distribution system is a platform for more
19 resources? Or do we begin to move towards an evolution where
20 multiple utilities begin to leverage one another, sort of
21 similar to the energy-water nexus?

22 So the current consensus is really around a more
23 interactive grid where the distribution system becomes a
24 platform, but as you move from the back-p up to this

1 interactive grid, to convergence, the value of the grid
2 begins to increase. But it does bring about some
3 considerations and some of that was already talked about this
4 morning already.

5 In terms of the long-term balancing of supply and
6 demand between the distribution system and the transmission,
7 how do we forecast these needs going forward into the future?
8 And what are the design changes that are needed from an
9 overall systems perspective and, really, to the degree that
10 you could depend and increase the dependability and
11 availability of these resources?

12 So we then think about what does the modernized
13 grid begin to look like and what are some of the capabilities
14 that the grid needs to have? And we will continue to talk
15 about the ability to monitor, anticipate the actions of
16 resources in the power system, and to the level of degree that
17 we can control them.

18 But it really boils down, from Edison's
19 perspective, into three major categories. One is, what are
20 the assets on the grid that need to evolve to have a higher
21 degree of situational awareness and visibility to these
22 resources? What are the communications and
23 interoperability requirements that are needed? And what are
24 the essential IT platforms that have to be developed?

1 So if we talk about what the operators need to
2 do, what are the systems that we need to begin to work? And
3 what are the data requirements that are going to be needed
4 and, really, the visualization tools?

5 I think that when we look at the operator systems
6 today, there's a pretty big gap between where we are and where
7 we think we need to go. But it's going to be enabled then
8 by the workforce strategy, so at Edison we're thinking about
9 what does that workforce of the system need to look like? And
10 what are all the different processes? So it's not really
11 just a pure technical problem to solve, there's inherent
12 people and process issues that also have to be addresses
13 simultaneously.

14 So what I want to end with is opportunities to
15 further explore and I think these are opportunities for a
16 number of different folks, including the Department of
17 Energy. One is that there needs to be a modernization of the
18 planning methodologies and the forecasting tools that are
19 needed between the distribution and transmission systems, so
20 when we think about how we plan today and the amount of data
21 that's needed to make our playing decisions.

22 Two, a world where we need a lot more granularity,
23 maybe looking at 87-60 profiles and how combinations of
24 DER -- distributor resources -- can work together to fulfill

1 a gap. Those are some of the higher level goals that need
2 to be considered in terms of modernizing the planning
3 process. And that's going to bring about the need for new
4 metrics. So today we have metrics of SAIDI/SAIFI. Do we
5 need more metrics? Do we need ones around resiliency and
6 really environmental benefits associated with more renewable
7 resources? The optimization of portfolios for distributed
8 energy resources? And how do we evaluate, measure, and
9 verify that those resources are acting in a way that is needed
10 across the 24-hour, seasonal, and annual spectrum of needs
11 that we have across the power system?

12 I think the architecture around data still needs
13 a lot of development for automation technologies and control
14 systems, and particularly around the new grid management
15 systems that need to be designed. And protection? Do we get
16 to a point where, when we move towards a higher level of
17 dependency on inverter-based systems, how do our protection
18 philosophies and coordination strategies, how do they need
19 a change?

20 High-speed communication requirements for not
21 just the field are networks on distribution, but how can we
22 leverage high-speed communications to get into more complex
23 protection schemes on the transmission systems, such as
24 central remedial action schemes? At SCE, we have a large and

1 increasing number of RAS schemes that are getting more and
2 more complex, some as much as 700 steps on the logic
3 programming. So we need to think about how can we simplify
4 that through a more centralized remedial scheme that takes
5 advantage of high-speed communications across substations?

6 Design standards, how do we size equipment?
7 When we started looking at electric vehicle penetration, we
8 began to realize that the loading profiles of our
9 transformers were changing and that we needed to, in essence,
10 begin to de-rate some of our transformers because they no
11 longer had the same cooling abilities in the evening as they
12 did prior. So when we think about that across the power
13 system, looking at portfolios, flattening the low profiles,
14 what does that mean in terms of design standard changes?

15 And then, lastly, the workforce of the future,
16 what are the skills, knowledge, and training that's needed
17 that companies are going to have to prepare for?

18 S, with that I look forward to questions and I'll
19 go ahead and pass it over to Mary. Thank you.

20 MS. PARAVALOS: Thank you. Good morning,
21 everyone. First of all, I want to start off by saying thank
22 you very much for having me. It is a great opportunity to
23 be able to be here and share ideas and thoughts on a clean
24 energy transformation with this group of folks. So thanks

1 very much.

2 I do want to share thoughts around clean energy
3 transformation efforts that are happening in the Northeast.
4 I'll put that in context for you as relates to the Clean Power
5 Plan because there's a few other dynamics that are really
6 driving what's happening in the Northeast, as well, and
7 really give you some thoughts on how DOE can support efforts
8 as regions go through their clean energy transformations,
9 really, across the country.

10 So the Clean Power Plan, we had a summary of it
11 with Mark earlier. It supports market-based solutions. It
12 has flexibility. It gives states flexibility in how they're
13 going to comply, so a good mechanism. We're supportive of
14 the Clean Power Plan. We've worked a lot with stakeholders
15 in the Northeast and will continue as we comply with the Clean
16 Power Plan and also push through additional measures that
17 we're taking in the Northeast towards a greener future.

18 The Northeast region, and I'm particularly
19 talking about New England and New York, where most of my
20 experience is, but we're very well positioned to comply with
21 the Clean Power Plan goals and, actually, beyond those, too.
22 And I'll show you some data in a minute.

23 A lot feeds into that, particularly around some
24 aggressive and strong commitment to green goals by the states

1 and programs around renewable procurement standards. Very
2 aggressive and effective energy efficiency measures we've
3 put in place as regions and the incorporation of more demand
4 response. All these things are really helping to reduce our
5 carbon emissions.

6 We also have RGGI, the Regional Greenhouse Gas
7 Initiative, cap-and-trade emissions program for the electric
8 generation sector. It's in place, it's been operating for
9 several years, and it is a ready mechanism that we've already
10 been using to track and drive down greenhouse gas emissions
11 in the electric generation sector, and expect we would
12 continue to leverage that mechanism into the future.

13 So this will illustrate to you why we are in good
14 shape. So, on the left is New England, with Massachusetts
15 being a bit of an example offshoot and New York over to the
16 right, and these are electric sector carbon emissions. And
17 so the first two bars on each of the graphs shows you where
18 we were in 1990 and where we were in 2013. And so you can
19 see that we've reduced emissions 35 percent in New England
20 over that time period, more than 50 percent in New York, and
21 the yellow bar is our target for RGGI mechanism that I
22 mentioned.

23 And the last bar is the Clean Power Plan target
24 for 2030. The yellow bar for RGGI is actually a 2020 target,

1 so you can see that we are, as a region, on trajectories to
2 be, certainly, in the neighborhood of the Clean Power Plan
3 targets for 2030. Probably sooner, 2020, if all goes well.
4 And, really, the dialogue, I think, for the Northeast is let's
5 get to the 2020 levels as we are planning to do and, really,
6 what will be beyond that? So we can expect in the Northeast
7 that based on history that we would want to even push those
8 down further and actually drive those RGGI targets down
9 further.

10 We expect that RGGI will be a mechanism for Clean
11 Power Plan compliance. RGGI has a benefit also of funding
12 energy efficiency and renewable projects, so about a billion
13 dollars of revenues were generated through the RGGI mechanism
14 over 2012 to 2014, and those dollars get put back into the
15 states. Much of it is funding things like energy efficiency
16 and local renewable projects, so really it's kind of a
17 self-enforcing or reinforcing mechanism that this system
18 bring to the region.

19 So one of the main points I want to emphasize is
20 that regardless of the specific policy programs or there's
21 sort of RPS programs or the RGGI mechanism or the Clean Power
22 Plan that the Northeast, as we are going through our clean
23 energy transformation and driving to levels that are even
24 below what you see here on the graph, that we are and will

1 be facing similar impacts to the rest of the country. The
2 details will look a little different, but generally we're
3 going to have the same kind of drivers and the same sorts of
4 impacts that we're going to need help and really work together
5 to get through.

6 Some of the big drivers for the Northeast, one,
7 natural gas demand, particularly in the electric gas
8 generation sector is growing, so Mark had shown a number, I
9 think, showing a projection of 33 percent gas in 2030 for I
10 think it was probably a national view. We are already sort
11 of at the 50 percent level and climbing in the Northeast, so
12 that's a big deal, a big change, a continuing trend for us,
13 I should say. And that's on top of already the gas demand,
14 use for home heating, space heating, oil-to-gas conversions,
15 a lot of demand and attention on gas in the Northeast, so a
16 big driver for us.

17 Another is around renewables interconnecting and
18 integration. So we certainly have -- I think it's really a
19 growing trend. The potential for much more renewables is
20 very big in the Northeast, onshore and offshore wind, the PV
21 in particular, all these things are big drivers and you hear
22 about them also impacting the rest of the country.

23 Generation retirements. From a system planning
24 perspective, boy, if a generator retires or tells you they're

1 going to retire, that instantly can really create a lot of
2 reliability concerns. I mean, there are some generators,
3 very few, that can retire and not cause Gordon and others
4 heartburn, but most of them do because they create sort of
5 an instant reliability reinforcement need in that area, one
6 that takes planning to manage. And so that's a big driver
7 for us and certainly will be for many other parts of the
8 country.

9 And distributed resources, I mentioned solar PV,
10 really a growing trend in the Northeast. Massachusetts has
11 900 megawatts of solar already, leading up to a target in the
12 next few years of 1,600. It's really, as a transmission and
13 distribution owner and operator, really impacting what we're
14 seeing on the distribution system; beginning to impact even
15 what see as needs on the transmission system, so definitely
16 a growing trend.

17 So all of those will sound familiar because we
18 are like other parts of the country where those are really
19 big drivers. And so this is really going to cumulatively be
20 very important that we are understanding and managing and
21 planning for these impacts. There will be physical system
22 impacts. There have been and there will be more arising from
23 changing generation and load patterns. Really we'll have
24 the potential for reliability impacts. Absolutely we'll

1 have big cost or affordability implications, achievability
2 in actually meeting the targets in the time frame. And some
3 of these are sort of tradeoffs of one another that we really
4 need to understand and manage, make sure we're not
5 inadvertently trading something off for something else.

6 And we will need infrastructure improvements,
7 more grid capabilities, and Erik talked a lot about those,
8 and technology deployments. These are going to be really
9 important enablers to achieving, again, the reliability, the
10 affordability, the achievability of these goals.

11 So a couple of ideas on DOE's role. So, first
12 of all, DOE, I think, has a great -- is in a great position
13 to be a big driver of the dialogue and the landscape and the
14 policy landscape around this whole area and how we do through
15 this transformation. So I think there's a great continued
16 role for DOE, an opportunity there.

17 A couple of specific thoughts. One is around a
18 focus and support for the electric transmission role and the
19 improvements that are going to be needed. I heard several
20 references to it on this panel. When I'm out and about, I
21 don't always hear a ton of references to it. I think a lot
22 of the attention of folks, rightly so, is in the huge step
23 changes that are happening on the distribution systems. But
24 these changes will enabled or not, I think, by maintaining

1 a reliable transmission system. And so I think there is
2 definitely an opportunity to be talking about the role that
3 the transmission system delivers and building an
4 understanding and support for when we do need to make
5 improvements to that system.

6 From experience, when we go in and talk to
7 communities or regulators or stakeholders about the need to
8 upgrade a substation or put in a new line and we tell them
9 about the reliability benefits and it will reduce your
10 overall bill and, oh, by the way, more flexibility for a clean
11 energy solution, they don't say, oh, goody.

12 (Laughter) They tend to say the opposite.
13 And it is such an important driver of a
14 piece of this transformation that I think
15 there is a great role for this committee
16 and DOE to be helping to paint that sort
17 of broader picture from a national
18 perspective for states and regions as we,
19 utilities and others, go about the
20 business and hard work of putting in
21 infrastructure improvements when they're
22 needed, whether that's within states,
23 between regions, between
24 interconnections, between countries. I

1 think all of this is on the table for the
2 kind of scale of change across the country
3 that we are going forth and will achieve.

4 The second one is around modeling. And DOE, I
5 think, is in a great position to kind of conduct or sponsor
6 modeling that enhances our collective understanding of the
7 national picture of impacts and interactions as we go through
8 our clean energy transformations. Again, the elements of
9 reliability, cost and affordability, achievability, are all
10 angles that I think need to be understood in total.

11 I was involved in the Eastern Interconnection
12 Planning Collaborative with some other folks in the room, as
13 well. So I was sort of thinking, well, maybe this is kind
14 of like an evolution of that or a restructuring of that to
15 really fit this purpose. But it just strikes me that the
16 understanding and management and planning aspect is critical
17 here. And it's not just a state-by-state view. It's not
18 even just a region-by-region view. There has to be kind of
19 that national view, too, and I think DOE's in a great position
20 to help with that.

21 And then lastly, DOE programs to advance
22 technology development, particularly the ones that are
23 really important to the clean energy transformation, I think
24 Erik had a super list that he put up. Lots of good stuff in

1 the Quadrennial Technology Review, as well. And so a
2 continued focus on those areas will be absolutely critical
3 because we will need these kinds of technology advancements
4 and deployments.

5 And also, a focus, I would suggest, on using
6 utilities as sooner test bed sites for technology development
7 and deployment. We already do these on some scale. I think
8 DOE focused on really helping the technology vendors and the
9 utilities marry up, deploy, test -- test and deploy sooner
10 on systems will be helpful to accelerating those changes. So
11 what DOE can do to kind of shine that spotlight and continue
12 to encourage those types of marriages I think will be a good
13 idea.

14 So those are my thoughts and ideas for the
15 committee. I hope they're helpful and I look forward to
16 questions and discussion.

17 MS. TIERNEY: Thank you to the four of you. That
18 was terrific and it was nice to hear about the macro issues
19 and then some concrete things that were suggestions about
20 what DOE might do, so that was great.

21 In the next 20 minutes or so, next 15 minutes,
22 I'm going to start with a couple of questions to the panelists
23 and then after that, please start getting some other
24 questions or comments that you'd like to share, so that we

1 can spend some time on that. My questions are going to
2 be -- I'm trying to make them all different, so that we can
3 get a couple of themes on there.

4 Let me start with one that occurred to me as I
5 was listening to Erik's description of the topology of the
6 Southern California Edison system, where so much of the load
7 is remote from where the resources are being developed. And
8 you described that as a situation within your own utility
9 footprint.

10 And then we can think about a similar situation
11 within a state, where you've got the same situation. New
12 York, upstate, downstate, really different considerations,
13 and how planning and reliability and operational issues
14 intersect with clean power planning, I think, is interesting
15 and challenging.

16 But now I want to raise a third variant of this
17 remote sources of clean energy to distant load centers by
18 asking you a question that has been asked of me by some staff
19 members on the Electric Committee of NARUC, where they say
20 how's it going to work if my state -- so let's just say that
21 state could be Mississippi or Florida or North Carolina or
22 something where there is not as much wind as there is in MISO.
23 And let's say that generators in MISO want to go big and long
24 to develop those huge, abundant wind resources, and then

1 create clean energy credits and sell them across the country
2 in a trading regime with a state that has adopted a common
3 framework model in their compliance plans.

4 So the question that's been posed to me by some
5 of those staff members is I don't get it. How are you going
6 to inject that much resource into an area where the load is
7 what it is, in MISO, say, to create credits for very different
8 areas? You know, is that fair? How does it work
9 operationally in the source and sink states?

10 And so how do you think about that issue when you
11 think about planning? I mean, MISO has the multi-value
12 system planning model, which takes into account both
13 market-driven and integrative resource plan-driven changes
14 in the systems, but also state policies. But now some of the
15 state policies might be completely the other part of the
16 country.

17 So as you think about your own areas, how do you
18 think about these locational issues in terms of where clean
19 energy resources may be located and maybe they will be
20 decentralized? And Erik and I think Mary Ellen said that
21 there could a lot of cost-effective ways to develop those
22 distributive resources, but how do we think about these
23 planning and operational issues where there's really big gaps
24 that may need infrastructure upgrades?

1 Who wants to start? Yes, go ahead, Erik.

2 MR. TAKEYESU: Okay. I'd be glad to start since
3 it sounds like I started it in the first place.

4 Now, in order to meet 33 percent RPS, we invested
5 in about 500 miles of transmission, new transmission. So I
6 think that part of the goal and planning is to understand sort
7 of the long-term need for transmission, but I also see getting
8 to where we got to, dealing with the increased cost of
9 distributive resources in these same areas where we're
10 building transmission.

11 To some degree, there has to probably be a couple
12 of components here. One is how much margin do we put in for
13 future growth of distributor resources and would they likely
14 occur in these areas or do we really think about more
15 distributive resources in the population centers themselves?
16 So I think that that's one driver.

17 The second thing is, I think Mary brought this
18 up, is the challenges associated even more so in the future
19 about licensing transmission lines, given that we're in a
20 competitive environment in transmission, you know, the
21 amount of new transmission that will have to be built, it's
22 going to be very interesting to see what the overall
23 wherewithal would be for investment in that large scale of
24 transmission going forward into the future. It's absolutely

1 needed if we're going to continue to access resources that
2 are remote. But those are some of the things that I think
3 we need to think about.

4 MS. TIERNEY: David?

5 MR. BOYD: I knew you were coming this way. So,
6 first of all, I think in MISO we have the geographic advantage
7 that lets us address your question within the RTO relatively
8 easily. That is, I think MISO's become pretty adept at
9 watching weather fronts move across the plains so that they
10 can -- and the modeling of wind generation has improved to
11 the point, if you're in our control room where there's very
12 good agreement between forecast for wind and delivery of
13 wind, so a front comes across, the control room can watch it,
14 anticipate it, ramp at the right times, have the right
15 resources ready to go.

16 Within the footprint, the MVP portfolio allowed
17 for moving wind from a state like Iowa, that has 5- or 6,000
18 megawatts of nameplate capacity and they don't use it all.
19 And it allows them to be a market player in delivering their
20 wind elsewhere. That's the upside.

21 The downside is so really there's maybe two ways
22 to do it. One is to continue to move the wind from those
23 wind-rich -- the stripe in the center of the country,
24 whichever direction it needs to go. It's a little easier to

1 save transmission in the Midwest than it is in the Northeast.
2 We have more success, I think, a little bit easier time, it's
3 not trivial. So physically you could try to move it, but I
4 think if you look at the problems that some of the large DC
5 line proposals, even in the Midwest have had, it's a sign that
6 we're not there. We're not at the point where we can readily
7 count on moving large volumes of power from source to sink.

8 The other option, of course, is to be in a trading
9 regime where credits that might be generated in Iowa could
10 be sold to Mississippi or sold to some other state for the
11 sake of compliance. And, again, I come back to the question
12 of how the Clean Power Plan envisioned the opportunity for
13 trading that almost seemed to encourage it, whether we have
14 these swim lanes of rate-rate and mass-mass states as a
15 deterrent or not remains to be seen.

16 So I think, in summary, we have the luxury of
17 geographic diversity. That makes it perhaps easier for us
18 to move power within the MISO footprint. The MVP package,
19 is there another tranche coming? It seems like a reasonable
20 possibility. Now the public policy driver probably is CPP
21 more than state-based programs.

22 MS. TIERNEY: Any thoughts? Yeah, Mary Ellen?

23 MS. PARAVALOS: Just a couple thoughts are
24 coming to mind. I think sort of creating credits and trading

1 will take you so far across regions until it gets to a point
2 where there really are these physical impacts. So I tend to
3 think we will need a level of greater interconnectedness
4 between regions. I think that's just what we're going to
5 need to be really offsetting fossil fuel generation and
6 putting on renewables and making it all actually work from
7 an operational perspective.

8 I think we do need to take views on how much
9 distributed resources will be part of this picture because
10 I think it's going to be a big piece and I think you can make
11 some -- it would need to be sort of scenario-based projections
12 on that, but it will be a big driver. And it needs to be -- we
13 need to kind of put some bounds around it and think about that.

14 I also think about the Northeast. When we talked
15 about MISO. The Northeast also has incredible potential for
16 offshore wind, onshore wind, connecting additional hydro
17 from Canada. And if that were a future for the Northeast,
18 I think that greater interconnectedness with other parts of
19 the country to kind of move power would be part of the picture,
20 so, in some ways, kind of analogous to MISO. We don't have
21 quite the geographic or low differentials that you're working
22 with, so even from that perspective the interconnectedness
23 would be, I think, more critical. A couple thoughts.

24 MS. TIERNEY: Great. Mark, do you want to add

1 anything?

2 MR. LAUBY:: Well, it's an interesting question
3 because at least it's easy to build transmission. I'm
4 hearing that now. Yeah, usually about 7 to 10 years.

5 MR. BOYD: I think I've been misquoted.

6 MR. LAUBY:: Yeah, right.

7 MS. TIERNEY: You're so funny.

8 MR. LAUBY:: Seven to ten years to build a line.
9 But, you know, we do also see some experiments and how it can
10 be done. You look at Ontario and what they had to deal with,
11 with spilling wind or negative prices to get takers for their
12 wind when they had too much because they had to complement
13 that with a large nuclear plant in the evening. And either,
14 you know, you spill nuclear or you spill wind or try to find
15 somebody to take it.

16 I think the golden or silver bullet here is going
17 to be storage. And, you know, there may be opportunities
18 for -- in the pricing and mechanisms such that storage could
19 play a significant role in some of the capturing of renewables
20 and reuse of it.

21 But I think when it comes to, you know, multistate
22 transmission lines, DC lines, the plans have been built out
23 already, like you said, in MISO. I remember when they were
24 talking about building a DC line from North Dakota to

1 Massachusetts, and the states were, at that time in the
2 Northeast, not too happy about those kind of things.

3 MS. TIERNEY: They really like it now.

4 MR. LAUBY:: They do? Okay, okay. We don't
5 want your stinking renewable wind or something like that.

6 But anyway, we'll have to see. There's a lot of
7 state issues and regional issues and we'll see how it all
8 plays out. The main thing is that it has to remain reliable
9 to us and following various state or NERC standards.

10 MS. TIERNEY: That's great. I want to ask, I'm
11 mindful of wanting to open it up, but let me just ask you one
12 question about if you have any ideas about institutional or
13 non-analytic things that DOE should be thinking about. And
14 by that, certainly you've just talked about sighting. DOE
15 has certain peculiar sighting capabilities and
16 responsibilities, and is there anything there that you think
17 would be helpful? Are there other institutional issues at
18 RTOs that would provide notice or other things, say, about
19 earlier indication of retirements or earlier indication by
20 owners of plants about operational controls that they see
21 coming on so that you can front-end load some of those studies
22 or other things like that? Are there things that come to
23 mind?

24 Mark?

1 MR. LAUBY:: I can talk from a high level on
2 jurisdictional issues. And, of course, we had a Reliable
3 Leadership Summit here about a month or so ago, and Gordon
4 probably has some things to talk about there, so I don't want
5 to steal his thunder. But there are some jurisdictional
6 issues around state and federal government, between the gas
7 industry and electric industry and telecommunications and
8 the electric industry, which we need to put an eye on.

9 MS. TIERNEY: That's for sure. Yeah, that's a
10 good point. Any other thoughts?

11 MR. BOYD: Just that I think that the final rule
12 certainly better to find a role for the federal agencies to
13 be engaged and supportive and cooperative, and I think
14 that'll be helpful. I think the federalism issue, the
15 state-federal dynamic, has always been alive, but probably
16 never as alive and kicking as hard as it is right now.

17 And there are internal issues at the RTO to align
18 retirements with queue issues for new generation coming on.
19 Those are sort of on us, but in terms of aligning state and
20 federal policy, anything that can be done is probably
21 helpful.

22 MS. TIERNEY: Would you put your cards up if
23 you're interested in asking a question?

24 Sonny, you get the first. Richard, is that one

1 that you're putting up? Okay, okay, Sonny, you're up.

2 SPEAKER: You can start in any order.

3 MS. TIERNEY: I didn't see these, so you guys are
4 second. I saw that one first, so I'll go to you guys next.

5 MR. POPOWSKI: Yeah, thanks. I have a question
6 for David and it revolves around the mass-based versus the
7 rate-based approach.

8 It just seems to me from a regional perspective,
9 from a MISO perspective or New England or PJM, the mass- based
10 approach has enormous advantages in terms of calculating, you
11 know, what is the cost or the value or the cost of carbon?
12 How do you trade between the different MISO states? Economic
13 dispatch, how do you do economic dispatch? I guess, isn't
14 there an enormous advantage to using a mass- based approach
15 like they use in RGGI and I think like they're planning to
16 use in California?

17 MR. BOYD: No doubt, the answer's yes. It's a
18 system -- we know it's a system we've incorporated before with
19 SOCs and other kinds of compliance regimes. It's
20 comfortable, it's easy to incorporate, but it's not our
21 choice. It's up to the states to make those decisions or
22 selections, and that's why we're trying to do what we can to
23 see if there's a bridge between the two. And if not, we'll
24 be racking our brains about how to take that rate-based

1 dispatch and monetize it for the sake of preserving the
2 economy of dispatch.

3 But you're absolutely right, if we could control
4 the adoption of rate versus mass, I don't think there's any
5 doubt we'd go to the mass-based method.

6 MS. TIERNEY: I like to have a visual out there
7 to show to every state where you put some piles -- two piles
8 on the table. One pile is this tall and that's what they have
9 to do if it's a mass-based approach, trading regime. And
10 this is the pile that's on the other side, the steps that they
11 have to go through. It seems to me like the rule actually
12 is encouraging it.

13 Paul, then Granger, then Roy. I can't see who's
14 over here. Is it -- okay, great, Phyllis and Gordon, and then
15 Marilyn. Okay.

16 MR. CENTOTELLA: Okay, thanks, Sue. I want to
17 pick up a little bit on Sue's first question. And before I
18 do that I want to compliment the panel. I really thought you
19 had some great suggestions of things that DOE should be doing
20 and some of them are things that are in our agenda to talk
21 about. But I want to pick up on Sue's first question and talk
22 a little bit more about what happens with trading and what
23 happens with mass versus rate, and the implications of that
24 for what happens in both power system planning and

1 operations.

2 So if we look, just as a starting point, at EPA's
3 numbers on marginal compliance costs between states as an
4 indication of where you might see impacts of power flows
5 between states and, you know, I pulled up just the three
6 regions we're talking about. EPA's numbers for marginal
7 compliance costs in California are 0, but in Arizona are \$43
8 a ton. In Iowa are 0, but in Wisconsin are \$33 a ton. In
9 Rhode Island they're 0 and in Massachusetts they're \$47 a ton,
10 which would suggest that some folks might want to engage in
11 some transactions between jurisdictions. And that works if
12 everybody within those transactions is either in a mass-based
13 approach or, alternatively, is in a rate-based approach, but
14 doesn't work so well if one state is in a mass-based approach
15 and the other state is in a rate-based approach.

16 And so one in that instance ends up with the
17 generator in the mass-based approach saying, well, I want to
18 take my full emissions and multiply it times the marginal cost
19 of compliance and build that cost into my bid into the RTO
20 because I'm going to have to displace, you know, that amount
21 of emissions somewhere in the plan. Whereas if I'm in a
22 rate-based approach, they're going to look at, well, I ought
23 to take the difference between the rate that I have to achieve
24 in wherever I am, which could be a positive or a negative

1 number, and build that into my bid to the RTO, which, of
2 course, means the RTO dispatch is not now on a common basis
3 between the mass- and the rate-based jurisdictions, which
4 will change the power flows in the RTO, change where it makes
5 sense to build generation in the RTO.

6 And somehow you got to think about that in terms
7 of should I be building a transmission line based on this
8 rule, which who knows whether in 10 years it'll get replaced
9 by some sort of uniform national legislation or not? And how
10 do you make those investment decisions? How do you begin to
11 think about that from an operational standpoint so that this
12 begins to make some sense in a broader economic standpoint
13 of operating the grid? That's my question.

14 MS. TIERNEY: Who wants to try and answer or
15 comment in any way?

16 MR. BOYD: Well, it seems funny to say, but your
17 last question about sighting transmission is the easier of
18 the two. I think the answer to that one is you look for
19 transmission lines that are robust and as many futures as you
20 can dream of at the time you do them. And I think that's not
21 thinking that's foreign to the state regulators who sight
22 power lines. To the former, you've hit the nail on the head
23 and that's our conundrum and that's exactly what I hope we
24 can crack that nut.

1 I will say there's also equally thorny issues
2 about how some allocation of obligation will happen within
3 states. When you've got coal-heavy utilities in a state and
4 one that's already gone a long way to de-carbonize, there are
5 going to be those same sort of allocation and obligation
6 issues within states.

7 So I don't have a good answer right now. MISO,
8 you know, we're not there. We're working on it.

9 MS. TIERNEY: Well, in fact, Paul, your question
10 is obviously one that is a nut and core thing that people have
11 to be struggling with over time. Anybody else want to
12 comment on that?

13 MS. PARAVALOS: Only that the need to understand
14 the options to the states and then modeling associated with
15 it and not to underplay, in fact, make it a big part of this,
16 is what's the likely potential system impacts so that we
17 understand them? And then what are the options to mitigate?
18 So analysis, I think, is what it comes down to, needs to be
19 a big piece of this.

20 MR. CENTOTELLA: Do you think there's a role for
21 DOE in facilitating conversations around this question? And
22 if so, what would that role be?

23 MS. PARAVALOS: I think there's a role for DOE
24 to be sort of teeing up these are the focus areas, here's what

1 we know what we can do. A lot of it is going to be really
2 state and regional discussions.

3 To my earlier point, I do think there is a DOE
4 role of assessing kind of the national impacts or aspects of
5 this, so that we do understand those interregional risks or
6 opportunities. So I actually think there's a lot there that
7 DOE can help facilitate.

8 And this is not -- I mean, your question alone
9 was complex. This is not easy stuff.

10 MR. CENTOTELLA: Right.

11 MS. PARAVALOS: If DOE can kind of provide some
12 of that supporting glue to the conversations, I think it would
13 be great.

14 MS. TIERNEY: Another thing that I think might
15 be responsive to that would be I don't know whether it's
16 convening or sharing best practices or advancing methods, but
17 clearly there's a piece of this that is production
18 simulation-type of modeling. But then there's load flow
19 modeling at a quite granular level, and gas demand modeling
20 and gas infrastructure flows. So there's a lot of very macro
21 and flow analyses that are implicated by the kinds of
22 questions that you're raising.

23 So I think I said next was Granger.

24 MR. MORGAN: So a 30 percent reduction in

1 emissions from this sector is wonderful, but, of course, it's
2 only a fraction of what's going to ultimately be needed. So
3 I've been spending a fair amount of time worrying about dead
4 ends. That is, how do you get into situations where you get
5 30 percent, but then scaling up beyond that is really hard?

6 And so I was pleased that trading was emphasized
7 by the final rule. But I guess I'd like an assessment from
8 any of the five of you of how widespread is the adoption of
9 a trading-based regime, which, of course, does readily allow
10 scaling up, going to be as opposed to other more complicated
11 arrangements?

12 And second, have any of you got ideas about how
13 as a nation we figure out how to keep more nukes in deregulated
14 markets in the mix? Because at the moment, we're in a very
15 shortsighted way from the point of view of climate issues,
16 we're shutting them down for reasons that we all understand.

17 MS. TIERNEY: That was one of the questions I
18 didn't get to, too. Does anybody want to start on that?

19 MR. MORGAN: And, Sue, you may also have a view.

20 MS. TIERNEY: Well, one of the things that I
21 observe is that I think there are near-term struggles that
22 are going to happen in a number of states where they want to
23 protect a particular plant that's going to have stranded
24 costs or something. I think there may be some near-term

1 discussions, hurdles, problem-solving about those
2 situations. And then a sidebar view: Across the country
3 that really is being reinforced by modeling, that trading is
4 economically efficient.

5 MR. MORGAN: So you're arguing that you think
6 that most states will ultimately end up there?

7 MS. TIERNEY: I think that there's a strong pull.

8 MR. BOYD: In terms of the states that I've
9 interacted with, certainly most of them are open to finding
10 the best solution, and trading is going to be a part of it.
11 There are a few notable exceptions where states have
12 said -- and let's not ignore the politics of this whole
13 conversation, but there are some states that have said I'll
14 just turn this into a jobs program. If my electric rates are
15 going to go up, I'll build everything I need inside my state.
16 I'm not going to send money off to a neighboring state that
17 might be an option through a trading scheme.

18 So with that exception, my experience has been
19 most people are looking for the best mousetrap they can and
20 I think are willing to think about trading, but they need to
21 understand it. They need to understand what it means
22 financially. They need to understand this rate and mass
23 business. And there's a lot of groping right now for basic
24 information, and I think that's a huge problem right now.

1 MS. TIERNEY: I think the rule itself -- well,
2 this may be a compliance panel question, but the rule itself
3 can allow evolution toward trading, too, so that even if in
4 the first instance there are some of these near-term things,
5 I think there's going to be a lot of attractiveness that ends
6 u moving people in that direction.

7 So who's next? Roy, I think you were next.

8 MR. MORGAN: None of us know how to keep nukes,
9 though.

10 MS. TIERNEY: Yeah. Got a clean energy
11 standard, we'll go back to that. Go ahead.

12 MR. THILLY: I do want just to comment. The
13 nuclear issue seems to me huge. So Wisconsin coal
14 generation, we're up by 25 percent. One plant was retired.

15 But the question I had is the practicality of
16 relying on or including distant renewables in a state plan.
17 When the Eastern Interconnect Planning exercise went through
18 there was a low-carbon case more aggressive, I think, than
19 the rule: Five DC lines from Kansas, Nebraska, Dakotas,
20 Minnesota, into PJM, not into Massachusetts. Very hard to
21 solve it. But how could a state rely in a plan on distant
22 renewables when the construction of DC across multiple states
23 would pose such a huge risk of not happening or not being
24 timely?

1 MS. TIERNEY: Comments?

2 MR. LAUBY:: I think you've hit an important
3 issue we were talking about as far as transmission goes and
4 the mood of the nation, as well. You know, you think of the
5 highway projects and how they were sold back in the '50s and
6 people thought we were doing the right thing for the country
7 because we're allowing this freeway to come through my back
8 yard. People don't feel that way nowadays. So they think,
9 well, it's good for the folks in one particular state and
10 transmission, or DC line transports across multiple states
11 who don't have any benefits from their perspective, but it's
12 good for the nation, and, you know, folks are not going to
13 necessarily get behind it.

14 So I think it's very difficult to rely on those
15 kind of distant resources nowadays as opposed to perhaps it
16 was in the '70s and '80s when we were building some of these
17 DC lines for some distances.

18 MS. TIERNEY: Mary Ellen.

19 MS. PARAVALOS: I would just say, I mean, the
20 biggest challenge there are the sighting and permitting
21 aspects and the need to get a level of assurance there that
22 would make relying on that option reasonable. And in terms
23 of the construction aspect, I mean, that's not really the
24 problem. It is really the sighting and the permitting and

1 needing to get assurances to be able to rely on that plan.

2 Once you had a level of assurance there, as
3 relates to that, I think it could be quite reasonable to think
4 that one could go ahead and kind of construct it in reasonable
5 construction timelines with some assurances around resources
6 and vendors and that sort of thing. But that seems to me far
7 less the tricky part.

8 MS. TIERNEY: Erik.

9 MR. TAKEYESU: And there really is no mechanism
10 for getting that assurance, is there? I mean, for
11 Pennsylvania to get that assurance from Iowa and the
12 intervening states.

13 MS. TIERNEY: Not with our Constitution. Erik?

14 MR. TAKEYESU: And I also think there is going
15 to be a challenge with how to align integrated resource plans
16 in each area around that same resource. So we have
17 challenges associated with building new transmission, but
18 also getting the power flow into the areas that you need it.
19 And how does that compete against other forms of procurement?
20 You know, so within each of the integrated resource plans
21 there will also be very tangible procurement goals
22 established. So I think that that's something that probably
23 should be in the conversation.

24 MS. TIERNEY: I think there's an interesting set

1 of things that have to be solved about the fact that
2 you -- right now our model for delivered resources that are
3 pursuant to the portfolio standard, most regions require that
4 if you're going to be using a REC from a distant plant, you
5 actually have to have it delivered into your system to have
6 it count toward you. That's true of most of these RTOs.

7 But I think this Clean Power Plan anticipates a
8 bigger physical separation between the creation of a REC and
9 the physical delivery of supply. And that you could, in
10 theory, create that REC without the physical delivery of
11 supply. And then that means it is being injected into the
12 local area with operational side effects of that thing if you
13 don't get long-distance transmission.

14 So I think that those are things where you're
15 going to have a lot of invaders from people buying your RECs
16 from somewhere else. That's actually going to have those
17 spillover effects in your own operational system.

18 Yeah?

19 CHAIRMAN COWART: So I'm just going to alert you
20 to the fact that we're running out of time.

21 MS. TIERNEY: Do we have five minutes?

22 CHAIRMAN COWART: Yes, we do. But I'm realizing
23 that a lot of the conversation we're having here is similar
24 to the conversation that we're going to have after the second

1 panel.

2 MS. TIERNEY: Yeah.

3 CHAIRMAN COWART: So if we don't get -- we won't
4 get to everybody right now --

5 MS. TIERNEY: Perfect.

6 CHAIRMAN COWART: -- but we'll pick it up later.

7 MS. TIERNEY: That's perfect. So I think the
8 next person is Phyllis. You may be the last person in this
9 hour for this five-minute period.

10 MS. CURRIE: Okay. Well, then I'll take
11 advantage of that to maybe turn the conversation a little bit
12 to consumers.

13 You know, I've had experience having to be out
14 selling the rate increases that fund all of these
15 initiatives. And I just have a question for Mary Ellen.

16 Can you give any sense of what's been the public
17 reaction to maybe the rate changes or cost impacts of the
18 achievements that were shown in your slide? I mean, it's
19 really dramatic in terms of the emission reductions. And has
20 there been any noticeable, you know, reaction from consumers
21 about what might be the change in their bills or have they
22 even noticed it at all?

23 MS. PARAVALOS: I think for a time there the
24 regions were really benefiting from competitive markets in

1 lower priced gas and the impacts because the commodity part
2 is about 50 percent-ish of the retail bill with transmission
3 about 10 and distribution about 40, you know, roughly. And
4 so I think we were sort of seeing at least acceptable for the
5 Northeast prices, you know, being higher than other parts of
6 the country, things that folks are used to.

7 The last few years, the constraints in the
8 natural gas pipeline infrastructure have been really driving
9 up the wholesale energy prices and having sort of spillover
10 impacts on how we procure resources and have been a big driver
11 of 30, 40 percent kind of price impacts on winter rates for
12 the retail customers. So I think that's sort of the biggest
13 thing that folks have kind of been focusing on in the last
14 few years.

15 I'm not sure that it's very transparent yet the
16 costs associated with the kinds of renewable and clean energy
17 transformation that we will be undergoing. Renewables are
18 more costly than fossil fuel-generated megawatt. And so
19 there are incremental costs associated with it. And as we
20 kind of build that up, I think it will become a bigger issue
21 in terms of explaining that to folks, getting the needed
22 support.

23 I think just right now in the Northeast,
24 particularly in New England, it's really these constraints

1 on the gas pipeline and near-term impacts that are sort of
2 really showing up in people's bills and what the average
3 person on the street would be noticing.

4 MS. TIERNEY: I want to amplify that with some
5 insights that we got when we did a study of the regional
6 greenhouse gas initiative some colleagues and I did. We
7 looked at the first three years and we looked at the second
8 three years. We knew that reality included a price on
9 carbon. And so then what we did is we developed a
10 counterfactual case where we modeled the system in those two
11 three-year periods as if there had never been a price on
12 carbon. So you had a different dispatch, nobody had to buy
13 allowances, the allowances didn't show up in prices. And the
14 tricky thing in the Northeast, in these nine states, is that
15 the way they develop their auction really mattered in terms
16 of the consumer impacts.

17 Generators have to buy the allowances. They get
18 into the bid prices. But then the states take that money and
19 then reinvest it in energy efficiency. So there's those long
20 tail-end effects on that. And that actually led to lower
21 prices and lower bills over time.

22 MS. CURRIE: That's not dissimilar from what
23 California has done, particularly for the investor on
24 utilities.

1 MS. TIERNEY: Yeah.

2 MS. CURRIE: I think one of the issues, and this
3 maybe something that DOE should think about, is a lot of times
4 the customer cannot connect the dots. So even though, you
5 know, the auction revenues are given back in a one-time credit
6 on a bill, the customer will never know which end was on the
7 donkey. So anyway, I just think it's something that we'll
8 have to stay attuned to.

9 MS. TIERNEY: And that is a perfect segue into
10 our break. Would you join me in thanking this terrific
11 panel? (Applause) And, Rich, we have 10 minutes?

12 CHAIRMAN COWART: We're looking for a 10-minute
13 break because we are on a fast track this morning. And the
14 coffee's close at hand.

15 (Recess)

16 MR. COWART: Good morning, once again. I think
17 others will filter back in. One thing that we customarily
18 do at these meetings is pass around a signup sheet for those
19 who would like to sign up to join the work of a working group
20 or a subcommittee. This is especially relevant, because we
21 have a number of new members on the EAC here today.

22 And so what we tend to do is pass the list around
23 more than once, because we want to make sure that everybody
24 has ample opportunity to volunteer for the work efforts of

1 the committee. So I'm going to start right here with this
2 list. You'll see the different potential subcommittee and
3 working group options available to you. Please sign up.

4 After it goes around, we'll probably get a chance
5 to send it back around.

6 I'm standing in today as the moderator at this
7 panel for Carl Zichella, who actually was the author of the
8 idea for this panel, as I recall. And in that sense I want
9 to apologize, because I may be the only person in this room
10 who is not actually working on the Clean Power Plan in one
11 way or another. As most of you know, I've been working in
12 Europe for the past few years. And I find the analogies
13 actually quite interesting.

14 In Europe and under the Clean Power Plan we have,
15 of course, different options and different buildings blocks
16 for implementing carbon reductions in the power sector.
17 Europe has gone through a transformation of sorts where for
18 quite some time the belief was that carbon pricing through
19 the emissions trading system, would be the driver of all the
20 change that was going to be needed to clean up not only the
21 power sector, but industry in addition.

22 And then there became an awareness that, well,
23 maybe it will in the future but not yet. And then there
24 became a growing awareness that the policies that we call

1 building blocks, that in Europe are called complementary
2 policies. And they're called complementary because it's
3 still meant to preserve the notion that carbon cap and trade
4 across Europe will be someday the principle driver of change.
5 And that these other policies are complementary to it.
6 They're now starting to be talked about as maybe parallel
7 policies, or jointly functioning policies, or different
8 ideas like that.

9 And the realization essentially is that to drive
10 change in the power sector in the scale and in the timeframe
11 that we're trying to deal with, requires a lot more than just
12 pricing carbon. And I would like to when we get a chance in
13 the discussion, talk about the role of energy efficiency as
14 a low cost compliance mechanism both in Europe and in the U.S.

15 We have with us today, a terrific panel. I think
16 three of them have confessed that, like me, they are actually
17 substituting for someone else. But, unlike me, they're
18 actually incredibly well-qualified to do the substitution.
19 And I will introduce them all at once and then let them each
20 speak, and then we'll pick up the conversation where we were
21 a few minutes ago.

22 It became obviously during the conversation that
23 a lot of what we want to talk about is the same for both panels.
24 First there is Kevin Culligan from the U.S. EPA, and he's the

1 Association Division Director and was the key architect of
2 the Clean Power Plan. So that's an amazing accomplishment
3 and it's great to have you here.

4 Phil Assmus is from the National Association of
5 Clean Air Agencies, or NACAA. NACAA is the association of
6 most of the states, and 116 metropolitan areas, and four
7 territories that have the responsibility of implementing
8 clean air improvements under the Clean Air Act. He's the
9 primary NACAA staffer for matters related to global warming
10 and agriculture. And his work recently is focusing on
11 providing assistance to states and other jurisdictions about
12 the implementation of the Clean Power Plan.

13 Vince Hellwig is one of those implementers who
14 actually has to implement what we've been talking about.
15 He's with the Michigan Agency for Energy, having previously
16 served, and I'm guessing this is a different agency, as the
17 Air Quality Division Chief for 12 years in the Michigan DEQ.
18 So like Sue Tierney, an air and energy crossover. Has tons
19 of experience in all areas of air quality implementation.

20 Fourth speaker is Ben Longstreth from the Natural
21 Resources Defense Council, a senior attorney with NRDC with
22 experience litigating climate and energy cases. He
23 previously worked at NRDC's climate center and on the energy
24 program.

1 So I'll just let them speak. I think in that
2 order. Makes sense to me. And then we'll turn to Q&A.

3 MR. CULLIGAN: Great. Thank you very much for
4 the start off the panel. I actually think you covered in a
5 really broad way, most the concepts I'd like to get across.
6 First, I just want to make sure that everyone definitely heard
7 a key architect. There were many of us. It was and
8 continues to be a very big team at EPA working on first
9 developing this, and now working with folks as we move the
10 implementation stage. I think at the moment Reid Harvey,
11 myself, Janet McCabe and a team are all at separate stakeholder
12 meetings pretty much simultaneously talking about components
13 of the CPP. And that's a pretty typical day that there are
14 groups of folks who are instrumental in making this happen,
15 talking to a pretty wide range of stakeholders.

16 So in terms of thinking about the plan, there are
17 three rules. There's a new source rule that we actually
18 talked very little about. If any questions come up, I'm more
19 than happy to answer. But I think the real focus is on the
20 other two rules. And in particular, frankly, the Clean Power
21 Plan.

22 So the Clean Power Plan, I think as we all know,
23 it's really a three-step process. Step one is EPA putting
24 forth and finalizing guidelines, which we've done. Step two

1 really puts the ball in the court of Vinson and people like
2 him at the state level. Phil and all our partners through
3 the NACAA states, through the ECOS states, through the APCA
4 states, through NARUC, through NASEO really the energy
5 organizations, the environmental organizations at the state
6 offices who have to put these plans together.

7 And then the third part of the rule, which really
8 moves on to, I think for many people in this room may be the
9 most interesting part, the compliance down at the unit level.
10 And it's important to remember as much work as EPA had to put
11 into this, as much work as states will have to put into this
12 over the next several years that is the ultimate end goal here
13 is to put explicit requirements for the affected existing
14 EGUs to reduce their greenhouse gas emissions.

15 The third rule, those two rules are final rules,
16 the third rule a combination of a federal plan and a model
17 rule. So to give states and sources, as they think about what
18 they're doing, an idea of what EPA might do if a state
19 ultimately decided not to submit a plan, or submitted an
20 insufficient plan. We do have both the authority, and
21 frankly the obligation, to at that point put a federal plan
22 in place. I think though, equally important to focus on, in
23 that rule is the model rule itself. We think that is a pretty
24 helpful tool for states.

1 I think while there are some states looking at
2 different options, many states I think are pretty focused on
3 either a mass or rate-based trading option. The model rule
4 sets out, and it's actually two model rules, one for each of
5 those two options. We will be publishing all three of these
6 notices, I think in late October, mid to late October, then
7 the opportunity to comment on that federal plan and the model
8 rule. And we're hopeful that that will be helpful for states
9 as they look at developing their own plans.

10 In terms of timeline, I think most of you are
11 pretty familiar with that. States are required to submit a
12 plan as early as September of next year. But recognizing
13 that it's likely to take more time than that, that there's
14 work to do in working with a wide range of stakeholders. Not
15 just the power sector, but the communities that are affected
16 by this, NGOs, labor, a whole range of constituencies who have
17 an interest in this. And that in many cases it's going to
18 take state legislation. There is an opportunity for states
19 to ask for up to a two-year extension, to get up to three
20 years, September of 2018, to submit final plans.

21 At that point the baton is really finally passed
22 to the sources. Many of whom, many companies I know that are
23 already thinking about and actively starting things today.
24 But really to start to think about compliance in that 2022

1 to 2030 timeframe.

2 So like I've said, four states, they've got a
3 couple paths. Ultimately, I think the idea from our
4 perspective is the paths that the states can take hopefully
5 will give sources, many if not all of the same compliance
6 obligations ultimately. So they can take a path where they
7 put requirements directly on the affected EGUs. We call that
8 the enforceable measures approach. They can do that either
9 through a mass-based program, requiring basically a mass
10 target that collectively the sources within the state must
11 meet. And that can be done using trading.

12 They can do a rate-based approach, allowing
13 crediting for things like RE and EE. But once again,
14 ultimately the sources have responsibility.

15 We also, particularly at proposal, knew there
16 were some states interested in sort of working with some of
17 their existing programs, some of their fairly aggressive in
18 many cases RE targets, or EE targets and not necessarily
19 putting all their requirements directly on the sources. We
20 had a lot of comment on that idea. We still think it's a good
21 idea. But ultimately there has to be a backstop that
22 requires the sources to achieve the reductions if those other
23 plans don't.

24 So there's a state measures approach that states

1 can use that doesn't necessarily need to put all of the
2 requirements directly on affected EGUs, can build off of EE
3 and RE programs. But ultimately has to have a backstop, just
4 in case those reductions don't ultimately happen purely
5 through that plan.

6 So those are the main approaches that states can
7 take. I think in sort of building off of the introduction,
8 one of the kind of distinctions between the two approaches,
9 under a mass-based approach, what the real focus of the 1-
10 Plan is ensuring that the omission reductions
11 happen, and then also providing some price signal to do that.

12 But I think we think that any state that is going
13 to take that approach, is likely to have on the energy side
14 a number of whether you want to call them complementary
15 policies, I think there was another word used that had them
16 at a more equivalent level, which I think in many ways is
17 appropriate, like EE and RE. And there can be interactions
18 between those. Things like allowance set asides to provide
19 financing, use of auctions to create revenue to provide plant
20 financing. So there are ways to have interactions between
21 those two that can be interesting and useful. But in many
22 ways you can sort of separate them a little bit more than under
23 the rate-based approach.

24 In the rate-based approach, since there's

1 direct crediting for sources for things like EE and RE, you
2 end up with a little more integration between those two types
3 of programs.

4 So those are the basic approaches that states can
5 take when they're thinking about compliance. Then when you
6 get to sources themselves, it's trite and often-said, there's
7 no single silver bullet. There's a pretty wide range of
8 options. And we're hearing about people taking many, if not
9 all of them. Ranging from things you can do at the plan
10 itself. We focused on a building block, one that was
11 efficiency improvements. We know there are people out there
12 doing some more unique things. Folks in North Dakota are
13 doing coal drying of lignite reducing CO2 in the neighborhood
14 of 4%. Folks in Nebraska are looking at coal production with
15 hydrogen of carbon black, and then using hydrogen as a
16 generation fuel. Folks in Texas adding CCS to a unit today.
17 So there are any number of companies looking at less
18 frequently used coal units, converting them to natural gas,
19 so that they still have them around for reliability purposes.

20 So those are the types of things that a company
21 could do at the unit itself. Then there are obviously
22 alternative ways to generate electricity or reduce the need
23 for electricity, your RE, your EE, which we also think is
24 going to be a pretty big component. I would be remiss if not

1 noting that even though we removed building block four, the
2 emergency efficiency component from the way we calculated the
3 state and the individual unit goals, we still think it is a
4 very viable way of getting the emission reductions.

5 And that stuff can include utility scale
6 renewables. It could include distributed renewables. It
7 could include energy efficiency residential level, energy
8 efficiency at commercial industrial level. Anything that
9 reduces that need for electricity. Things like transmission
10 upgrades, too, reducing line loss and reducing electricity
11 use in that way.

12 So that's kind of the range of things that I think
13 if we're talking about compliance, we would ultimately hope
14 that state plans would give flexibility to use. And with
15 that, I'll pass it along to Phil.

16 MR. ASSMUS: Thank you, Kevin. I'm very glad I
17 went after you, because that was a fantastic sort of general
18 tee up of the general structure of the Clean Power Plan, the
19 rough framework for how compliance works. And so I can sort
20 of start us on a slightly deeper dive on what some of the
21 compliance options actually look like.

22 What I want to talk about today is a technical
23 recourse that NACAA has developed entitled, "Implementing
24 EPA's Clean Power Plan, a Menu of Options." I get the next

1 slide, please?

2 Just a little bit of brief background to repeat
3 some of the information that you heard in the introduction.
4 We are a national association based just across the river in
5 Washington. We represent air agencies in most states, 116
6 localities, in three territories and the District of
7 Columbia.

8 In general our members are tasked with
9 implementing the Air Pollution Controls issued under the
10 Clean Air Act. And specifically our members are the folks
11 that are going to be largely responsible for implementing the
12 Clean Power Plan, and for actually writing the permits that
13 will affect the power plant emissions.

14 So this is an issue that we've been thinking about
15 for quite a while. If you go to the next slide. Thank you.
16 As we've thought about this, we've sort of put some of the
17 issues that states are struggling with into big bins. The
18 first bin is to sort of think about what technologies and
19 policies a state could rely on to actually meet their
20 emissions reduction target. And then sort of separately
21 from that, once you maybe have a sense of what you want to
22 do, or you have a list of options that you're considering,
23 how are you actually going to go about incorporating those
24 things into an approvable state plan that EPA will look at,

1 sign off on, and that you will sort of administer into the
2 future.

3 And the technical resource I'm going to talk
4 about today is entirely related to the question of what. And
5 so sort of reference, Kevin's comments, he talked a little
6 bit about both things that you can do at a power plant and
7 then also some sort of renewable energy, alternative energy,
8 or energy efficiency sort of alternative generation options.

9 And, again, in my mind those sort of are all in
10 the bucket of what. And the NACAA menu of options is designed
11 to help answer that question.

12 So if we go to the next slide, please. The menu
13 was published over two months ago in late May. We didn't
14 write it ourselves, we hired the Regulatory Assistance
15 Project to do it, and they did a fantastic job. The end
16 result was 465 pages long, 26 chapters, and it captured
17 everything that we could identify as an existing technology,
18 policy, or program that could be used to reduce greenhouse
19 gas emissions from the power sector.

20 For each of these chapters, we identified a
21 common core of information. Including things like a basic
22 description of the technology or policy. To the extent that
23 we could find cost estimates, we provided those. We also
24 pointed to examples where these technologies and policies

1 have been successfully deployed. We tried to quantify
2 greenhouse gas reduction potentials. We identified
3 co-benefits, which is air regulators is something really
4 important for our members to keep in mind. And then we also
5 included lots of footnotes, so that people could take an even
6 deeper dive into these topics, if they're interested.

7 So to see the full sweep of the menus, let's go
8 to the next slide. I've got a screenshot of the cover, and
9 the Table of Contents, which I hope is somewhat legible up
10 there. If not, I think my slides might be available. And
11 more importantly, this entire document is easily accessible
12 on our website online, and I've included a link at the end.

13 But roughly the first 10 chapters, I said there
14 were 26 chapters, the first 10 cover technologies. The next
15 15 cover policies. And then the final, the 26th chapter, is
16 sort of a catch-all for emerging technologies and policies
17 that maybe aren't as well tested yet, but are sort of a bit
18 more kind of cutting edge and under development.

19 And one of the key sort of takeaways that we found
20 from the menu, is the extent to which state compliance options
21 are not at all constrained by the building blocks. We began
22 developing this menu well before even the proposed rule was
23 release. We didn't know that building blocks existed at that
24 point. We were just trying to build the best list of options

1 that we could find.

2 And in the end, what we found, was our list sort
3 of both covered everything that EPA identified in their
4 building blocks, but also a lot of other strategies that
5 weren't included in the building blocks, but nonetheless
6 remain compliance options for states. So if we go the next
7 slide, maybe we won't spend too much time on these, but sort
8 of here's sort of a list mapping some of our chapters to the
9 three building blocks that appear in the final rule.

10 Building block one, which EPA calls heat rate
11 improvements, we discuss in a chapter entitled, "Optimizing
12 Power Plant Operations." EPA's building block two, which is
13 generation shifting between coal fired and natural gas fired
14 units, we don't have an exact analog for that, but in a sense
15 we have a plan on retiring aging power plants, which talks
16 about sort of reducing coal generation and accounting for
17 that elsewhere. So that's a fairly decent analog.

18 And then for building block three, which is
19 increased renewables, we have a chapter that discusses
20 increased generation from low-emission resources. That is
21 an early chapter, so I would say that's in the sort of
22 technology driven part of the menu. But there's also a
23 policy chapter that discusses renewable energy standards as
24 well.

1 If you go to the next slide, please. Here we have
2 some options that are outside of EPA's building blocks, but
3 nonetheless remain viable compliance options for states,
4 some of which Kevin mentioned. Just to sort of check off the
5 list, we have improving coal quality, switching fuels at
6 existing power plants, reducing losses in transmission and
7 distribution systems, and so on. And then a couple of
8 different chapters on combined heat and power, as well.

9 So that's a nice sort of a quick overview. I
10 think a final word on my last slide, before I turn it over
11 to Vince, to actually hear what a state is doing, instead of
12 what someone in Washington, D.C. thinks about it, just I want
13 to acknowledge, again, that our menu did come out more than
14 two months before the final rule, which sort of begs the
15 question, "What did you get wrong? What did you miss?" And
16 I think actually it holds up quite well.

17 As Kevin indicated, though energy efficiency
18 disappeared as a building block, so it disappeared as part
19 of the stringency or goal calculation, that calculation was
20 never meant as a prescriptive target for states to meet.
21 It's an overall goal. States have a tremendous amount of
22 flexibility to sort of work within a very broad framework to
23 find a compliant pathway. And energy efficiencies measures
24 are every bit as much a compliance option as they were with

1 the final rule.

2 In addition, we saw that the proposal had some
3 good general language in the preamble that was very clear that
4 the building blocks were not prescriptive, that there were
5 lots of options outside of them. If your state is doing
6 things that sort of makes inside the fence line type
7 reductions, or outside the fence line type reductions
8 including shifting to generation from non-affected sources,
9 like renewable energy. Or reducing the demand for energy
10 from affected sources, like energy efficiency, that those
11 things should count. But there wasn't a particularly
12 detailed discussion of these other strategies in the proposed
13 rules; EPA changed that in the final. And so what I've given
14 you here are a couple of places, if you're interested, where
15 you can look to see where the preamble talks about how to
16 credit strategies, and how states can benefit and get
17 compliance credit for strategies that aren't included in the
18 building blocks.

19 And, again, those include things like fuel
20 switching, combined heat and power, carbon capture and
21 sequestration or utilization, and even biomass co-firing.
22 So with that, I will provide my contact information on the
23 last slide. And at the bottom, as I said, a link where all
24 of you can check out the menu of options, download it in its

1 entirety, or take any chapter that you're particularly
2 interested in. Thank you.

3 MR. HELLWIG: Thanks, Phil. First, I think most
4 people know, but on September 4th, our governor announced we
5 will do a state plan. We do not have any intention of, at
6 this point in time, fighting that issue. Our Attorney
7 General, when you see cases of Michigan v. EPA, that's on
8 behalf of the Attorney General who's independently elected
9 in our state. And our governor's made it clear that that is
10 not on the behalf of the state of Michigan. So I have to make
11 that stated, and make it so it's clear.

12 Having said that, the governor came out with
13 energy efficiency goals for our state before the proposal of
14 Clean Power Plan, independently of that, of up to 30%. So
15 this is a real initiative that he believes that we can
16 accomplish a lot and move forward with.

17 What we're doing now, we're involved in -- and
18 I'm talking all the organizations we're involved in, because
19 that will give you some background as we go forward -- we are
20 in the Midwest Power Sector Collaborative that was formed
21 about three years ago. And that was formed in anticipation
22 of 111(d). It is a broad stakeholder workgroup. We have
23 utilities. We have utility regulators, environmental
24 regulators, and NGOs. So, as you can imagine, this has led

1 to some very interesting dialog and discussions, because it's
2 a very broad group.

3 We had recent consensus, made comments to EPA
4 prior to the proposal and after the proposal. So it's been
5 a very productive group, as we're concerned.

6 We're also a part of the Midcontinent State
7 Environmental and Energy Regulators Group. And that group
8 has been looking at this since the proposal. It was formed,
9 and we had an open workshop June 4th in Detroit, and we had
10 about 300 attendees and 400 people on the webcast. We're going
11 to do another workshop on October 19th in Little Rock,
12 Arkansas, and I think it'll also be webcast. It's an open
13 forum.

14 And that's a series of panel discussions and the
15 focus of those panels are just some of the things you're
16 discussing here, how we can make this work, and what are the
17 elements that can go into it. We hope that will be
18 beneficial.

19 As I said, we do plan to develop a state plan.
20 I can't give you any details what are plans are right now.
21 We also have our legislature's debating new energy
22 legislation, so there's some questions there, until that's
23 complete. We are forming a stakeholder workgroup. And that
24 will be announced, I think fairly shortly.

1 We do appreciate some of the changes from the
2 proposal to the final. And one of those was the spreading
3 out, or steps versus what I've termed before the cliff, in
4 attaining this, to give us enough time to make a transition.
5 And we were interested in making that transition. And our
6 state had already started going from coal. We were at one
7 point I think in 2008, 56% coal. We're now down to less than
8 50%. And the transition from a business standpoint, the
9 utilities had already started going that way, and some of our
10 municipals. So we're seeing that to continue.

11 We're seeing an increase of renewables. We have
12 the lowest carbon intensity of any of our neighboring states
13 already. We had a 2008 renewable portfolio standard. And
14 we're just a little disappointed that we didn't get credit
15 prior to 2012 and before, because more than half our
16 renewables were already operating prior to that date. But
17 we're seeing continued expansion of that. In fact, right now
18 in our state that's -- although unfortunately it doesn't
19 deliver electricity on peak days, it is the cheapest form of
20 new generation in our state by quite a bit.

21 We also appreciate the safety values for
22 emergency situations. We were very concerned about that,
23 because we've had those situations in our state that did occur
24 in the past. We're still a little concern, some situation

1 that has arisen in the past, that we could not plan for, we
2 hope (inaudible) take care it, but in one case a plant
3 received an SSR because of (older) stability, and that wasn't
4 something the energy regulators were aware of. Because MISO
5 controls dispatch, and they were a little concerned about the
6 fact that we didn't see that coming. But hopefully when
7 you're looking at three-year average, we can deal with that.

8 Our state is mostly MISO, but there's a portion
9 that's in PJM. So we're a split state in that respect. And
10 we do have generation capacity in the PJM portion, southwest
11 Michigan. And that has also led to formation of another
12 discussion group, which is PJM Discussion Group, and that's
13 being led by our Public Service Commission Chairman,
14 Quackenbush, and your Air Director here in Virginia, Mike
15 Dowd, is co-chair. So they're leading that discussion.

16 The Midcontinent Group actually goes to the
17 Canadian border, the Gulf, and obviously I think you already
18 know what the PJM area is. So most of those states are at
19 the table just having a discussion. It's no commitment on
20 any of these, to say they're going to agree to anything, but
21 it's more of an open discussion to see where we're going. And
22 examining some modeling.

23 We have modeling ongoing under working with that
24 bipartisan council on the MCU process I talked about. PJM

1 has some work they're doing with both BPC and the Nicholas
2 Institute at Duke University. They're trying to do a little
3 bit of modeling. We're one of the four states that received
4 the NGA grant to look at this rule. And so they're doing some
5 modeling for us to look at what would be appropriate in our
6 state.

7 And then the state just picked a contractor, and
8 we're going to do 12 scenarios. And we're going to look at
9 rate. We're going to look at mass. We're going to look at
10 options both dispatch and price in our state, economic
11 dispatch. But in addition to that, we're going to evaluate
12 what is the possibility in the future of trades. We really
13 don't know right now whether we'll trade or not. We don't
14 know whether there's going to be the opportunity to. In my
15 own opinion it'll be a few years down the road before we even
16 know that in our state, until we get through some of this
17 evaluation and actually start making changes. So I don't
18 know. We probably, I can't speak definitely, but we'll
19 probably go trading ready in case that's an opportunity.

20 I did comment yesterday that I appreciate the
21 fact that some of our neighboring states who have not made
22 investments in renewable energy, which we have, our
23 ratepayers have, if we can trade and we have some to sell them,
24 we'd be glad to take their money. (Laughter) That's an

1 opportunity we're still looking for.

2 We do have some concerns over, because we had
3 already talked about, before the rule came out, we were going
4 to do outreach to some of our (EJ) areas, impacted
5 communities, and rural communities that we have some high
6 unemployment. The one concern there with the rule is, we
7 don't really know what those are. And unfortunately when EPA
8 says talk to your region, in our case those discussions in
9 the past have not been fruitful, because they've not been able
10 to delineate, I can go back several years, even Indian land,
11 as it was described in the EPA rules, they've never been able
12 to delineate boundaries except for 1 out of 11. So then we
13 the EJ communities they say, "Well, we're doing outreach. We
14 want to be inclusive. We don't want to miss anybody. Do we
15 have a boundary we can draw that we're sure we're not
16 missing?" And we don't get an answer. So I think we need
17 some answers on that. So we do have concerns about that. We
18 are trying to reach out. And we do plan to involve community
19 organizations in that, and bring them in as partners. But,
20 again, it's how we reach enough people and are we doing it
21 right. So that is a concern we have.

22 So, as I said, I can't get too specific about what
23 our plans are, because we're still in that process, but that's
24 where we are right now.

1 MR. LONGSTRETH: Thank you, Ben. Thank you so
2 much everyone who's preceded me and thank you all for giving
3 me an opportunity to present. I'm delighted to share some
4 of our thoughts, but mostly I'm excited to hear from all of
5 you. I would have gladly just had that prior conversation
6 continue. So I'm hoping we can get back to it quickly.

7 I'm going to focus primarily on the two
8 mass-based options. But I thought I would just touch briefly
9 on a few more general points initially. And the first one
10 is just obvious, but these are our first national carbon
11 population limits for the power sector. And that's a really
12 big deal. It's a very significant precedent. It'll achieve
13 significant reductions. It's vital for us to move forward
14 internationally, so we're really tremendously appreciative
15 of all the work that EPA and Kevin have done.

16 If I could have the first slide, please. I also
17 want to point out, and this echoes a comment was made earlier,
18 that the plan is not radical. This shows projected emissions
19 under the plan. And the slope is fairly similar to the
20 trajectory that we've been on due to other factors since 2005.
21 It suggests to us that compliance really at this point should
22 not be that difficult. And we're delighted that some of you
23 all are raising the need to make that curve steeper in the
24 future.

1 The second general point I wanted just to raise
2 is the reduction in the disparities between targets between
3 different states between the proposal and the final rule,
4 which we think will help make some of the interstate
5 compliance options more possible.

6 Next slide. So there're sort of two forms. And
7 this just shows how EPA has in the final rule, and this is
8 different from the proposal really adopted some nationally
9 uniformed emission rate targets for steam and combined cycle
10 natural gas plants. You can also see here in the squares the
11 trajectory for both of those, which again we think is
12 eminently doable. This is important for opening up more
13 compliance options.

14 Next slide, please. This illustrates the
15 blended rate. So when you put together the coal and gas
16 within each state into a single rate, you can see that the
17 band across the states, is much narrower on the right axis
18 you have the range that existed in the proposal. So EPA's
19 brought those together significantly. And, again, we think
20 that should help facilitate interstate compliance options.

21 Next slide, please. Can I have the next slide,
22 please? And the next one. Sorry, I was thinking I would
23 have control here.

24 So there are two mass-based options, as most of

1 you all probably know. An existing only option, meaning that
2 the only plants covered in the mass cap would be those built
3 before 2012, in 2012 or earlier. The second option is
4 pulling in new plants as well. And I wanted to just focus
5 on these two options. We think there's very substantial
6 benefits to including both new and existing plants together.
7 And I'll talk about those, but we're very much interested in
8 everyone here's thoughts on that question, and how we can
9 persuade states to take that approach, if you all agree it's
10 a more sensible one.

11 Next slide, please. And the next. So the first
12 point here is just the benefit of an even playing field. As
13 many of you all know better than I do really, allowance prices
14 are considered a marginal cost in the wholesale power
15 markets. So effective sources need to include these costs
16 in their bids.

17 Under an existing only approach, new generators
18 won't have to include those costs, and so their bids will be
19 lower.

20 Next slide. This just illustrates that
21 difference. And then next slide, please.

22 So this just the PJM generation supply curve
23 which we think illustrates that small changes in costs could
24 end up having big changes in dispatch order. Some of that

1 would be to the benefit of the environment and compliance.
2 But these changes, some of it also could be distorting if some
3 plants, but not all, are covered.

4 Next slide, please. So what are the market
5 effects? An existing only mass target, that only covers
6 existing plants, could end up leaving those plants with a
7 significant competitive advantage over new plants even where
8 we're talking about two natural gas plants, and that have the
9 same or nearly identical emissions profiles. Our concern is
10 that this could lead to unnecessary buildout of new plants,
11 potentially also retirement of plants that otherwise could
12 still run, and where there's not, again, a significant
13 emissions differential between the two plants.

14 Next slide, please. So this just, most of you
15 all know this, but this just illustrates the areas where this
16 is an issue in terms of the market dynamics. And, as again,
17 you all probably know better than I, the potential for
18 (inaudible) in the west. Next slide. So I'm here from NRDC
19 and obviously

20 We care primarily about the environmental
21 benefits. And under the existing only mass plan, our concern
22 is the risk to shift generation from existing plants to new
23 not covered fossil plants, rather than taking the
24 emission-reducing steps that are contemplated in the

1 guidance. And that shift could lead to higher total fossil
2 emissions than you would have had under the rate-based plan.

3 EPA in the guidance, we think very properly
4 includes leakage provisions in the guideline to avoid or
5 compensate for leakage from existing to new plants. We think
6 that's important for sure. But it's not that easy to do and
7 we think it's better to just avoid the issue by including the
8 new plants in the first place.

9 Next slide, please. These are just a couple of
10 sort of strategic or plan design reasons why we think existing
11 plus new is preferable. And Sue alluded to some of these
12 earlier. That there are a lot more requirements under both
13 the rate scenario and the mass-based existing only. The
14 leakage one being one of those requirements.

15 And then the second point is just that EPA has,
16 we believe, an obligation to update these standards
17 periodically. It's an eight-year review period for new
18 sources. And that when it does that new plants become old.
19 So even if they were not initially covered, they will be
20 covered eventually, and we think it makes much more sense to
21 just cover them from the start.

22 So those are the points I wanted to cover. And
23 I really look forward to hearing from all of you.

24 MR. COWART: Thank you all very much. As you

1 were here earlier, you'll see, there'll be a lot of interest
2 in these topics from the committee members. I'd like to
3 start you off with a couple of questions. One has to do with
4 the what could be claimed, that this is the easy part of the
5 trajectory to 2050. That when you look at what has to happen,
6 looking at, Ben, your slide showing this is sort of gradual
7 reduction to under the current CPP, compared with the really
8 dramatic change out from fossil to non-fossil resources post
9 2030. Are we in danger of sort of deluding ourselves that
10 we're solving this problem? So at EPA, you know, how do you
11 all look at this?

12 MR. CULLIGAN: Well, I think we would
13 acknowledge that this in and of itself is not going to solve
14 the whole problem. It's an important first step. And
15 frankly you can't take a second step until you take a first
16 step. And the engineer in me thinks that we're going to learn
17 an awful lot in this first step, and that's going to help
18 policymakers think about things in the future. But right now
19 our focus is on working with states, working with sources on
20 that first step.

21 MR. COWART: Any other comments from the panel?

22 MR. LONGSTRETH: I mean I'll certainly just
23 respond that we were hoping the first step would have gone
24 further. I don't know if you look at our comments and such.

1 But I think I'll agree with Kevin that I think once we get
2 started our view is that this will be achievable at really
3 quite a modest cost. And particularly, if it continues a
4 cost trajectory of some of the solutions that we need to be
5 making, it'll become evident that we can go much further.
6 And I think the evidence will continue to suggest we need to,
7 but having taken that first step, the second can be bigger.

8 MR. COWART: Is there any good argument against
9 trading, for complying on a plant-by-plant basis? What's
10 the argument that is advanced by advocates who want to do
11 compliance solely on a plant-by-plant basis, or solely within
12 one state?

13 MR. LONGSTRETH: I'll offer, this isn't NRDC's
14 view, but I think an argument that is offered is that there're
15 states that because of steps they're already taking, are
16 going to end up with an easy time meeting their target. If
17 we have a lot of trading are we just kind of shifting what
18 some view as sort of hot air in there. If they went to a mass
19 base approach shifting that to other states that alleviates
20 them from doing as much. And that we could have a stronger
21 national outcome if each state had to do it on their own.

22 Just for the record, our view is that we really
23 want to show that this works. In the long run trading will
24 get us -- show that we can make significant reductions at

1 lower cost, and we'll get farther on that second step that
2 way.

3 MR. COWART: And Vince you made the statement
4 earlier about trading along those same lines I think.

5 MR. HELLWIG: Well, we're looking at trading. I
6 mean we haven't decided rate or mass. I mean and part of that
7 decision will probably be looking at the pool of other states
8 that go rate or mass. I mean that's because that may
9 constrict what's available to trade, if we can trade.

10 And frankly, as far as trading when we got to go,
11 if we look back at the acid rain program, we look at NOC
12 (CISCO), we look at (notch) reductions, it's been a very good
13 working program. It's reduced emissions. And in our state
14 it's reduced emissions a lot.

15 I do have to say one thing, we get blamed a lot
16 for NOCs and transport to the east, but most of our -- in
17 Michigan, and some of the other Midwestern states, we operate
18 our controls more than the northeast, and Mid- Atlantic.

19 In fact, some Mid-Atlantic states they just buy
20 credits, don't operate their controls. We put them in our
21 permits they have to run them in the summer. So they're not
22 given a choice.

23 But the trading has benefited them in that
24 respect, that they sold them to the people in the east, sell

1 all the credits, when they did have to run and they had excess
2 credits. So I'm very much in favor of trading.

3 MR. ASSMUS: So I'll just add, I think EPA made
4 a number of improvements in the final rule to make trading
5 easier. In the context of the proposal there was sort of a
6 single, compact isn't quite the right word, but sort of a
7 multistate formal negotiation process that had to happen to
8 facilitate interstate trading. And one of the strong
9 comments that came out of the review period, was that states
10 wanted another option. And in the final rule that's called
11 trade-ready.

12 And the basic idea is that a state can keep its
13 own individual goal, and as long as it sort of stays within
14 certain guidelines, at the end of its individual state-only
15 planning process it'll have a trading opportunity. So
16 whereas before one of the potential objections might have
17 been this is too complex, we're concerned about preserving
18 autonomy, states now have sort of a new option where they can
19 make all their own decisions independently, and then have
20 that trading future on the backend.

21 MR. COWART: One of the long-term challenges
22 that we face, and what's often talked about in this committee,
23 is the electrification of transportation and buildings
24 (heat) that today are being sourced from fossil fuels. And

1 so that's then adding load to the power system, but reducing
2 emissions outside the power system. Is there anything in
3 this rule that we should know about that anticipates that,
4 and helps to give credit for fuel switching to electricity?

5 MR. HELLWIG: I'm going to address in one respect
6 in our state, and that's revised building codes, when you say
7 demand. But the buildings built today, meeting your codes
8 are much more efficient. And part of those building codes
9 are going go back to when buildings are remodeled. I think
10 from that respect you look at commercial buildings, it's
11 going go down. Residential, I think the same thing will
12 happen. The demand will be reduced for that individual unit.

13 One of the things, we as a state that builds
14 electric cars, would like to see more electric cars sold. I
15 don't know how that's going to impact the grid.

16 But I think overall efficiency we're seeing, I
17 don't see that as a problem. In our state the only area we
18 have electricity growth is the northern part of the state,
19 because residents in rural areas putting in
20 air- conditioning, because they can afford it, and they
21 couldn't years ago. But the rest of the state we're not
22 seeing a big growth in demand even coming back with our
23 industrial customers.

24 MR. CULLIGAN: Right. Well I mean there are a

1 couple paths that a state can take. A rate-based path,
2 obviously this issue doesn't come up. In many ways the more
3 opportunity to generate lower cost electricity, a lower
4 emission emitting electricity, renewables, etcetera, makes
5 it easier to meet your target rather than harder with more
6 growth in some ways.

7 In a mass-based approached states have really
8 three options. They can just include their existing sources
9 and have other provisions to deal with, I think I prefer to
10 call it equivalency, demonstrating the mass's equivalence to
11 the rate-based approach, than leakage, but that concept.

12 They can use the mass, with the new source
13 compliments that we finalized. Or, frankly, they could come
14 in a make a demonstration along the lines of what you're
15 saying in saying that the mass that we finalize with the new
16 source complements is not appropriate because we didn't
17 accurately factor this in, and here are their projections.
18 And this is why that number should be different.

19 So we think there are a number of different paths
20 a state could take, if this was something they were focused
21 upon. I would also note that, you know, Vince kind of pointed
22 out as you move in that direction you do tend to make buildings
23 more efficient. So while you might electrify more, you still
24 ultimately are probably using less energy. So it may not be

1 as big growth as people think.

2 You know obviously there's energy storage
3 opportunities in vehicles that can make more renewable
4 integration possible. So there's a lot of positive
5 synergies, too, that can potentially make it easier, or at
6 least opportunities to integrates things that the only focus
7 isn't that there's more electric growth, but there's
8 opportunities to do it in a smarter way.

9 MR. LONGSTRETH: I just want to echo, we concur
10 that we don't think an issue in the rate based, and that for
11 the mass based, as Kevin indicated, there is an opportunity
12 to come in and say the projection you used only included this
13 small electrical vehicle program, where we intend to do a lot.

14 Our strong view, and we hope EPA will concur in
15 this, is that if a state wants to do that they need to have
16 a contingency that would release those extra tons only if they
17 actually come through with the electric vehicles. And it
18 would be a very easy thing to track sales in a state and figure
19 out the size of that. And then you could have a reserve
20 essentially and those would be released as the vehicles
21 arrive. You can't just say, "We went to do this." Not do
22 it. And keep the tons.

23 MR. COWART: Okay. Questions from the
24 committee members? Marilyn?

1 MS. BROWN: Thanks very much. Good talks. And
2 I wanted to congratulate NACAA for its excellent report.
3 I've been through it. And, Ben, thank you very much for
4 teeing up the concept of the logic for promoting the use of
5 mass with existing plus new. That's a great discussion.

6 I have done some modeling myself using MIMS.
7 There are many models that other use, such as the IPM model,
8 which was used in the regulatory impact analysis. There are
9 now even desktop models being developed by every, I think I
10 would suggest possibly most every state, air, regs analysis
11 teams. And I'm really worried about the quality of the
12 analytics going on. And sort of underscored by the fact that
13 what we've seen to date has shown tremendous variation and
14 consistency and conclusions from modeling, at least the
15 proposed regs and now moving to the final regs.

16 So, for example, I've seen a great variation in
17 the uptake of energy efficiency as a compliance mechanism in
18 models. My modeling builds it out very rapidly because I
19 helped MIMS along in better articulating some of the
20 available options there. But other models just use a price
21 elasticity of demand and hope to pick up efficiency with that
22 sort of a modeling approach.

23 If you have more efficiency you don't build out
24 the NGCC so much. You can in fact tamp down the growth of

1 natural gas with efficiency and renewable. So there really
2 are some big implications. We may find that a big buildout
3 of natural gas is sort of phase one of our response of the
4 electricity sector to carbon reductions. Is that going to
5 lead to some regrets if we in fact go rapidly in that
6 direction?

7 We found a tipping point for solar between \$10
8 and \$20 a ton carbon, which you possibly won't reach in phase
9 one. But in phase two you would. And, so again, very
10 different conclusions from that.

11 We concluded that rate based was actually less
12 costly incremental compliance. Costs were lower with a
13 rate-based metric than a mass-based metric. The regulatory
14 impact analysis concluded mass was cheaper. I was
15 disappointed, because the atmosphere response to mass
16 doesn't respond to our analytics regarding rates. But
17 anyway, I was pleased that our analysis showed a significant
18 reduction in electricity costs over time as you build out so
19 much efficiency. Very different from the conclusion of
20 other models, which see a rate and bill impact which
21 significantly harms consumers.

22 So many, many dimensions along which there's
23 tremendous disagreement. And it is fueled by the
24 differences in the modeling approaches used.

1 So I have two questions. One is should we
2 quickly tee up something analogous to the Stanford Energy
3 Modeling Forum, and put all these models onto an even, test
4 them against similar assumptions and see how they perform?
5 And then undertake an investigation to explain differences?
6 I don't know if we have time for that. But it sure would have
7 been good if we had that in hand right now.

8 And then I had a specific question for Kevin, the
9 2012 to 2020, or 2022 period, is not going to be good for
10 energy efficiency or for some renewables, because you can't
11 count some of them, those investments. I've already heard
12 utilities say to me, including my very own that I try to
13 regulate, say, "It doesn't count what we do in energy
14 efficiency now. Only the early action period, and that's
15 only for energy efficiency for low-income household, or
16 low- income communities." So a very specific question about
17 what do you say when you hear that comment from states across
18 the country that you've created some form of disincentive?
19 Why not wait, hold back, and invest later when you'll get
20 credit for it? Thank you.

21 MR. CULLIGAN: So on the second question, one
22 thing that is important to remember is that while you don't
23 necessarily get credit for reductions from actions taken
24 today, if the actions are taken today and they're still making

1 reductions. So if there're energy efficiency measures that
2 are still generating energy savings, if they're renewable
3 projects that are still generating electricity, then in 2022
4 you do in fact get credit for them explicitly under for ERCs
5 under a rate-based program. Implicitly with lower mass
6 under a mass-based program.

7 And I think for renewables that that argument is
8 a little easier, because they do tend to have a pretty long
9 life. One of the concerns I think we've heard the most is
10 EE projects that might have a ten-year life, if you do it
11 today. Then you won't get as much credit if you did it in
12 2022, when the ten-year life would go all the way out to 2032.

13 I think two of the things to remember, one, the
14 energy efficiency project that you would do today and the one
15 you would do in 2022 are probably not actually the same.
16 Technologies are improving. So when you have a program that
17 has someone install something energy efficient today, they'd
18 probably install something different in the future. And
19 frankly, on an on-going basis, if you had a program in place
20 you would probably take advantage of those opportunities once
21 again in the future in 2027, 2028 timeframe. And, in fact,
22 there are good arguments for energy efficiency independent
23 of the CPP. There are many people doing it today because it
24 saves money.

1 In an uncertain environment when you don't
2 necessary have as much clarity over what the best investment
3 decisions in terms of new generation are, keeping demand
4 growth low through energy efficiency could be a fairly
5 appealing way to go. You're not making a large, long-term
6 investment in a generation resources that may or may not be
7 the best choice. So I think there's real value in energy
8 efficiency and you can get value for your renewables 2022 and
9 beyond.

10 I think that people should really look through
11 the economics and not -- I mean in some ways I feel like people
12 are potentially overvaluing the credit they get under the CPP
13 and undervaluing the potential short-term benefits of doing
14 the projects anyway. That's probably a pretty project
15 specific evaluation. But I do feel like there may be some
16 undervaluing of that part of the equation.

17 In terms of the modeling, I think there are two
18 real components. And you acknowledged both of them. One is
19 modeling performance itself. And while it hasn't actually
20 been done for all of the CPP proposals or requirements, the
21 Stanford Energy Modeling Forum has looked at models for
22 climate type assumptions for a number of years. I haven't
23 actually been in charge of the EPA modeling for a while, so
24 I'm not as up to date. But I know they in the past done energy

1 efficiency. They've looked at many of the components that
2 would go into it. So I think that is at least somewhat
3 helpful in terms of validation of the models against each
4 other.

5 I think in many ways the bigger question really
6 does come down to assumptions. And I think I really like the
7 way you talked about it. I think it does everyone a disservice
8 when people talk about modeling just in terms of results. I
9 mean all modeling is a tool to help us understand what results
10 might be under a different set of assumptions. Frankly, the
11 more sets of assumptions you can look at the more people are
12 talking about the going in assumptions, frankly that's where
13 in many ways the most useful discussion is. Is what
14 assumptions you're making.

15 Obviously the results matter, but if you can
16 narrow that band, or looking at a fairly robust band. I think
17 with a fairly robust band you tend to see similar conclusions
18 over the sort of same range of assumptions.

19 MR. COWART: Marilyn, I have to respond to your
20 efficiency question. I think Kevin said it correctly, but
21 the idea that given all of the benefits of cost-effective
22 energy efficiency deployment tomorrow, the idea that because
23 there's an additional benefit that will be available a decade
24 from now, that because of that additional benefit we're going

1 to delay getting all the other benefits tomorrow, it seems
2 to me to be an argument that we got to resist fairly overtly.

3 MS. BROWN: It's out there though.

4 MR. COWART: That suggests that EPA would do
5 better to take the future credit off the table and not even
6 make it available. If that's the behavior that it
7 stimulates.

8 Let's keep going, Merwin, I think you were next.

9 MR. BROWN: Merwin Brown. This question may
10 have been more in the purview of the prior panel, but I want
11 to get as many opinions as possible on this one. With my 45
12 years in this industry, I've seen utilities, I'll use the term
13 loosely utilities to mean the people who build and are
14 responsible for the electric grid, take on different
15 posturing positions.

16 In some cases they overstate the problems they
17 face and they're accused of crying wolf. And really they
18 weren't as bad as they said they were. And there may be
19 various reasons for that, bad assumptions, or they just don't
20 want to have to pay and go through the problems of complying.

21 But I've also seen cases where the other occurs
22 where they understate the problem that they're facing. And,
23 again, there may be various reasons for that, bad assumptions
24 are they don't want to deal with the political and other

1 issues that come up. So why this is kind of important is in
2 order to develop a technology research program, you got to
3 have a pretty good indication of what the real problems are
4 going to be that will require technical solutions.

5 So my question to you, in your opinion, in this
6 example is this particular industry overstating, or
7 understating, or maybe getting it fairly accurate of what
8 will be the problem in complying and implementing the Clean
9 Air Program here?

10 MR. HELLWIG: I'm going to try and respond,
11 because I've been in a lot of regional discussion. And I
12 think it's not a one answer. I think it depends on the
13 utility. It depends on the region of the country. In our
14 case we had a constrained area, northern Michigan, our
15 peninsula, so we face those issues. We had blackouts when
16 one unit went out.

17 It's not a simple answer. And I hear in other
18 states, I think it's more a regional issue. And I'm not
19 saying MISO, I mean pockets within MISO are able to get MISO,
20 or pockets within others. Some cases, yeah, I think there're
21 challenges, transmission constraints in our case. There're
22 generating constraints in the UP, which we hope we've solved.

23 But listening to other states, too, I think that
24 it depends on where you and what the particular issue is. I

1 don't think there's one answer that, at least from what I've
2 heard, there's no one simple answer for everybody. It's not
3 that it's all good or all bad. It's going to work. It's not
4 going to work. I think you have to look at different areas.

5 MR. COWART: Another other comments?

6 MR. LONGSTRETH: I was just going to echo a point
7 that was made earlier about, so under the guideline as I
8 understand it, there is trading, and then there are
9 investments in renewable projects. And the guidelines seems
10 very clear, that those can be with the transmission or without
11 the transmission into the particular area.

12 To my view, I think a tremendous number of these
13 problems disappear with robust trading for sure. But even
14 without that, I think the ability to access for compliance
15 purposes renewables elsewhere, even if the transmission
16 wasn't there, at least as a kind of short-term fix also does
17 a lot to alleviate particular problems.

18 In the long run I think we show we have a huge
19 amount of technological work to do. But I don't -- we don't
20 think so in the near term.

21 MR. CULLIGAN: I mean I think Vince's point is
22 really spot-on. I think it's almost impossible to sort of
23 make a generalization. There are companies that have been
24 moving away from coal for a number of years. They probably

1 have a higher comfort level with doing more of it. There are
2 companies who haven't been. There's companies who've been
3 more invested, their states have been more invested in
4 renewables. They tend to, I think, see opportunities to
5 solve challenges related to growing renewable integration
6 more. They're places that have done more energy efficiency.
7 And I think a lot of it is historically what have you been
8 doing, and what is your comfort level with doing these things.

9 And it's not just perception. It's how you
10 perceive the challenge, but it's also frankly the in-house
11 company, and/or state resources to respond to that. If
12 you've been doing energy efficiency, you've been doing
13 renewables, at the company and state level you have people
14 who understand them. If you haven't, you don't. And it's
15 not so easy as just saying, "Well the other states did it,
16 you can do it." You've got to grow those resources, so it
17 does make the challenge a little bit bigger for states or
18 companies that haven't gone down that path.

19 MR. COWART: Janice?

20 MS. LIN: Thanks. Janice Lin. I had a question
21 actually for this panel, as well as the previous one. And
22 then some suggestions. But my question is how have you all
23 been thinking about incorporating energy storage as an
24 enabling technology to achieve either the rate-based or

1 mass-based targets? I know electric vehicles were mentioned
2 briefly, but I'd be curious how you think about the world of
3 storage, not just EVs, but also stationary large and small?

4 MR. HELLWIG: And I'm going to be prospective,
5 even when you talk utilities, we have utilities where they're
6 (developing renewables) and hoping that storage
7 technology will improve. That would help a lot. It would
8 take off some of the peak issues.

9 We have a very large pump storage in our state.
10 And it's actually owned by the two major utilities. But
11 they're doing an upgrade it's going to increase more than 400
12 megawatts. But there no anticipation they'll ever be able
13 to build another pump storage like that. That's not going
14 to happen, I mean just for other reasons.

15 But other energy technology we hope will
16 progress. Because I think they're hoping, and but, again,
17 we don't know. I know there are energy storage options
18 available. They're looking at that. And you can certainly
19 do it on a building scale. I am not sure our utilities have
20 been looking at it on a large scale at this point, because
21 of costs.

22 MR. CULLIGAN: And I think this is one of the
23 areas where there's a reason that we're not just working with
24 NACAA and APCA and ECOS. We're working with NARUC. We're

1 working with NASEO because these are not just environmental
2 issues, they're energy issues. While it's clear integration
3 of energy storage can help with integration of renewables.
4 It's the greater use of renewables that then reduces the
5 emissions. How do you factor that into a credit in ERC type
6 program? And in many ways that's a business model that sort
7 of needs to be developed. How do you factor it into, I think
8 one of the challenges you probably all are thinking about,
9 is how do you factor it into how do you return economic value
10 to the people who are doing it? And that's frankly as much
11 an energy issue, if not more an energy issue. Even though
12 a lot of the benefit is on the climate and environmental side.
13 It's something really more of an energy issue to think about
14 that how do you make the finance -- it's not just how do you
15 lower the cost, but how do you really make the financing
16 attractive even if the costs are attractive?

17 MR. LONGSTRETH: I'll just note quickly, I don't
18 have any solutions, but it's certainly important and actually
19 on the question of grid-enabled water heaters, we've worked
20 very closely with our hosts, NRECA very well there, trying
21 to make sure that those are still available in light of some
22 complications from some new DOE efficiency standards.

23 MS. LIN: May I offer some --

24 MR. COWART: Yeah. Please follow up.

1 MR. LIN: -- suggestions. So I thank you for
2 that. I'd like to suggest that there is definitely a role
3 for energy storage. And to challenge some of the prevailing
4 assumptions that it's still emerging, too, it's not
5 cost-effective. I would argue it can be cost competitive.
6 And to encourage the DOE and maybe the menu to include
7 storage. Not so much as a technology on its own, but specific
8 examples for how it can be used.

9 And I'll give you three (examples). One is using
10 storage in combination with distribution interconnected, or
11 customer-sided renewables, as a means to integrate more
12 renewables and perhaps avoid costly and risky transmission
13 investments.

14 Secondly, storage can be implemented with new gas
15 plants. In fact, in California we just recently had an
16 application for a new peaker that was applied for at our
17 commission in conjunction with storage, to help improve its
18 efficiency and operational dispatch. So that may have a
19 positive benefit on both those metrics.

20 And, finally, it can be used as a transmission
21 asset to support and relieve transmission congestion.

22 On the cost-effectiveness, at least cost
23 competitiveness, we heard a lot yesterday from particularly
24 Southern California Edison that's purchasing a lot of storage

1 in the hundreds of megawatts. I think Chris's company here
2 has several hundreds of megawatts under development all over
3 the world. And it seems to me what's missing are two things.
4 One is probably more information, collectively and
5 nationally, about how storage is being used, the cost
6 competitiveness of it, and even more importantly modeling
7 tools to more accurately estimate and calculate the system
8 benefits, especially the system-wide GHG benefits. If you
9 take volatility out of the system then all your existing
10 fossil plants don't need to cycle as much. And analyze what
11 those tradeoffs are between distribution investments versus
12 transmission investments in achieving these goals. Thanks.

13 MR. COWART: Chris, you're next.

14 MR. SHELTON: Yeah, I think what to echo Janice's
15 comments, but maybe make them a little more concrete with some
16 examples. Because I feel like we suffer from -- there's a
17 mismatch between reality and expectations. And it's
18 probably there's more storage today than people realize.
19 And I don't think we fully absorb what's actually going on
20 in the market already, and has been for years. And we put
21 it into the future as this conceptual possibility, so we don't
22 spend the time really thinking about the implications of
23 storage.

24 So, today, as Janice said, we have a 32 megawatt

1 storage facility in West Virginia. We have a 20 megawatt
2 facility in Ohio. These have been operating for years. We
3 have a 10 megawatt project being constructed in Maryland. We
4 have a 20 megawatt project being constructed in Indiana. We
5 have a 100 megawatt facility that we will be building in
6 California. And those are all kind of real projects that
7 we've already talked about and announced. I'm mentioning
8 them because they're real. These things aren't in the
9 future. There could be more in the future, by a lot of other
10 companies, and those are just the ones that our company is
11 doing.

12 So this isn't a possibility. And we don't need
13 the costs to come down for it to exist in the universe. It's
14 here now. So with that backdrop, how would that be
15 considered in the Clean Power Plan? Because what I've heard
16 from folks, I'm not an expert in it. I haven't reviewed it
17 in detail. But since the panel's here, I wanted to get a view
18 that if the unicorn existed and it was present in an electric
19 system, how would it be treated, in your view, under the
20 programs that are being anticipated at the state level?

21 And maybe put it in terms of mass and rate,
22 because it's clear that a rationally dispatched storage
23 system, like the pump (hydro) mentioned, would reduce the
24 heat rate of that electricity system if it's rationally

1 dispatched. And it would also reduce the mass coming out of
2 that system, as a system. So what are your views on how that
3 might be considered? Because the industry is struggling
4 right now with a lot of people saying storage is excluded as
5 a measure.

6 MR. CULLIGAN: I think the challenge in thinking
7 about this, and I think you identified it well, is the
8 difference between mass and rate. So in a mass-based system,
9 I think one of, in my mind, the virtues of a mass-based system
10 is we really are solely focused on the environmental outcome.
11 What is the mass that comes out? And all of the energy police
12 stuff, is somewhat siloed away from that. You don't have to
13 do direct crediting. Like I said, you can use things like
14 allowance set asides to provide incentives for things. You
15 could use auctions and provide incentives for things. But
16 you're going to have a price signal that says you're better
17 off operating a lower emitting unit than a higher emitting
18 unit. And I think that sends exactly the price signal you
19 want that helps to provide, as long as the energy system has
20 the payment and options to provide value to the energy
21 storage, the environmental costs of higher emitting, I think
22 should just reinforce that.

23 The rate based I think is probably where you're
24 hearing the, "we don't credit it." And I think this once

1 again comes back to business arrangements, or someone
2 thinking about this from a financial standpoint more
3 necessarily than a crediting standpoint. I mean if what
4 you're doing with energy storage is enabling more renewables,
5 in the sort of most traditional way we've been thinking about
6 rate, you get credit for the renewables.

7 Well, someone doing that project might find some
8 economic path forward, some business opportunities to
9 partner with that energy storage provider, so that they both
10 share in the value of those credits, because the credits
11 couldn't have been generated without the combination of both
12 things. And that doesn't necessarily need to be in a state
13 rule. It doesn't need to be in an EPA guidance. It can be
14 a business arrangement that goes on in how the value of the
15 credits, once they've been given out, are used.

16 But I think it's worth thinking about whether
17 there are ways to explicitly value that on the crediting side.
18 But I think that's the challenge is most the ways we see energy
19 storage working, renewables, peak shedding with higher
20 emitting units not having to operate, operating at a lower
21 heat rate, that means less from the emitting unit. How
22 exactly do you credit that to energy storage explicitly in
23 CPP world, I think is a little bit more complicated. But it's
24 not to say there's not value and people could figure out value

1 propositions for it.

2 MR. HELLWIG: In our comments on the proposal,
3 we pointed out that we thought energy storage when it's
4 combined with renewable should be credited. Specifically
5 our pump storage is a backup to renewables predominately.

6 MR. SHELTON: I mean a lot of people have
7 mentioned renewables, but I'm not sure why when storage can
8 be implemented at a system level and provide system-wide
9 emissions benefits, why do we keep tying it back to
10 renewables? It seems to me to be a little bit of a red
11 herring. Like why is our renewables the key? Or why do
12 storage and renewables have to be combined, for storage to
13 reduce emissions? It's very clear that if you charge it at
14 an off peak heat rate and you discharge it at a peak heat rate,
15 we're done. We don't need renewables in the equation.

16 MR. HELLWIG: I won't disagree with you. I mean
17 it comes down to, and I'm not an expert, but the utilities
18 tell us that they're just looking at the cost of installation.
19 And the fact that they don't see any way to offset some of
20 those costs right now. That's what it comes down to.

21 And obviously if you run a unit at maximize
22 capacity, it's most efficient, and you store that electricity
23 and use it at a peak period when you're not using some other
24 source, I agree with. I don't think it should be just

1 renewables. But, again, that's what the rule says, so.

2 It's not that it's a disincentive, I think it's
3 just not enough of an incentive right now, at least in our
4 state.

5 MR. SHELTON: What I'm concerned is all these
6 words end up getting used to make state level plans that are
7 missing a lot of other potential benefit.

8 MR. HELLWIG: And it's something we've
9 discussed, the utilities, but again to a certain extent we
10 have to rely on them on this.

11 MR. CULLIGAN: Right. And I still think it
12 comes back to either coming up with a police mechanism, and
13 frankly I think EPA has been clear. If a state wants to come
14 in and offer a crediting methodology and they can demonstrate
15 that those credits are being given for something that is
16 reducing omissions from existing sources. We're open to it.
17 So if someone has a specific path forward to credit them, I
18 think there's a path to do that. But even the example of
19 improving the heat rates in essence what you're doing, is
20 you're reducing the direct rate for the affected source. How
21 does that then get credited to the storage? I mean in many
22 ways, and this might not be the only way to do it, the business
23 arrangement or the value proposition there seems to be the
24 utility saying, "Well, instead of doing a direct heat rate

1 improvement, I'm going to do energy storage that's going to
2 improve my heat rate. And my heat rate will be lower and my
3 rate will be lower, and I'll get credit that way." There's
4 not a direct crediting of the energy storage per se, but
5 there's a way that you get credit for it.

6 MR. SHELTON: Integrated state you could do
7 that, in a market-based stated it would be too many
8 boundaries, right? I think it would be a lot harder to do
9 that.

10 MR. LONGSTRETH: But isn't one of the
11 challenges, if you directly credit the storage, there's a
12 risk that you're double counting, right? Because the
13 generator also emitted less. So they're going to need fewer
14 credits for their actual emissions. And then if we're also
15 providing one to the storage.

16 MR. SHELTON: Right. One generator would emit
17 more, the other would emit less. But the delta would be a
18 net reduction.

19 MR. CULLIGAN: Right. And I guess that's why I
20 go back to in a mass-based system, there is no crediting.
21 There's no crediting of what it is that reduce that source,
22 reduced the emissions. There's a cost to emitting CO2. The
23 cost to emitting CO2 means it's more expensive to run a higher
24 emitting unit, less expensive to run a lower emitting unit.

1 So there should be value on the system to energy storage. And
2 that should provide an opportunity in the energy world to
3 provide a cost incentive to do storage. Or, frankly, you
4 could allowances, if you wanted to as credits. You could use
5 auction revenue.

6 In the ERC world, I want to make it clear I'm not
7 saying that it can't be done. All I'm saying we didn't figure
8 out a way to do it. But that doesn't mean that a state
9 couldn't come in with an ERC methodology that as long as
10 they're demonstrating that they're not double counting. If
11 their rate in a unit is going down, and it's going down because
12 of the energy storage, you can't credit both those things
13 simultaneously because that is double counting. I think
14 it's just a sharing of the credit and who gets the credit.
15 But the state has an option to sort of figure out ways to do
16 that, if they want.

17 MR. COWART: Let's move down the line. Anjan?

18 MR. BOSE: I was trying to get my head around what
19 I heard in the first panel. And what I heard in the second.
20 In my mind, electricity flows along certain paths. And
21 greenhouse gases seem to flow along other paths. And as Sue
22 pointed out policies are made by the federal government and
23 the state governments and how do we make decisions in this
24 kind of an environment? The question I was going to ask is,

1 would it make a lot more sense for the states to group together
2 in the same footprint as say MISO, and use the same models
3 and decision making tools to kind of make these plans for the
4 future?

5 SPEAKER: (Off mic) -- give you a short answer
6 (on that one)

7 MR. HELLWIG: I guess the short answer is
8 politics. We're having those regional discussions. We are
9 somewhat limited and constrained by state laws, state
10 legislatures, and governance. So we're examining that.
11 But to say that we could come to one group agreement, and I'm
12 not sure that that's ever gonna happen when you're looking
13 at all those states in there. And that's really what it comes
14 down to.

15 And part of that was actually -- an interesting
16 one of the groups I was in, part of that's actually driven
17 by the goals. Because that means that some states are
18 looking at rate based and other states are looking at mass
19 to meet their goals in their states. And because of their
20 generation mix.

21 So these are leading some very interesting
22 discussions, but so far there has not been consensus. I'll
23 put it that way.

24 MR. COWART: Janice, I have this idea that you

1 wanted to make just one little point about storage, is that?

2 So I'm coming back to you to give you that shot.

3 MS. LIN: Thank you. My point was I think
4 getting to how you count or credit storage, I think the first
5 step is to have the right tools so we can even measure and
6 quantify the impact. And that really hasn't been done.
7 We've started doing that a little bit in California in looking
8 through our long term (picture) and planning process what the
9 unit starts and avoided curtailment, for example, would be
10 with and without storage.

11 And we were lucky, because our planners had baked
12 in the 1.325 gigawatt procurement goal into our 40% RPS plan.
13 And the results were profound. And driven primarily, and
14 this is just storage stuck in there, not necessarily tied to
15 any renewable project, but even the 1.3 gigawatt target under
16 our 40% RPS scenario reduced fossil unit starts 8,000 per
17 year, which had a huge GHG impact. It reduced renewable
18 curtailment a lot at that level.

19 So I just want to come back to my recommendation.
20 I think it's a great opportunity for DOE to work with EPA and
21 a lot of these other, and regulatory assistance project, and
22 NASEO, and NARUC to create the tools so that everybody can
23 do that modeling and value it, and put it into the mass plan.

24 MR. COWART: All right. Thanks. Sue, I think

1 you have a question and also you're gonna lead a discussion,
2 yeah, that's right.

3 MS. TIEREY: I think this is a comment, but you
4 might consider it a question and see if you have any
5 reactions. But it seems to me that for states that want to
6 do trading, especially in mass-based program, there are maybe
7 two sets of lenses that a state might want to look at. One
8 of them is to actually put in place the trading regime. And
9 think about the RGGI states as a exemplars of what I'm
10 describing.

11 They have a trading regime and it's centralized
12 in that particular case. But each one of those states has
13 other policies, like energy efficiency, renewables, maybe
14 storage requirements, I mean you name it they've got a
15 different police. And the effect of those other things,
16 they're not embedded in the plan for trading. They are
17 setting the conditions in the marketplace in which trading
18 will happen. And in a large part they are reducing the cost
19 of allowances in the trading program.

20 And so as I think about a guidance to states, I
21 think their task is simpler if they're interested in trading,
22 about not thinking about how they want to put credit into that
23 trading regime itself, and to make it have all the bells and
24 whistles, but they might have other mechanism for valuing the

1 other things. In the northeast a lot of people talk about
2 if you do X, like there's a new power plant and it's gonna
3 reduce emissions for operating. Well it's actually probably
4 not gonna reduce emissions. It might actually effect the
5 cost, but the cap is gonna be the same.

6 And so I'm just thinking, I'm curious to know
7 whether or not the discussions in the Midwest and including
8 in Michigan are thinking about these with almost two headsets
9 on, the Clean Power Plan, things that you want to put into
10 that. And then you might not even mention the fact that you
11 have energy efficiency or renewables, because those don't
12 necessarily have to intersect.

13 MR. HELLWIG: Yeah. I'll just start with the
14 fact that trading rate was a concept that came out of
15 Midwestern discussions for the very reasons you mentioned
16 away from not having set agreements, or trying to develop
17 agreements among states. And I know RGGI's reached out to
18 the Midwestern states. As I said yesterday at a meeting,
19 RGGI's the four- letter word I dare not speak in my state.

20 MS. TIERNEY: We know that.

21 MR. HELLWIG: It's just it's a death nail. I'm
22 not saying it doesn't work, I'm just saying that's what it
23 is. And interesting enough, too, I've heard some RGGI states
24 saying they don't want to trade outside of RGGI, because that

1 might reduce the amount of revenue they're getting. So that
2 would never fly in my state either.

3 But yeah we don't know whether trade is gonna be
4 practical because we've got to solve the problem. If it is,
5 I think we'd probably go trading-ready as EPA's offered in
6 their rule, so that it would be an open market. Whether that
7 be mass, or rate, or whatever we end up with.

8 MR. COWART: Before I turn it over to you, I want
9 to echo what Sue just said about the success of the RGGI model
10 actually being dependent upon the success that the states had
11 in implementing efficiency and renewables policies outside
12 of the trading regime. And you sometimes get into these
13 arguments, and I have been in these arguments with the
14 European Commission recently, there are those who actually
15 oppose efficiency standards in Europe on the grounds that if
16 we implemented all this efficiency, the carbon price would
17 be lower.

18 And this argument is actually made with straight
19 faces by people who believe that really high carbon prices
20 are the only way to drive change in society. And I just want
21 to alert people to the fact that I think in the U.S. We're
22 doing a much better job of advancing the so-called
23 complementary policies to allows us to reduce emissions at
24 a much lower cost than would be the case if we were relying

1 on the hammer of a high carbon price as our only tool.

2 And the EPA deserve credit actually and the
3 entire process that you've gone through to recognize and
4 build on that reality.

5 MR. CULLIGAN: And I would want to sort of
6 amplify what Sue said. I think maybe, and she might have made
7 this very clearly, and I maybe don't need to repeat it. But
8 that under a mass-based approach one of the virtues of it is
9 you don't have to show EPA how you're going to meet the mass.
10 You have a regulatory requirements to meet the mass. It is
11 now federal enforceable. We have assurance that that mass
12 is going to be met. We've seen programs work before. And
13 how you have all sorts of flexibility to change the energy
14 policies that underlie that if there's changes in
15 technologies you want to take advantage of, or whatever
16 happens. And they don't require a planned review.

17 Whereas the state measures approach potentially
18 the ERC approach, where you might want to then create new
19 ERCs, because it was something you weren't valuing that you
20 now want to value. It's more challenging to, I think, be
21 nimble as the world changes, and let those changes happen sort
22 of in the energy arena, and not get into the emissions arena
23 as much. And I think there's real value to that.

24 MS. TIERNEY: You said that way better.

1 MR. COWART: Please, join me thanking the panel.

2 (Applause) We appreciate it. And I know
3 you all are incredibly busy giving
4 presentations much like this in a lot of
5 different venues, so we appreciate your
6 coming to the committee.

7 Sue, you will take it from here.

8 MS. TIERNEY: I think we have about 15 minutes
9 on the agenda to have the committee members weigh in on their
10 ideas to share with the new working group on the Clean Power
11 Plan. So, again, this is my first meeting. I'm not sure
12 what's happened before. Here's what I understand. I
13 understand that Carl and others have put their hands up about
14 forming a working group. Thanks guys, very much. And that
15 they would like this working group to focus on things that
16 are really helpful to DOE at this point in terms of weighing
17 in on advice.

18 I understand that Carl is the leader of that
19 group, is that right? I'm looking at Rich.

20 MR. COWART: That can be changed. But at the
21 moment that's the case.

22 MS. TIERNEY: Okay. That can be changed.
23 Well, and he's on a surgery recovery bed. We can do whatever
24 we want while he's over there, you know. I know the sign-up

1 list has been circulated. If you've let it go by without
2 putting your name on and now you'd really like to be a member
3 of this group, please make sure that you do sign up. It won't
4 be your last day, you can do that.

5 I think at that least based on the preliminary
6 perspective leading up to this meeting today there were at
7 least two topics that the working group sponsors had come up
8 with that would be of usefulness to DOE. And one of them was
9 this issue of interaction of the system planning and
10 operations and visualization, and a variety of other things.
11 Maybe even institutional issues related to the Clean Power
12 Plan and how it interacts with the electric system.

13 The other topic being things that DOE might do
14 to provide either technical assistance of analytics about
15 compliance options and their costs, their feasibility, a
16 variety of other things. Those obviously need to be refined,
17 if indeed they are to be part of the scope of the working
18 group. You might have other ideas about buckets of things
19 that the group might want to weigh in on.

20 I think I have a question that might be useful
21 to ask Pat and Dave and Matt and anybody else from DOE, and
22 these questions would be when we think about the scope, and
23 we think about the timeliness of getting you information,
24 what kinds of things would it be most important to give you

1 feedback on sooner rather than later, in light of the cycle
2 of things in the Clean Power Plan? Another question to DOE
3 might be how much do we advise the Office of Electricity
4 versus other parts of DOE? EPSA is doing their analysis
5 energy efficiency renewables. And I don't really know today
6 where technical assistance stems from. And there might be
7 some work that could be supported at labs that would come out
8 of OE's budget versus somebody else's budget, so I don't know
9 about that part.

10 So with that let me ask you all what our new topics
11 to add in there. Patricia might want to mention some ideas
12 about things that would be more useful sooner. Go.

13 MS. CALLAGHAN: So my name's Caitlin Callaghan
14 and I'm the person in OE who's been doing all things Clean
15 Power Plan for the last almost two years now.

16 MS. TIERNEY: Hi, Caitlin, thank you.

17 MS. CALLAGHAN: Hi. So I just wanted to raise
18 a few things that might help kind of scope this conversation.
19 The Department does have a lot of different technical
20 assistance opportunities that it provides through a variety
21 of different programs, OE being one of them. That technical
22 assistance spans a lot of different things, and OE, in
23 particular, we focus on the electricity policy side of
24 things. The Energy Efficiency and Renewable Energy office,

1 they need to focus within their domain. EPISA's got sort of
2 another arm of that, which is a little bit broader looking
3 at the energy sector as whole. But we've assembled is
4 actually a TA work group within the department that pulls all
5 of these different pieces together. So that when states come
6 in with different inquires, we can tap the appropriate people
7 and figure out how to address those requests.

8 The one thing I will say that in terms of sort
9 of scoping this conversation that's helpful just to keep in
10 mind, and I don't know if Kevin is still in the room. But
11 we have to keep in mind the fact this is an EPA rule and that
12 EPA gets to decide what actually satisfies compliance. So
13 we're trying to be very sensitive to that fact and also to
14 the fact that the federal plan, as well, as the proposed model
15 plan are actually proposed, so that's an area where it's a
16 little bit sensitive for the Department to do too much. Just
17 because we know we will going back through the process of
18 interagency review in anticipation of EPA releasing a final
19 version of those documents. So I just wanted to throw that
20 stuff out there.

21 And then if others want to contribute in terms
22 what they've heard and think would be helpful in terms of
23 providing information, resources, that kind of thing for
24 folks that are tackling this issue.

1 MS. TIERNEY: That was very helpful. Thank you.

2 Yes, Merwin?

3 MR. BROWN: I'll probably regret saying this,
4 because one it's based on limited data, and two it is leaping
5 therefore to a conclusion, and maybe not a conclusion but at
6 least food for thought. But I'm 71 years old and my career's
7 essentially behind me anyway, so.

8 MS. TIERNEY: Don't say that.

9 MR. BROWN: But this panel, for example, I asked
10 them a question about the magnitude of the issue involved,
11 particularly for the electric grid, which is kind of our focus
12 here. And I do talk to a lot of other people, various venues
13 about this, and I think one, I'm not convinced that the
14 policymakers and the people involved with that side of it
15 really understand the magnitude of the issue. I'm not saying
16 it's a wrong policy. I'm just saying I don't think they
17 understand.

18 MS. TIERNEY: Which policymakers do you have in
19 mind when you're saying that?

20 MR. BROWN: Almost any of them.

21 MS. TIERNEY: All of the above.

22 MR. BROWN: All the way from state regulators to
23 federal levels, with one exception at least maybe the agency
24 in this room which is DOE. And I think even in this case for

1 some reason, if I look at the canaries in the coalmine, which
2 I would say California and Germany represent two of those that
3 are kind of at the frontier of this, I think they're
4 understating the problem. And for reasons I'm not totally
5 sure. I'm not sure whether it's bad assumptions, or it's
6 considered good politics, or good finance maneuvers.

7 So I offer this as just an opportunity for us to
8 open our eyes and watch as we go forward, if you'd all accept
9 what I'm saying here. I think we ought to watch to make sure
10 that we aren't not being told the full magnitude of the issue
11 of what it's going to take to make this happen. And by take,
12 I mean it boils down to frankly we've mentioned institutional
13 problems, there's no doubt about it, those are the biggies
14 right now. But I do believe there are a number of
15 technologies that are going to be dramatically needed. And
16 by the time we really find out we need them, it'll be too late
17 to get them in place.

18 So I'm just going on record as saying that, for
19 what it's worth. I'm not gonna ask any of you to buy into
20 it and take action, other than keep your ears and eyes open
21 for the possibility that I may be correct in this.

22 MS. TIERNEY: Thank you.

23 MR. COWART: Can I just ask for a clarification
24 from Merwin?

1 MS. TIERNEY: Yeah.

2 MR. COWART: Were you talking about the Clean
3 Power Plan? Or are you talking about the real problem which
4 is what happens after 2020 and 2030? It sounded like you were
5 talking to the longer range problem.

6 MR. BROWN: Yeah. I think so. I'm talking
7 about the overall problem of the climate change issue and what
8 it's gonna take to (possible dropped words due to new tape)
9 And, yeah, this is just one piece of it. But it's setting
10 the stage and it's setting things into motion.

11 I guess I'll argue why I think it's what's
12 happening with the industry posturing right now, is they are
13 so used to having been caught overstating the problem and
14 crying wolf, that they've kind of gone back off into the other
15 direction because they feel a sense of lack of credibility
16 in this kind of thing.

17 But I think there's also other reasons. There's
18 political reasons, etcetera. And the only reason I say that
19 is I talk to people who are in the rank and file of these
20 organizations who are having to deal with this. And, while,
21 yes, they could be overstating the problem, my radar is
22 telling me actually they're uncovering the tip of an iceberg
23 that's coming up.

24 But I do think one, there are solutions. I think

1 there are technical solutions to these, as well as
2 institutional ones. But I'm not sure that the magnitude
3 is -- I'm rambling and I'll quit. I think I answered your
4 question.

5 MS. TIERNEY: Thank you. And that was a helpful
6 addition. So I think actually I saw Anjan, Janice are you
7 still up?

8 SPEAKER: You know, I know you're a legislature
9 and I feel that --

10 MS. TIERNEY: Thank you very much, Jeff. Thank
11 you. Jeff and then Wanda, then Paul, and I think that might
12 be. You have to make very short, brief comments.

13 MR. BOSE: Let's see. Along the lines of my last
14 question, what worries me about this whole process that I
15 heard of both from the state side and from the various people
16 in the first panel is that who's looking at the big picture.
17 Who's thinking about the planning horizon that's 20 years
18 from now? Because we've heard that the Clean Power Plan is
19 kind of a glide path until 2030 or so. And what's worrying
20 me is that it used to be before that the generation plant,
21 I think Mark Lauby said this, the generation plan was decided
22 on various reasons and then we sort of laid out the
23 transmission plan. And now it seems that the generating
24 plans are being decided more by Clean Power Plans and RPSs

1 and so on. And it's not clear to me that there are people
2 who are looking at the big transmission of it, partly because
3 transmission is getting more difficult to build.

4 But we are looking at long enough time spans that
5 we ought to be thinking about the transmission lines right
6 now, to be able to build them or 10 or 15 years from now, to
7 be able to have them running 10 or... I worry about the fact
8 that people, if you depend completely on local distributed
9 resources to make this up, that all of this wind generation
10 that's available in the Midwest are going to get stranded.
11 And we're not going to be taking advantage of it. These are
12 issues that only a big picture can take. You know, I don't
13 think Southern Cal Edison can solve this problem. I don't
14 think even MISO can solve this problem. It's got to be
15 somebody looking at the whole interconnection.

16 MS. TIERNEY: I'm gonna take that as a comment.
17 Thank you very much. Jeff?

18 MR. MORRIS: Thank you. I think I have a comment
19 to offer, too. And I'll try to be as concise as possible.
20 You know on the ground in the States there's a whole slew of
21 acceptance. I'll use the five stages of grief maybe as the
22 backdrop. But there are some states that are gonna try to
23 barrel ahead, and I probably come from one of those states
24 out in Washington. There's some states that are gonna fight

1 this to the bitter end, you know, both legally. There are
2 some states are between them might have executive branches
3 that want to embrace it, but the legislature that probably
4 passed this authority to the executive branch in 1972 when
5 the Clean Air Act was passed way back then.

6 And I think what this group should do and what
7 DOE should do is provide tools that provide as much factual
8 based transparency around decisions. And if you look at the
9 McKenzie Abatement Curve for greenhouse gas reduction, as a
10 state policymaker there's a universe within that curve of
11 stuff that qualifies underneath the Clean Power Plan, but
12 what we don't have is to know if we fight this to the bitter
13 end, on a Gant type chart what options, from a cost
14 perspective, are not gonna be available to us if we wait?
15 Because the biggest disconnect with policymakers is the time
16 it takes to actually plan, permit, and construct something.
17 And if you wait until the bitter end and there's this
18 compliance state, you may not have low-cost options and
19 people need to know that they're doubling down on cost for
20 their constituents and ratepayers if they wait.

21 So that's the example. I'm not saying that what
22 the magic bullet, but that's an example of kind of factual
23 based data that's lacking and provides transparency in the
24 decisions that people are gonna make. And there's a couple

1 other complexities, too. I think scope's important on this,
2 because like in our state, we have 63 electric utilities,
3 three are regulated, the other 61 are publics of different
4 type. Some of them have their own resources. You know, a
5 utility commission can decide to rate base or do cap and trade
6 with the regulated ones, but the publics are gonna have to
7 decide on their own, unless the legislature steps in and
8 forces them to do it a certain way. So that's the complexity.

9 There's a tax question. I was kind of talking
10 here, because I'm not sure it's within the scope of DOE, but
11 when you unbundle and monetize values around a regulatory
12 construct and it's not with the delivery of power, you've
13 created a whole separate sales tax issues for states. And
14 that's not really been taken out by either EPA and the rule
15 making, or anyone that I've seen so far. But there's a sales
16 tax implication when you do that. So I'm sure within the
17 scope of the DOE, but there's all these loose end at the state
18 level that need to be cleared up. And I think anything that's
19 transparency and provides data, is gonna be useful.

20 MS. TIERNEY: You know that is the first time
21 I've heard that said. And you're probably the first
22 legislature from a state that I've been in a meeting with
23 (laughs). Nice job of adding that one to the table. Wanda?

24 MS. REDER: My comment's really building on some

1 of the things that already been stated here. But, you know,
2 I do think that DOE has an opportunity to provide a technical
3 overlay from what the policymakers probably have had in this
4 journey. And I really think that it's the obligation of the
5 DOE to look at the reliability and resiliency in the process.
6 And perhaps some scenario analysis looking forward on what
7 could happen from a really big picture perspective would be
8 useful.

9 I would encourage DOE to peel back the layers of
10 the onion and look at it from a use case perspective so that
11 you are understanding what's difficult? When are we on the
12 hairy edge from an operating perspective and conditions.
13 And what kinds of either technology from grid transformation
14 do we need to provide. And that may fuel some of the
15 portfolio that you invest in along the way. And the same way
16 with the tools for transparency.

17 But, again, back to the idea that I really think
18 the reliability and resiliency of the infrastructure is core
19 to DOE's purview and that should be a focal point as you think
20 about the big picture and the technical overlay.

21 MS. TIERNEY: Thank you. Paul?

22 MR. CENTOTELLA: So a couple of comments. First
23 of all, specifically on Clean Power Plan it strikes me that
24 number one, you've got a historical situation where in the

1 States air regulators and energy regulators typically don't
2 talk to one another very much. And secondly, even in places
3 where they may be talking to one another most state and
4 regulatory commission don't have models that can do
5 production costing and could actually tell them in any detail
6 what the impacts of particular policies might be.

7 So it strikes me that as good as there are some
8 energy knowledgeable people in U.S. EPA, it would be very to
9 helpful to have some sort of liaison between DOE and the EPA
10 in terms of educating air regulators about some of the things
11 that you know that aren't necessarily known either in the
12 states or in EPA. And I think that might be something that
13 would be a nice interagency cooperation as you move forward.

14 MS. TIERNEY: Thank you, Paul. I just have one
15 comment to make myself. I was really privileged to be a
16 member of the four person peer review panel that went along
17 side of the California, the six utility studies on deep
18 penetration of renewables. And it included Dan Arvizu from
19 ENROL, formally from BPA. And Severin Borenstein.

20 The reason I mention that group is that people
21 had different angles on the problem, technical, economic,
22 operations, policy. And one of the conclusions that we came
23 to after seeing the modeling done and hearing the utilities
24 interact about the operation issues was that policymakers,

1 and sorry Jeff, I'm going to say this in your presence.
2 Policymakers sometimes get enamored with a goal. You know
3 let's do 50% renewables by date X. And then the people who
4 have the operational responsibilities go off and have to
5 figure out how to do that. But there are these real
6 institutional public policy things that have to be also
7 adopted by, in order to make it work.

8 And so maybe something that DOE can also do is
9 connect dots in a transparent way for public policymakers in
10 states about those other institutional and policy issues that
11 have to accompany the more concrete operational plans of
12 things. Without telling them what to do, but of course just
13 identifying these are the kinds of things that will either
14 rub things raw or facilitate solutions.

15 So with that, we will include Carl back in the
16 conversation. We'll figure out what this working group's
17 gonna do. And Rich, it's back to you.

18 MR. COWART: All right. Thank you. I need to
19 ask whether any member of the public has signed up to make
20 a statement. The answer is no. We have no additional
21 business at this time. So this meeting can be adjourned.
22 Thank you all very much for putting up with an early start
23 this morning, but we can -- oh yes. We're gonna have one
24 thing. One additional announcement before you depart.

1 Thanks for being here. Thanks for your work on
2 the committee. And I look forward to seeing you next time
3 and on numerous phone calls in-between now and then. Janice,
4 has an announcement.

5 MS. LIN: Thank you, Richard. Given all the
6 discussion on energy storage in the last two days, I wanted
7 to extend a warm invitation to everybody here to come to our
8 green connected storage conference in two weeks in sunny San
9 Diego. In fact, some folks in this room are coming and
10 speaking at this event. But it's the largest gathering of
11 the ecosystem on grid connected energy storage and all its
12 applications. And we this year have great, great program.
13 It's three days of everything you wanted to learn about and
14 what's current on how energy storage is being used in the
15 grid. So I hope to see you. And I'll send a quick e-mail
16 with more instructions and a discount code. And contact me
17 if you need help, because we have a scholarship program, too.
18 Thanks.

19 MS. TIERNEY: Hey, Rich, can we give a big
20 sendoff to this almost former regulator? (Laughter) Her
21 last one hour as a regulator. (Laughter)

22 MR. COWART: I'm happy to recognize her new
23 status. But as a member of this committee, she just comes
24 right back. (Laughter)

1 HONORABLE WAGNER: Just change the name and get
2 rid of the honorable part. (Laughter)

3 Mr. COWART: Congratulations on your service and
4 we look forward to your future service.

5 HONORABLE WAGNER: Thank you. (Applause)

6 MR. SHELTON: Richard, the Energy Storage
7 Subcommittee is doing a working group from 12:00 to 3:00.
8 It's in our building. The AS Building is right through those
9 windows, that building you see, it's the 9th floor there.
10 And lunch should be there by the time you get there.

11 (Whereupon, the PROCEEDINGS were
12 adjourned.)

13 * * * * *

1

1 CERTIFICATE OF NOTARY PUBLIC

2 I, Carleton J. Anderson, III do hereby certify
3 that the forgoing electronic file when originally
4 transmitted was reduced to text at my direction; that said
5 transcript is a true record of the proceedings therein
6 referenced; that I am neither counsel for, related to, nor
7 employed by any of the parties to the action in which these
8 proceedings were taken; and, furthermore, that I am neither
9 a relative or employee of any attorney or counsel employed
10 by the parties hereto, nor financially or otherwise
11 interested in the outcome of this action.

12

13 Carleton J. Anderson, III

14 (Signature and Seal on File)

15

16 Notary Public in and for the Commonwealth of

17 Virginia

18 Commission No. 351998.

19 Expires: November 30, 2016