

UNITED STATES DEPARTMENT OF ENERGY

ELECTRICITY ADVISORY COMMITTEE MEETING

Arlington, Virginia

Wednesday, September 28, 2016

1 PARTICIPANTS:

2 JOHN ADAMS
Electric Reliability Council of Texas

3
4 AKE ALMGREN
Orkas Energy Endurance Inc.

5 GLEN ANDERSON
NCSL

6
7 WILLIAM BALL
Southern Company

8
9 PATTIE BARFIELD
Department of Energy

10 JEREMY BEDINE
Johns Hopkins University

11
12 KURT BILAS
Midcontinent ISO

13
14 GIL BINDEWALD
Department of Energy

15
16 ANJAN BOSE
Washington State University

17
18 LANEY BROWN
Modern Grid Partners

19
20 MARILYN BROWN
Georgia Institute of Technology

21
22 MERWIN BROWN
California Institute for Energy and Environment,
University of California

CAITLIN CALLAGHAN
Department of Energy

JAY CASPARY
Southwest Power Pool

1 PARTICIPANTS (CONT'D):

2 PAUL CENTOLELLA
Paul Centolella & Associates, LLC

3

4 KERRY CHEUNG
Department of Energy

5 CHRISTOPHER CLACK
University of Colorado, Boulder

6

7 MEGAN CLEVELAND
NCSL

8

9 LELAND COGLIANI
Lewis-Burke

10

11 MEGHAN CONKLIN
Department of Energy

12

13 PHYLLIS CURRIE
Pasadena Water and Power (Ret.)

14

15 LIZ DALTON
Department of Energy

16

17 JOCELYN DURKAY
NCSL

18

19 KATE GEHRINGER
Department of Energy

20

21 CLARK GELLINGS
Independent

22

23 DEVIN GLADDEN
Department of Energy

24

25 PATRICIA HOFFMAN
Department of Energy

26

27 GORDON FELLER
Cisco

1 PARTICIPANTS (CONT'D):

2 RACHEL FINAN
ICF

3

4 PATRICK HUGHES
National Electric Manufacturers Association

5 PRAVEEN KATHPAL
AES

6

7 JOYCE KIM
Department of Energy

8 CATHERINE JOHNSON
University of Wisconsin

9

10 JIM LAZAR
Regulatory Assistance Project

11 JANICE LIN
Strategen Consulting

12

13 KEVIN LYNN
Department of Energy

14 MAUREEN MALLOY
ICF

15

16 ELI MASSEY
Department of Energy

17 DAVID MEYER
Department of Energy

18

19 JEFF MORRIS
Washington State House of Representatives

20 CHRIS NELDER
Rocky Mountain Institute

21

22 JAMES OKULLO
Midcontinent ISO

1 PARTICIPANTS (CONT'D):

2 DALE OSBORN
Midcontinent ISO

3 WILLIAM PARKS
4 Department of Energy

5 MELISSA PAULEY
Department of Energy

6 CHELSEA PELLECCCHIA
7 ICF

8 MICHAEL PESIN
Department of Energy

9 PAUL ROBERTI
10 Ernst & Young

11 MATTHEW ROSENBAUM
Department of Energy

12 HEATHER SANDERS
13 Southern California Edison

14 MATTHEW SCALLET
ICF

15 PAM SILBERSTEIN
16 National Rural Electric Cooperative Association

17 MICHAEL SKELLY
Clean Line Energy

18 CAITLIN SMITH
19 ICF

20 BENJAMIN STAFFORD
Advanced Energy Economy

21 SUE TIERNEY
22 Analysis Group

1 PARTICIPANTS (CONT'D):
2 DAVID TILL
North American Electric Reliability Corporation
3
REBECCA WAGNER
4 Wagner Strategies
5
LINDSAY WESTFIELD
Direct Energy
6
CARL ZICHELLA
7 Natural Resources Defense Council

8

9

* * * * *

10

11

12

13

14

15

16

17

18

19

20

21

22

1 P R O C E E D I N G S

2 (1:12 p.m.)

3 CHAIRWOMAN TIERNEY: Good afternoon
4 everybody. My name is Sue Tierney. I think I
5 know many if not all of you and it is really great
6 to see you. We have a really great way to start
7 the day and that's with an ethics briefing and
8 we're going to do that even before we go around
9 for introductions because I know that you don't
10 want to wait a minute before your ethics briefing.
11 So after that we'll do some ground rules and
12 introduce new members. The first person we're
13 going to here from is Kate Gehringer. Kate is
14 from the General Counsel's office at the
15 Department of Energy and as you know we are a
16 Federal Advisory Committee and we have special
17 duties and responsibilities including ethical
18 behavior. So Kate, it is all yours.

19 MS. GEHRINGER: Thanks Sue. I know I
20 was joking about scheduling the ethics training at
21 o'clock, which is the post lunch sleepy
22 time but hopefully we can do this quick and

1 interesting enough to keep you all awake. I know
2 that there is a mix of special government
3 employees and representatives on this Committee so
4 I'm thankful for the representatives sitting
5 through this even though some of this won't apply
6 to you. I think the overall principles are
7 important for you to sort of be aware of. I also
8 know that some of you have sat through this
9 presentation a couple of times already in prior
10 years so that is where I count on you to correct
11 me if I'm wrong.

12 The first thing we're going to talk
13 about is conflicts. We have two types of
14 conflicts. There is a financial, conflict and one
15 that is based on relationships. In general, the
16 overarching principle is that federal employees
17 including those serving as special government
18 employees who are on advisory committees are
19 prohibited by a criminal statute from
20 participating in a particular matter that has a
21 direct and predictable effect upon their financial
22 interest or the financial interest of those whose

1 interests are abutted to them and that means your
2 spouse, a minor or dependent child, if you are a
3 business partner in an organization. So we'll
4 start with what is a particular matter and then
5 we'll talk about how your duties here could
6 directly affect a financial interest.

7 So there are three types of particular
8 matters and we like to think of it sort of in a
9 funnel. The first types are matters that are
10 broad, theoretical discussions where you can't say
11 with certainty who or what will be affected.
12 These are generally where they are large policy
13 issues. These don't present a conflict.

14 The second level, the middle of the
15 funnel is where there are Committee matters that
16 are more specific and you can identify a
17 particular group of entities that will be affected
18 by your duties. So if you are making a
19 recommendation that will affect all national
20 laboratories and you work for one of the labs so
21 that's where we're funneling down and your
22 financial interest is more affected.

1 The third level is where there is a very
2 narrow focus on an entity or a person who is
3 specifically effected by the matter. This is
4 going to be things like a grant, a contract,
5 things like that. If a specific grant were to
6 come before this committee for discussion that's
7 the kind of thing we'd be talking about there.

8 So we're going to go back through the
9 funnel and say how do we handle conflicts that are
10 presented by those. So the broad issues like I
11 said those aren't really going to present a
12 conflict because we can't find a direct and
13 predictable effect on any one entity by those.
14 For the middle of the funnel when the conflict for
15 those that are affecting the identifiable group of
16 entities there is an exemption for special
17 government employees where if your financial
18 interests is arising from your employment interest
19 you do not have to recuse yourself from those
20 matters. So that means that in general, if I had
21 an outside job as a federal employee I would have
22 to recuse myself from anything that would affect

1 that company but you do not have to do that for
2 these middle matters where it is sort of a group
3 of entities as opposed to a specific entity.
4 However, when we get down to the bottom of the
5 funnel and we get down to those narrowly focused
6 matters there is no exemption. So this applies to
7 all of your financial interests including stocks
8 and other things and also your employment. So you
9 should be recusing yourself if anything comes
10 before the Committee that would have a direct and
11 predictable effect on your employer when we get
12 down to that level.

13 This also we like to apply this one to
14 representatives as well. We like to encourage you
15 to not participate if there is something that
16 could directly and predictably effect your
17 employer in that very narrow bottom of the funnel
18 kind of way.

19 The other type of conflicts is those
20 based on a personal relationship. This is a
21 regulation so it is not a criminal statute but it
22 is basically saying that there are certain

1 personal relationships that give rise to an
2 appearance that you cannot remain impartial and
3 your performance of your duties as a special
4 government employee. The regulation calls these
5 covered relationships and the covered
6 relationships, there is a whole laundry list of
7 them, I'm going to not give all of them to you.
8 It is a person other than a perspective employer
9 with whom you seek to do business. A person who
10 is a member of your household or a close personal
11 relative. A person for whom your spouse or
12 dependent child seeks to serve or does serve as an
13 officer, director or employee. A past employer
14 who you've worked for in the past year or an
15 organization in which you have been active, for
16 example if you're an active member in an
17 environmental group and something effecting that
18 group comes before this committee. So this is
19 based on this reasonable person standard that or
20 this is based on the appearance issues. So if
21 something comes before you where you have a
22 covered relationship you should not participate in

1 that matter if the person or entity with whom you
2 have the relationship is a party or represents a
3 party. If you run into this situation we
4 typically ask you to recuse yourself. However, in
5 certain limited circumstances we can authorize you
6 to participate even with this covered relationship
7 and that is something that, if it comes out, the
8 feds can reach out to me and we can talk through
9 it and see if that is something we'll be able to
10 do.

11 Other ethical restrictions. Misuse of
12 government position. You may not use your
13 official title as an SGE or the resources that you
14 have access to as an SGE when you're conducting
15 any business other than that related to the work
16 of this Committee. You cannot use your access to
17 any of the public officials or any non-public
18 information that you may receive for anything
19 other than Committee work.

20 There is also, as an SGE, you are
21 prohibited from making representations on behalf
22 of a third party before the government with

1 respect to matters you are engaged in as an SGE.
2 So what this means is if your organization or
3 company is going to speak to DOE about matters
4 that you guys discuss here, you should not be the
5 one who is talking to DOE on behalf of your
6 organization. I know because I saw them, you all
7 completed your financial disclosure reports. You
8 will have to do that again next year; this is just
9 a warning. It will be about the same time and
10 then you will hear from me or somebody else from
11 my office again next year. The whole point of
12 this is to just give you a basic understanding of
13 how financial interests and these other conflicts
14 could come up. Does anyone have any questions?

15 CHAIRWOMAN TIERNEY: Just remember that
16 everybody should use the microphone.

17 MS. LIN: Thanks. My question is
18 related to the misuse of government position and
19 would it be okay -- is it then not approved to
20 list this role in like a public bio?

21 MS. GEHRINGER: That's fine because it
22 is a position that you hold. This is more in

1 terms of if you were trying to work with DOE or
2 any other agency and you said I am a special
3 government employee, I work on this commission and
4 try to use that to give yourself increased access.
5 It is sort of when you are using it for the gain
6 of someone else. Does that distinction make
7 sense?

8 MS. LIN: Okay great.

9 MS. GEHRINGER: Anyone else?

10 MR. LAZAR: Is there any problem listing
11 that appointment as part of a biography like if
12 I'm being introduced at a conference as a member
13 of the EAC?

14 MS. GEHRINGER: Right and yes that's
15 fine. What we generally do with our non-special
16 government employees we say when you're not doing
17 DOE related work it should be one of at least
18 three things in your bio so it doesn't get undue
19 precedence and undo prominence in your bio. But
20 if you're saying you work for whoever, you've
21 worked in the field for however many years and
22 you're also a member of the EAC, that's fine.

1 CHAIRWOMAN TIERNEY: Does anybody else
2 have any questions?

3 MS. GEHRINGER: One more.

4 MR. ADAMS: I am actually wanting to
5 advocate that the company I represent apply for a
6 FOA that is going out from DOE. It is nothing
7 we've supervised, it is independent. I'm thinking
8 there is no problem with that.

9 MS. GEHRINGER: Right it is unrelated to
10 work that you have done on this Committee then
11 you're fine.

12 MR. LAZAR: I've got a Hatch Act
13 question. Does that Hatch Act apply to us? Can I
14 serve as a precinct officer for a political party?

15 MS. GEHRINGER: Hatch Act applies to you
16 when you're doing this work and the same things
17 that when you know you're on government time you
18 shouldn't be engaging in political activity. For
19 those of you who don't know, the Hatch Act is
20 restrictions on partisan political activity for
21 federal government employees. When you're using
22 DOE time you should not be engaging in political

1 activity. Regardless, you're allowed to be a
2 precinct captain as long as it is outside of here
3 and you're not wearing your DOE shirt.

4 MR. LAZAR: I had a financial conflict
5 question. My IRA holds mutual funds. Many of the
6 mutual funds hold energy stocks. Is that diffuse
7 enough?

8 MS. GEHRINGER: Right so mutual funds
9 are treated a little differently than direct stock
10 interest and if they are what we call diversified
11 funds it should be fine. Where we get into a
12 little more concern is with sector funds where if
13 you have an electricity sector fund, but this is
14 where having a direct and predictable effect on
15 that fund is going to be really hard to do at the
16 level of what I understand the work is here. To
17 the extent that any of you have energy or
18 electricity related sector funds I know a lot of
19 you did disclose them on your financial disclosure
20 reports and I've talked through the agenda for
21 this meeting to make sure nothing is going to
22 create a conflict.

1 CHAIRWOMAN TIERNEY: Great questions
2 everybody. You get one more chance to come up
3 with some question. Thank you very much Kate.

4 MS. GEHRINGER: No problem, thank you.

5 CHAIRWOMAN TIERNEY: For those of you
6 who, like me, have worked for either federal or
7 state government this is part of the privilege
8 that we have in working for this. I know every
9 one of you is not being paid for your service
10 here. It is great work that you are doing and
11 going out of your way to do that and it is with
12 this wonderful burden that you also hold in doing
13 this in a highly dignified and ethical way. So
14 thank you Kate for that and thank you everybody
15 for your service. We didn't mean to intimidate
16 you with that but we figured we would get it under
17 our belt.

18 So with that, let me welcome you really
19 more officially. We have so new members here
20 today. I'm just going to go around and do a
21 couple of ground rules and explain what we're
22 going to be doing and then let's go around and

1 everybody introduce ourselves. Probably some
2 people don't know everybody. Maybe even give 30
3 seconds on what role you play in your
4 organization. Before doing that everything that
5 we're saying here is publically available. This
6 is being recorded so just keep that in mind as
7 you're asking questions, as we're having
8 discussions. I'm not suggesting in any way that
9 you would change your behavior but I want you to
10 know that that's the case. Federal advisory
11 Committees are public entities and we are glad to
12 know that the public has a right to come. On that
13 note, members of the public will have a chance to
14 make comments during our meeting so if anybody is
15 here and would like to comment please sign up
16 outside and we welcome that chance later on today.
17 So that will be great. So let's do that by going
18 around and we'll start with our one legislature
19 who is here amongst the group. Introduce
20 yourself, say your organization and then something
21 very briefly about yourself.

22 REP. MORRIS: So I'll set the example

1 for brief then. I am Representative Jeff Morris
2 from Washington State, finishing my 20th year with
3 my political hobby. I Co- chair the National
4 Legislative Energy Task Force. Co- founded the
5 Northwest Energy Angels, (inaudible) the Northwest
6 Energy Technology collaborative and glad to be
7 here.

8 MS. CURRIE: Phyllis Currie. I retired
9 last year as General Manager of the Pasadena Water
10 and Power Department in the City of Pasadena and
11 I'm currently on the Board of (inaudible).

12 MR. CASPARY: Hi, Jay Caspary. I'm with
13 Southwest Power Pool. I'm a director in our
14 engineering group and I've been there about 15
15 years with about 35 years of utility experience.
16 I'm responsible for research development and
17 tariff services. Tariff services are related to
18 generation interconnections, transmission service
19 and that is becoming a bigger and bigger challenge
20 on our system with all these renewables so glad to
21 be here.

22 MR. GELLINGS: Thank you, Jay. I'm

1 Clark Gellings. I have spent most of my life with
2 EPRI, Electric Power Research Institute, retired
3 earlier this year. Thank you.

4 MR. ALMGREN: I'm Ake Almgren. I work
5 at my consulting company and I also served on the
6 Board of PDM. My background is 25 years
7 (inaudible) company with everything
8 from low wattage all the way up to
9 HVDC. Also a background in
10 distributed (inaudible).

11 MS. LIN: Thanks. My name is Janice Lin
12 and I'm the CEO of Strategen Consulting. We do
13 clean energy advisory work around the country and
14 globally. I wear other hats too. I'm the
15 co-founder and executive director of the
16 California Energy Storage Lands and the co-founder
17 and chair of Energy Storage North America which is
18 a storage conference that is happening next week
19 in San Diego and I also cofounded GESA the Global
20 Energy Storage Alliance which is a 501 C3
21 facilitate collaboration and sharing of best
22 practices on storage globally.

1 MS. SANDERS: I'm Heather Sanders. I've
2 been with Southern California Edison for about a
3 year. In that role I do a variety of things. I
4 run our sub-transmission planning group. I run
5 our environmental licensing group and I also do
6 integrated grid strategy and engagement which is
7 about furthering grid modernization investments
8 that are needed to offer our customers the choices
9 they are asking for. Prior to Edison I was at the
10 California ISO for six years. I was the director
11 of regulatory affairs for distributed energy
12 resources and I also was the director for Smart
13 Grid Technology and Strategy before that. The
14 biggest contribution lately has been the road maps
15 that are driving policy in California around
16 energy efficiency demand response, energy storage,
17 and vehicle grid integration.

18 MS. LANEY BROWN: I'm Laney Brown, vice
19 president of Grid Modernization Strategy at Modern
20 Grid Partners. I've been there for about six
21 months working with utilities on grid
22 modernization strategy in Canada and the U.S.

1 Prior to that I worked for (inaudible) USA as
2 director of smart grid strategy working on both
3 implementation smart grid but also looking at
4 regulatory strategy and implementation.

5 MR. BALL: I'm Billy Ball. I'm the
6 chief electric transmission officer at the
7 Southern Company. I've pretty much did
8 transmission stuff for a good long time and not as
9 an independent thus far.

10 MR. ROSENBAUM: Hi I'm Matt Rosenbaum.
11 I'm the director of Grid Technical Assistance part
12 of DOE. As far as this Committee goes I'm the
13 designated federal officer so I organize the
14 Committee and bring all you guys together and
15 hopefully it is an enjoyable experience. I've
16 been with DOE 12 years as part of the larger 25
17 years in the government.

18 MR. MEYER: I'm David Meyer. I'm the
19 senior advisor in the Office of Electricity at
20 DOE. I work on transmission policy issues and
21 grid modernization questions. Lately I've been
22 working on a task force focused on Aliso Canyon

1 and its implications for both the gas and electric
2 industries.

3 MS. CONKLIN: Hi everyone I'm Meghan
4 Conklin. I'm a deputy assistant secretary at the
5 Department of Energy in our Office of Electricity.
6 I'm the deputy assistant secretary for our
7 division called transmission planning in technical
8 assistance. We have a number of regulatory
9 responsibilities for proposed transmission
10 projects being reviewed by the DOE and also do a
11 fair amount of work on technical assistance
12 states. Pleased to meet all of you.

13 MS. HOFFMAN: I'm Pat Hoffman and I
14 think I have a little bit of time of the agenda.

15 CHAIRWOMAN TIERNEY: I'm Sue Tierney.
16 I'm just starting as the Chair of this group so if
17 I'm growing with you that may be some explanation.
18 I've had a couple of careers most recently as a
19 consultant at the Analysis Group. I used to live
20 in Boston for 35 years but I am a Colorado Rocky
21 gal now. I served in Massachusetts government for
22 many years in environmental and utility regulation

1 issues and had the honor of working at the DOE for
2 many years. I just love everything about this
3 industry so I'll leave it there.

4 MR. ZICHELLA: Carl Zichella with the
5 Natural Resources Defense Council. I'm the
6 director of western transmission so that means I
7 have the worst title in the environmental movement
8 because nobody likes transmission except for
9 seemingly me. My job there is to work on our
10 little project of transforming the way we power
11 the world's largest economy.

12 MR. BROWN: I'm Merwin Brown with the
13 California Institute for Energy Environment. I'm
14 employed by the University of California Berkley
15 in that capacity. I am also chair of the Energy
16 Storage Subcommittee of this group. My background
17 is over

18 years in the electric and gas utility
19 industries either working for utilities or
20 national labs or now university mostly in the area
21 of management, energy technology development and
22 also business planning.

1 MR. ADAMS: John Adams I'm with the
2 electric reliability council of Texas. My current
3 title is principle engineer. I have worked in
4 operations most of my career. Operations engineer
5 up through various positions some of which
6 supervising the transmission grid. I've moved
7 over to market integration, resource integration
8 within ERCOT. I did an advisory position with DOE
9 for a year and they don't know what to do with me
10 now that I'm back.

11 MS. SILBERSTEIN: I'm Pam Silberstein
12 from NRECA. Welcome to Arlington. I hope you
13 traveled here easily. My current title is senior
14 director for wholesale power supply and
15 transmission issues so I'm on that side of things.
16 I deal with the markets and their various stages
17 of formation and transformation. I also do a lot
18 of work around gas electric coordination,
19 renewables integration. I'm a former fed also. I
20 spent a few years at FERC which I loved being at
21 but I do want to say to the DOE folks I know you
22 guys are in a countdown I always hated this part

1 of the congressional year and I hope the doors are
2 open on Saturday.

3 MR. ROBERTI: I'm Paul Roberti. I just
4 took a new job so my title did change from what is
5 on my card. I am now an executive director at
6 Ernst and Young working in the Mexico City office
7 on the energy reform and the electricity, natural
8 gas and oil sectors advising the federal agencies
9 and clients. Before that I was a commissioner for
10 about seven years at the Rhode Island Public
11 Utilities Commission so I've made the great
12 transition and leap three months ago. There are a
13 lot of things going on in Mexico.

14 MR. LAZAR: I'm Jim Lazar, senior
15 advisor with the Regulatory Assistance Project and
16 a new member, this is my first meeting. I'm
17 probably RAP's most prolific writer. You may have
18 seen teaching the duck to fly, renewable
19 integration strategies, smart rate design for a
20 smart planet and our book Electricity Regulation
21 in the U.S. My first rate case was in 1974 as an
22 undergraduate energy economic student. I worked a

1 30-year career as an expert witness. I've been
2 with RAP since 1998. I worked all over the world
3 with RAP but the last six years mostly in the U.S.

4 MS. WAGNER: My name is Rebecca Wagner
5 and I am almost one year gone from the Nevada
6 Commission where I served 9 years and it has been
7 the best year of my life especially given what is
8 going on in Nevada. Before that I worked for a
9 geothermal developer in Nevada and now I focus on
10 mostly regionalization of the CAISO as well as
11 other efforts for market opportunities in the west
12 as well as energy policy in Nevada.

13 MR. FELLER: My name is Gordon Feller
14 and I'm a new member of this group. I've been in
15 Silicon Valley for years and worked to bridge the
16 engineering world in tech companies where I've
17 been to the policy world so I serve on a lot of
18 boards and work with a lot of public policy
19 focused organizations not just in Silicon Valley.
20 Some of you may know for instance what we're doing
21 in clean power in the Valley through something
22 called Silicon Valley leadership group. So at

1 CISCO at the executive office at the headquarters
2 I've had a global portfolio responsible for not
3 just inventing and developing the new technologies
4 that we bring to utilities or non-utility partners
5 like ITRON who are building advanced metering
6 infrastructure and hopefully modernizing the grid
7 in the process but also working with national
8 governments as they try to prioritize their
9 investments or private investors. So we work with
10 a lot of the venture capital firms in the Valley.
11 We participate in a lot of those venture capital
12 investments with startups who are focused in this
13 area that we're focused on here. One of the
14 non-profits I'm on the board of, Meeting of the
15 Minds, is partnered with utilities, non-utilities,
16 Black and Veatch for instance, AT&T, University of
17 California, Stanford and that organization which
18 was a spinoff from the World Bank works with
19 cities to try to help them use the grid
20 infrastructure and their utility partners, some of
21 whom are owned by cities of course, to try and
22 dramatically improve the performance of the city.

1 That's one area I'm especially interested in right
2 now.

3 MR. BOSE: Hi I'm Anjan Bose. I teach
4 electrical engineering at Washington State
5 University. I've worked in electric power for all
6 my life both in industry and in academia and even
7 in government. I spent a couple of years at DOE.

8 MS. MARILYN BROWN: Good afternoon I'm
9 Marilyn Brown. I'm the Brook Byers professor of
10 sustainable systems at the Georgia Institute of
11 Technology where I've been for 10 years. Before
12 that I was at Oakridge National Laboratory where I
13 managed the energy efficiency renewables and grid
14 program. At tech, I teach in the school of public
15 policy and I run the climate and energy policy
16 laboratory and I simply try to keep one half step
17 ahead of my really smart students. So I look
18 principally at the integration of demand side
19 resources into electricity systems and I am also a
20 member of the board of directors of the Tennessee
21 Valley Authority.

22 CHAIRWOMAN TIERNEY: Well thanks

1 everybody and welcome especially to the new
2 members, it is great that you are here and some of
3 you only have a couple of meetings under your
4 belt. So this is a privilege to have this very
5 diverse and experienced group. We have the
6 pleasure that we always do really of having Pat
7 Hoffman here. She is going to give us an update
8 about what it going on.

9 MS. HOFFMAN: Thank you, Sue and I want
10 to thank everybody for being here today. As I
11 will get into my talk I always value the
12 discussions and the topics that are discussed in
13 the EAC. Since some of you aren't aware because
14 you are new I am the Assistant Secretary for the
15 Office of Electricity Delivery and Energy
16 Reliability at the Department of Energy. I spent
17 21 years in the Department. I started out in the
18 materials area. Ceramics is my background. I did
19 a little bit of work managing some R&D projects
20 for industrial gas turbines and was asked to move
21 over and take a look at the electrical space from
22 a more mechanical side of things to electrical

1 side of things. So definitely a growth and change
2 across the Department as I've had different jobs
3 in the Department but a wonderful and exciting
4 opportunity.

5 I'd like to thank Pam and NRECA for
6 hosting us, thank you very much. It is a great
7 pleasure to be able to come out to Arlington and
8 come to your facility so I really appreciate your
9 support on that. Thank you to Sue for taking over
10 the Chair of the EAC. It is a wonderful group to
11 have discussions and bring out debates and have a
12 very constructive conversation. I would like to
13 thank all the new members. I'm not going to go
14 over the list because you've all introduced
15 yourselves and talked a little bit about your
16 background but I really appreciate you supporting
17 the Electricity Advisory Committee. One of the
18 things that I will reiterate is that EAC provides
19 a lot of value to the Department. We take a hard
20 look at your recommendations. Although sometimes
21 you may feel we're not immediate at responding and
22 changing the Department's bureaucracy around some

1 of the recommendations be sure to know that we
2 take your input, we value your input and we work
3 it into our processes as we think about topics, as
4 we think about papers, as we think about
5 activities that we're moving forward. So the
6 value that I really see is once again being able
7 to get into the challenges that this industry is
8 facing, talk about the pros and cons, the
9 opportunities, what do we really need to work on,
10 what is some of the work that the industry really
11 needs to pull together and utilize, the Department
12 as a facilitator whether we do it ourselves or
13 whether we encourage other groups such as EPRI
14 engage in an activity or other entities. We're
15 going to do as much as possible to make sure as
16 issues are being brought up that we try to address
17 them in one way, shape or form. Of course budget
18 always has a little bit of an influence of what we
19 can or cannot cover. So I do want to thank you.

20 So what I thought I'd do is take a
21 couple of minutes and talk about the timeline of
22 what we started doing at the Department a couple

1 of years ago, maybe seven years ago, and really
2 looked at some of the strategic directions of
3 where we're heading.

4 The first thing I thought I'd talk about
5 is the Recovery Act and what we're trying to do in
6 building off of that. As most of you are aware we
7 had 4.5 billion which is an unusual number
8 nowadays and invested in over 330 Recovery Act
9 projects. We really wanted to look at grid
10 modernization and investment in our
11 infrastructure. We wanted to help utilities
12 accelerate their investments in their
13 infrastructure. Some of the estimates said that
14 we helped some of the utilities accelerate some of
15 their investment strategies by two or ten years.
16 I think we've had numerous benefits reports that
17 have been discussed. I know the EAC last year
18 took a deep dive review of the Recovery Act
19 projects and really I would say the recommendation
20 that I agree with is it is a good foundation for
21 us to build off of and there are still a lot of
22 important activities to do and a lot of lessons

1 learned. I know you'll hear from the National
2 Academy in their book that they put out later on
3 in the agenda but I think there are some pretty
4 synergistic recommendations by the Academy as well
5 that continues to build off of the partnership and
6 the work on the Recovery Act.

7 One of the things that I'm particularly
8 proud of that the Secretary gives me a really hard
9 time every time I talk to them is the continue to
10 push about the information technologies, really
11 building a stronger sensing data, being able to
12 look at measurements and control but actually
13 advance the information technologies in the
14 electric grid. I think we've done that
15 significantly with the phase and measurement
16 units, we've done outage management systems, we've
17 helped with the thought process. Even though it
18 was already going on in industry we still helped
19 and accelerate the process with respect to
20 distribution management systems. So a lot of
21 fundamental things that I think have gone on that
22 have been pretty impressive and exciting moving

1 forward.

2 I know that in 2014 EAC really kind of
3 dove down on some of the technology and
4 operational improvements that we wanted to
5 continue to work on in electric grid and I think
6 we're continuing to push some of those issues, as
7 well as in March 2015 part of the Smart Grid
8 Subcommittee looked at sensors and other
9 intelligent electronic devices. I think those are
10 significant things that we're trying to pull out
11 moving forward.

12 Just so you're aware earlier this year
13 we did have a synchrophasor FOA looking for tools
14 for reliability and asset management trying to
15 pull off some of the recommendations. Also this
16 past spring we announced the FOA for risk and
17 uncertainty, really looking at wholesale market
18 operations, transmission planning and demand site
19 participation. We also are looking at innovative
20 designs for transformers this past -- so we're
21 looking at advanced transformers and we had a FOA
22 out on that I think it was June of this year

1 looking for flexible transformers really going
2 into the security and resilient side of things.
3 And then this past Monday we announced a FOA for
4 sensor and modeling approaches for observability
5 and controllability. I usually use the word
6 visibility but I think I'm going to switch to
7 observability, definitely trying to go after what
8 can we continue to do more in this area. So I
9 think a lot of excitement continuing to really
10 build capabilities and look at advantages of where
11 the grid is going and how we're helping shape that
12 movement.

13 Energy storage, really appreciate the
14 Energy Storage Subcommittee. I know that the
15 Energy Storage Subcommittee is required as part of
16 EAC. But energy storage is fundamental to
17 allowing for flexibility in the system moving
18 forward. So we've been trying to build off of the
19 work under the Recovery Act. California has had a
20 mandate. Of course we've talked about this in
21 some of the EAC meetings and the 1.3 gigawatts but
22 we really want to continue to advance energy

1 storage technologies and how we can actually get
2 them in the marketplace and I know that the EAC
3 report that is coming up today with some of the
4 surveys that you all did will provide as well some
5 insight and I think very consistent with some of
6 the challenges that we see.

7 Some of the exciting things is PNNL is
8 continuing to invest in flow batteries and they've
9 looked at a new additive for conventional Vanadium
10 flow batteries. They are actually expanding the
11 operation temperature window for flow batteries
12 and they are also increasing the energy density of
13 flow batteries. So looking forward we're going to
14 try and continue to build momentum. I think that
15 type of energy storage assets looking at reducing
16 the costs but really investing things forward.

17 One of the I think philosophical but I
18 would say strategic discussions that have gone
19 over the last couple of years really goes toward
20 the integrated grid and I think it was EPRI's
21 strong push of not only do we need to look at
22 information technologies but we really need to

1 look at the internet of things and the integrated
2 grid. Whether you're talking about distributed
3 energy resources, electric vehicles or other
4 devices being connected to the grid. That is a
5 topic that I think is going to continue to grow
6 and evolve. I'm not going to get into a lot of
7 details. We've had several EAC meetings really
8 taking a look at the value of solar or looking at
9 solar technologies, looking at vehicle
10 technologies and I think that discussion has to
11 continue because at the end of the day the grid is
12 going to be more valuable based on the number of
13 things connected to it as we look at network
14 theory and I think it is very important to stay
15 ahead of what is to come so we can actually keep
16 pace of making sure we understand kind of the low
17 profiles and what does the load look like moving
18 forward.

19 One of the things that I also think was
20 valuable to note keeping in mind moving forward is
21 was the establishment of the Grid Modernization
22 Lab Consortium. I know Kevin Lynn and Bill Parks

1 have spent several EAC meetings talking about the
2 Grid Modernization Lab Consortium but we did have
3 over \$220 million that we put forward on the Grid
4 Modernization Lab Consortium. We have over
5 approximately 88 projects that we've done. Why is
6 this important, why do I bring it up is because as
7 you all know we've had different organizations
8 within the Department here at the EAC meetings.
9 It is not only just the Office of Electricity
10 Delivery and Energy Reliability but we have
11 members from ARPA-E, we have folks from Energy
12 Efficiency and Renewable Energy. And what we
13 wanted to do was make sure that the Department was
14 well coordinated in the Grid Modernization
15 Initiative to make sure that all aspects of
16 research that was going on in the Department added
17 value. We recognized that the national labs have
18 a lot of value and a lot of technology and a lot
19 of research that they're working on. But we think
20 and we feel that we can get a greater gain by
21 getting everybody to work together and develop
22 larger more integrated projects with a stronger

1 strategy around that. So we've been pushing that
2 very hard to make sure that the department is well
3 coordinated, that we can come to you with one
4 voice and really talk about what some of the
5 priorities are and what some of the directions
6 are. Given that there can be differing opinions on
7 research or strategic directions in the
8 Department. So I think that is important that we
9 keep that going and we keep adding value so that
10 we're actually being supportive to this industry
11 and so I appreciate the Committee continuing to
12 review the GMLC projects and really I hope you
13 continue to push us hard to make sure that we pull
14 together the projects and we keep adding value for
15 the industry.

16 Probably two or three other areas I just
17 want to touch base really quick is one is the
18 public private partnership. Some of you are aware
19 that under the Critical Infrastructure Protection
20 Advisory Council we also have the Electric Sector
21 Coordinating Council and the Oil and Gas Sector
22 Coordinating Council. We've been trying to work

1 very hard from the security side of things to work
2 with the CEO's and the leadership of the industry
3 in an emergency and emergency events. I say that
4 our relationship is quite strong in being able to
5 coordinate with the electric sector in moving
6 forward looking at whether it is a hurricane,
7 whether it is a cyber security event or whether it
8 is another event. I think it is very important
9 for us to have that relationship and have the
10 capabilities to make sure that we're addressing
11 issues and that we're able to lean forward as we
12 look at any emergency that potentially could occur
13 in the United States.

14 But not only should we think about
15 current threats, I think we should also think
16 about what potentially could be coming down the
17 line. So the last Electric Sector Coordinator
18 Committee meeting we actually had at Sandia
19 National Laboratories and it is something that we
20 should think about looking at, the value of the
21 National Labs, and we did spend some time there
22 looking at electromagnetic pulse (EMP) and some of

1 the EMP challenges moving forward.

2 So as I close up here there is probably
3 two areas that I also want to have everybody keep
4 on their radar which I think is really important
5 given some of the makeup. That is the regulatory
6 structure in the United States is still going to
7 evolve. We've had conversations of course with
8 Audrey in the past and looking at the New York Rev
9 process. Looking at California, I think the
10 business models are going to continue to be
11 challenged. I appreciate Jim, that you're here.
12 I think as you look at rate design, as you look at
13 a lot of other aspects we're going to have to
14 continue to think about how to bring -- continue
15 to have topics at least at the EAC meetings that
16 addresses the challenges around business models
17 and regulatory issues.

18 One of the things that we are pretty
19 proud of is with LBL. We've been trying to address
20 some of these regulatory opportunities by a group
21 that is at LBL that is looking at the future
22 Electric Utility Regulation Advisory Group. Those

1 of you that aren't familiar, they've produced
2 about six papers on different topics in the
3 regulatory advisory. Some of them are looking at
4 distribution systems with DER, looking at pricing
5 issues and I do believe we're going to have a
6 presentation tomorrow on electricity resource
7 planning. So those papers are really neat that
8 have come out of Lawrence Berkeley and our office
9 and I'm pretty proud of the work that they've been
10 doing there.

11 And then the last topic is just more
12 following the lines of the national security as I
13 think there is going to be continued growth and
14 understanding of the importance of the electric
15 grid for national security and economic security
16 as we move forward. Cyber security is always an
17 important issue. We're continuing to do research
18 in that area to really look at cyber capabilities
19 and how we can protect the electric grid. But I
20 think it is a topic that is never ending. It is
21 going to require constant diligence. But the way
22 to get on top of this is really to have an

1 integrated strategy with the industry on the tools
2 and capabilities. From my perspective you can
3 look at the aspects of the maturity model but it
4 is really looking at continuous monitoring,
5 situational awareness, the ability to be able to
6 isolate, look at role based access, some of the
7 capabilities that have already been discussed as
8 best practices. But I want to keep that on
9 everybody's radar with respect to a priority and a
10 topic that I think will continue to have to be
11 addressed in this industry.

12 So with that, I just wanted to close. I
13 know that was a lot for today. I don't normally
14 talk that much at these EAC meetings. People that
15 are here usually know that I'm not too much of a
16 talker. I did want to just express and tried to
17 do a little bit of going back to some of the EAC
18 recommendations in saying you are this group and
19 the discussions here do really help to move our
20 thinking but also I think it helps move the
21 industry forward. So with that, thank you and I
22 appreciate the time.

1 CHAIRWOMAN TIERNEY: Pat, I hope you'll
2 allow me to just add appreciation for the service
3 that you've had. Pat is one of those assistant
4 secretaries who was a former career employee of
5 Department of Energy. And you can tell by
6 listening to Pat that she has such a breadth and
7 depth of understanding of the various industries
8 and has worked, I've seen you personally and I
9 can't imagine the number of things that I haven't
10 seen personally but I have seen her switch from
11 cyber security to hurricane preparedness and
12 response to the variety of things she said about
13 the ARRA and she has been able to pull and build
14 the team over the course of these eight years,
15 which is a pretty long tenure for an assistant
16 secretary so thank you. It was fine that you took
17 that long.

18 So we have a short break unless we're
19 all set to go with the computers. We are good to
20 go. So let me give you a little explanation where
21 we're going right now. We're going to hear from
22 Christopher Clack who is the lead author on a

1 paper from NOAA on what is going on with electric
2 systems and climate change in a variety of CO2
3 emission related topics. After that we're going
4 to have two panels or one panel, one presentation.
5 The first panel will be on high-voltage direct
6 current technologies and we're going to hear from
7 some practitioners about some of the issues there.
8 Then Paul and Clark, if Paul is here Clark is
9 going to describe the information about the most
10 recent National Academy panel report that has come
11 out and then we'll have an open ended discussion
12 at the end of the day about the types of things
13 that you're working on that are some relevance to
14 share with the other Committee members. So that's
15 where we are for today and hope that most of you
16 can join us for dinner. With that, Christopher I
17 think you're up. Would you please introduce
18 yourself?

19 DR. CLACK: Thank you. So I'm
20 Christopher Clack. I work at the University of
21 Colorado in Boulder in a cooperative institute
22 with NOAA and I've been working on mathematics my

1 whole life, (inaudible) physics mostly and then I
2 moved into engineering and electrical engineering
3 and optimization to look at electric grids. I
4 tried to come at it from a perspective of if
5 you're going to run your whole grid off weather,
6 you need to understand a little bit about what is
7 going on with the weather. So this is where the
8 genesis of the project started. Dr. McDonald who
9 is the director of ESREL put down the seed funding
10 for it to happen and after five years, we
11 published some of our results and I'm going to go
12 through some of them today. Some of them for the
13 Nature Climate Change paper and then some of them
14 sort of extensions of them. They're not different
15 they are just advanced from those results, which
16 came out in January.

17 Because I work with NOAA it is a legal
18 requirement to show the keeling curve. If we work
19 from the top right downwards along that dotted
20 line we're basically just looking at how long it
21 took the earth to sequester the dark side. So at
22 the top right you're around 100 million years then

1 you go down to 56 million all the way down to the
2 Holocene and then you follow the black line back
3 up and that's what human activity has released
4 back into the atmosphere. I'm one of those people
5 that has been born into a world where I've never
6 seen a below average month since I've been on
7 earth and that number is just going to keep
8 rising. So this is what sort of motivated me to
9 do it but hopefully there is other benefits for
10 moving in this direction as well.

11 So as I eluded to, weather is going to
12 be one of the key drivers to how we can transform
13 the grid. That is one of the reasons why we have
14 to change how the grid is operating. At the
15 moment all the design operation and markets are
16 built around fuels that have been. If we're going
17 to transition to wind and solar, which is
18 primarily what we'll have to do to decarbonize,
19 you have to work with the weather and you need
20 that through all these different phases. You can
21 have the best economic model in the world but if
22 you tell it the wind is blowing and it is not then

1 your economics is flawed. So the weather is the
2 first component and what I learned when I first
3 went to NOAA and was reading about it and from
4 studying the sun for a long time is you take a
5 step back and look at the bigger picture you see
6 patterns emerge you may not otherwise see. So if
7 you stand here today it is raining quite heavily
8 on and off but if you go to where I'm from in
9 Colorado it is actually really hot and sunny. And
10 actually if you look over the whole continental
11 U.S. there is actually a big smoothing that
12 happens because the Rossby radius of deformation
13 is about 1,000 kilometers across and the U.S. is
14 over twice that width. So when you zoom out,
15 variability actually drops really, really low over
16 a global scale particularly with wind. So this is
17 a logarithm from the x-axis and the y-axis we have
18 variability and this is wind sites across the
19 globe and if you follow it you can see as you go
20 down as you get three orders of magnitude larger
21 in geographic scale your variability drops by five
22 times. So if you can get big enough to encompass

1 these weather patterns you actually find the
2 statement that the wind isn't always blowing and
3 the sun isn't always shining isn't quite true,
4 especially if you zoom out on a global scale. But
5 this just fixes mostly on the U.S. So these are
6 maps that you've probably all seen before. This
7 is a capacity factor map of solar PV and what you
8 can see is that the desert southwest is the best
9 and the northeast and northwest are the worst.
10 This is the same thing but for wind and these are
11 both at 3-kilometer resolution horizontally and
12 this tells us the hub high winds at 80 meters.
13 What you can see is what we call at NOAA the wind
14 triangle that goes from North Dakota all the way
15 down to Texas and across to the Great Lakes is a
16 huge red triangle. Naively, if you just looked at
17 those pictures you'd go okay let's put wind in
18 because it is a high capacity factor and let's put
19 them all in the central plains especially the
20 north central plains. So hold that thought in
21 your mind as we move on when you see the results
22 later on because this is just an average. But

1 actually really for planning you need to think
2 more about what is actually going on. So this is
3 an hour by hour depiction of about 10 days in
4 January of what the power is doing and when it is
5 purple that means it is full power and when it is
6 transparent that means there is no power being
7 produced. What you'll see is that even in those
8 areas where it is bright red and these huge
9 capacity factors there are times where there is no
10 power at all from these generators. More
11 importantly, I think, is you start to see
12 patterns. You actually realize that the
13 atmosphere is just a huge battery that is free and
14 also transports your energy for you so you can tap
15 into it repeatedly as these waves propagate from
16 west to east predominately.

17 So one solution is put wind turbines
18 everywhere and extract the energy. That is going
19 to very expensive and so where we move into more
20 detailed things is thinking about where can we
21 place these. So we have to build a dataset that
22 allowed us to look at where you can start these

1 generators based on federal lands, state lands,
2 topology, where people live and you see again the
3 central plains again look pretty good for wind.
4 And for solar you get a fairly similar picture.
5 We do also have actual wind, relieves a lot of
6 sight to shipping and military applications. But
7 what we see is there are lots of areas that are
8 excluded for good reason but there are lots of
9 other areas that actually have potential and you
10 can map this in different units. Here we just do
11 watts per meter squared or megawatts per kilometer
12 squared. You can do it in total (inaudible)
13 possible.

14 And so we say okay you need a big system
15 so I'm going to jump to a different concept which
16 as we said allow the model to have the ability to
17 build a national grid. The HVDC is the technology
18 that was chosen and what I want to point out is it
19 only has the option to do this. If it is not
20 economically viable to do it, it won't do it. It
21 is just saying if you think, as a model, that it
22 is economically beneficial to be able to transmit

1 the power and you can pay for it then build it and
2 tell us where to build it and why.

3 So there are two sides to the equation,
4 we've done the supply side. The demand side,
5 again at the bottom here is all the different
6 regions plotted for a 10-day period and they all
7 look messy and noisy but then when you look at the
8 national layer, which is the top one, you see a
9 smooth pattern emerge from all the randomness or
10 chaotic behavior. The bigger grid allows you to
11 also take advantage of the smoothing. You can
12 sell to one region when it needs peak demand and
13 when another region needs peak demand at another
14 you can switch who you're selling it too. At the
15 moment if you're selling wind you'll sell into a
16 grid the whole time and you can't (inaudible) I
17 want to sell somewhere else. And then when you
18 zoom out even further to a much longer time period
19 you can see there is a huger pattern emerge over a
20 year period where summer's much higher than
21 winter. You get the weekend notches where people
22 aren't using as much power and winter versus

1 summer look different too. So you have all these
2 different things into play on top of each other
3 that needs to be considered in the model and this
4 is what we've put into the model.

5 Obviously, we're trying to look at costs
6 and we want to look at the different cost input so
7 we did multiple scenarios in the paper and this is
8 the main three. So each of these has three
9 diamonds on it and the more mature the technology,
10 the tighter the bands go. We tested each of those
11 different costs versus the inverse of the natural
12 gas cost. So we had what was called low renewable
13 cost, high natural gas cost and then high
14 renewable cost and low natural gas cost so that we
15 could emulate all the different scenarios that
16 could be possible with these costs. What I want
17 to point out is that offshore wind is cheaper than
18 that now. Natural gas is about the same, solar is
19 between the one and two dollars. So when we did
20 this in 2013 costs were actually higher than they
21 are now. Natural gas I think we all know is on
22 the low end too.

1 So I've left the equations for the
2 backup slides if anyone wants to go through them.
3 So I did pictures instead because I get told off
4 normally when I put too many equations. But they
5 are all in this paper and essentially what we're
6 trying to do is we're trying to minimize the total
7 annual cost of this system and we have to pay for
8 all the sunk costs, we have to pay for all the
9 capital costs of building new generators, we have
10 to pay for the fuel that we're burning, all the
11 reserves that we have to hold, we have to pay for
12 this new transmission, we have to pay for the AC
13 transmission to bring in the remote resources as
14 well. So we have to make this as small as possible
15 and then unfortunately we have to provide power at
16 the same time which is what drives the cost up.
17 This is quite a strong model because we enforced
18 that there is no downtime whatsoever in the model.
19 We take into account electrical losses and power
20 flow within the grid and through the AC grid as
21 well. We have a bunch of other equations to do
22 with ramping constraints, operating reserve, load

1 following reserve, peaking reserves and also all
2 the citing constraints and things as well.

3 The model was allowed to put storage
4 but, for the nature climate study, it was never
5 picked, it was never competitive against the
6 transmission but it is in the model and is able
7 to. And the other critical thing is we didn't put
8 a carbon tax or anything in this model. This is
9 purely economics with those prices I showed but it
10 is in there as well if we wanted to put in carbon
11 tax or an RPS or PTC-ITC model scenarios and it
12 also allows for electric vehicles and things like
13 that. But for this first study it was purely
14 electric grid and what can we do if we have
15 growing demand.

16 So build the model, run it and then this
17 is what it plans out or what it gives as a road
18 map in terms of generator placement. So the green
19 here is the wind, the red is solar, the purple is
20 natural gas but I think it came out grey on the
21 map as the natural gas and black is nuclear and
22 blue is hydro. So hydro and nuclear were set at

1 2012 levels. The model can move these up and down
2 but we didn't want to deal with that we just
3 wanted to look at wind, solar and natural gas. So
4 when we do this solution we get about 20 percent
5 wind, 17 percent solar in terms of generation and
6 20 percent natural gas and the rest is nuclear and
7 hydro. The install capacity (about 30 percent) is
8 dispatchable so 30 percent is natural gas. What
9 we found was the average level of cost was about
10 10.1 cents including distribution and all this
11 extra transmission that is going to be built. You
12 can tell about 80 percent of your variable
13 generation using this model. What I'll note is
14 that the top northern region that I mentioned
15 before is not as densely populated as you may
16 think and that is primarily because the wind blows
17 hardest at night in those regions, they all do
18 exactly the same thing in those regions so they
19 are all very correlated. So what ends up
20 happening is as you add more and more generators
21 in that region, you add more lower and lower value
22 wind generation which then will push the price

1 negative. So what it does instead is it does a
2 blend between high valued resources in terms of
3 power generated, energy generated and then other
4 resources are very good at matching the cumulative
5 load from it.

6 So for the transmission system this is
7 what it decided to build. It is a lot of
8 transmission but actually the majority of it is
9 within the interconnects. There is only about 30
10 million between the interconnects themselves. So
11 a lot of the actual upgrades is within
12 the interconnects themselves. But those
13 connections as you'll see in a minute with the
14 video are actually important to help with the
15 variability.

16 So this is just the dispatch stack. So
17 when the model is solving, it doesn't just use
18 averages, it uses the hour by hour data so it
19 actually dispatches and does actually operates as
20 a system where the outputs of the generators of
21 the least cost first and works through a dispatch
22 stack. So on here we're just showing two weeks'

1 worth or roughly 100 hours. Winter is at the top
2 and summer at the bottom and it shows you how it
3 is reacting to the different signals. What we've
4 noticed is if you have dispatchable hydro you can
5 actually take away some of these peaks in natural
6 gas that are occurring but it only ever gets up to
7 a maximum of
8 per cent of the load. So what does this
9 look like when you see
10 it on a national scale? So I normally
11 ask people to look at one region, your favorite
12 region wherever you're from normally if there is
13 wind near it and you will see at some point in
14 this video it will disappear and go to zero but
15 when you look at the map as a whole you're going
16 to see all the wind vanish across the United
17 States. That's the green, the dark circles of
18 dispatchable generation and fossil fuels so the
19 nuclear is the solid colors. And we'll see it is
20 actually acting and dealing with the different
21 changes or the variability in the load as well as
22 the resource at the same time. It works using the

1 weather data that is put into it.

2 So the second video shows the
3 transmission moving the power about. This is hour
4 by hour. Unfortunately, it is running fast but
5 you get the idea you have to move power about
6 across the United States. And what you see is
7 the interconnects, you are shipping power but
8 nowhere near as much power as you're shipping
9 around within the interconnects which is really
10 helping with the variability of it. Those
11 interconnect areas across the different boundaries
12 get rid of some of your big long duration events
13 where you have big storms that set over a large
14 region and that allows you to bring power in from
15 a much different time zone.

16 So it goes through this and turns out
17 and then we have to work out what it all costs.
18 So the model spits out what it costs and then we
19 have to work out what it is in levelized terms.
20 So on the right-hand side is four green bars and
21 they are the model simulated runs and on the left
22 side is historical and also projections. I also

1 put on there the average 2015 levelized costs for
2 the US. The diamonds are the cost that have come
3 out from the model, which includes the cost for
4 the transmission. The cost of the transmission is
5 roughly 0.4 cents per kilowatt hour with that
6 extra HVDC overlay when you levelized it. What
7 you see is you get this big change in CO2
8 depending on cost scenarios but what the big thing
9 I noticed is the coal versus the high cost
10 renewable low natural gas. The only difference
11 between those two runs is whether you allow really
12 cheap coal or not and the cost difference is so
13 small it is within the noise of the model but the
14 CO2 is not within the noise. There is a big flip
15 in the amount of CO2 output.

16 And then on the round third you have two
17 other scenarios. So the middle scenario the
18 mid-mid is roughly where the costs are at the
19 moment and you can see they are all below the
20 estimated annual average for 2015. We can break
21 it down into the interconnect cost and show that
22 you're not just forcing the western connect to

1 have its price rise so the eastern connect can
2 have a lower cost. The lowering of the cost is
3 distributed across the U.S. You can break it down
4 by state and have a look at each state and see
5 what the state cost would be and the reduction in
6 cost as well.

7 So this is the cheapest possible
8 solution. This is the least cost optimized. We
9 haven't constrained carbon but when you take the
10 right-hand side one, this is the difference in
11 carbon emitted from the electric grid in 2014 and
12 2030 with this grid. So you get a huge dramatic
13 decrease but you've also saved dollar amounts as
14 well. This again just breaks it down by state and
15 there will be 12 states that emit zero carbon from
16 this even with taking into the account the
17 reserves that need to be on the grid as well.
18 Along with the conducts there are also local
19 pollutants that have an effect on the communities
20 and so it also models and tracks hour by hour all
21 the different emissions from the power plants. So
22 this shows, on a nationalized scale, the

1 difference between sulfur dioxide and nitrogen
2 oxide emissions between 2014 and the 2030 scenario
3 shown and something that I think is more important
4 in the western half of the U.S. maybe but a lot
5 less water is consumed by these power plants. So
6 you have this water to be able to use for other
7 resources, agriculture being the big one I think,
8 and hopefully not wasting as much consuming for
9 power plants.

10 Also from the model it tells you how
11 many jobs are created in each state and in each
12 region and this just shows you additional jobs
13 that are created. So all these things are
14 essentially free because they come at a lower cost
15 or close to the cost today and so these things are
16 just from transitioning from one scenario to the
17 next. These slides are a bit denser but I wanted
18 to go into them just quickly. So there are two
19 columns, left and right, and if we work from left
20 to right we go from a national system down to 256
21 local balancing authorities. So we didn't just
22 test what a national system would look like, we

1 wanted to test it against different scenarios
2 where we don't have as much expansion in the grid,
3 which is possibly more likely scenario. So on the
4 left-hand side we've got in store capacity and on
5 the right-hand side we have energy generated by
6 those technologies. Hopefully what you'll see is
7 there is a downward trend from left to right as
8 you go to smaller regions. So essentially you are
9 ending up with less generation from renewables by
10 going to smaller and smaller regions. That is an
11 issue only because that will increase CO2 as you
12 can see on this slide on the top left here. There
13 are three different cost scenarios and as you go
14 from left to right you'll see that each of the
15 colors trend upwards and that means there is more
16 carbon emissions generated. But at the same time,
17 if you look on the right, their costs go up as
18 well. So by going to smaller systems, not only
19 are you getting less carbon free generation,
20 you're emitting more carbon, but you're also
21 costing the grid more money by trying to cram more
22 renewables into a grid that hasn't taken the

1 weather information and said hey it might not be
2 best to put this wind generator right next to
3 another wind generator. This bottom one is just
4 showing the same thing about the carbon; it is
5 just showing the carbon free generation is going
6 down.

7 One last scenario that we tested was
8 sensitivity where natural gas is a big unknown
9 cost and so what we did was we set the three
10 different scenarios for renewables and then we
11 changed the natural gas fuel cost between zero
12 dollars, where it costs nothing, all the way up to
13 14. And what you'll see as you move from left to
14 right, you'll see the renewables take off and
15 become the largest share from left to right. If
16 you go from the top left to the middle one, that
17 top right one, essentially the cost of solar \$2.67
18 would mean that hardly any would be installed
19 compared to today's levels. What you also see is
20 around \$4 you will still install about 100
21 gigawatts of solar before you start pushing up or
22 get the solar deflation devaluation problem

1 happening. And install capacity does go up. And
2 then this is the same plots but telling you how
3 much energy is generated from the different
4 sources. And so we wanted to look at different
5 scenarios and we tried to look at different grid
6 configurations to make sure that it is not overly
7 sensitive to the denotal sizes as well.

8 So the paper tried to show that there
9 are some realistic solutions that can get you 80
10 percent of the way there in decarbonizing the
11 grid. You do need a national system to get those
12 high levels if you don't want costs to explode.
13 We're only using

14 (inaudible) existed in 2007 in this
15 model and there is no storage used
16 by national CCS. So the findings
17 don't always place the generators
18 where the most power is because it
19 might not be useful. You want it
20 where the most benefit to the grid
21 is, which is a different way of
22 thinking, you'll be thinking sort

1 of holistically rather than
2 localized. The large areas are
3 better for multiple reasons. One
4 is you've got a higher probability
5 of finding a more valuable site,
6 you also get to resource share, you
7 also get load diversify as well.
8 And when you coordinate these
9 planning between these regions you
10 get more efficient competition
11 because wind or solar or natural
12 gas plan can sell to different
13 markets if you can get onto those
14 HVDC highways. And then this shows
15 80 percent is the economic part.
16 The last 20 percent needs another
17 method of technology. So storage
18 might become important, demand
19 management might be important,
20 electric vehicles helping might be
21 important as well as like nuclear
22 and hydro dispatching as well. So

1 I'll stop there and there is
2 allowed for any questions I'll take
3 any.

4 CHAIRWOMAN TIERNEY: So if you do have
5 questions please feel free to put up your tent
6 card and we'll start with Marilyn.

7 MS. MARILYN BROWN: Thank you very much
8 Christopher, I enjoyed that tremendously. But it
9 did remind me of the kind of modeling that has
10 plagued the industry my entire career where demand
11 side is not considered on par with the supply side
12 and see where maximizing to meet a fixed growth
13 and demand. Last Thursday at the Mellon
14 auditorium I received an award for TBA's
15 integrated resource planning modeling where we
16 took the demand side both efficiency and demand
17 response and built it and treated it as a power
18 plant and gave it the same attributes that you've
19 given in terms of capital costs, ONM, a load
20 profile. Can you do that with what you've got?
21 Would you please try to optimize where we're
22 looking at all of the resources available to the

1 nation? I'd be very interested to know if your
2 conclusions would change if you were to attempt to
3 capitalize on the integration of the demand side
4 in terms of the management of targeted spatially
5 and temporally demand management to compliment,
6 for instance, the intermittency of renewables,
7 thank you.

8 DR. CLACK: Yes, good question. We do
9 have demand side management in the model. It
10 wasn't in this one because we wanted a
11 conservative estimate assuming that human behavior
12 won't change so we said this is kind of a lower
13 bound and you can get more from it. When we put
14 demand side management in it as a means to change
15 the load profiles you're actually more limited by
16 the devices that are connected to the grid because
17 there is only so much power that you can consume
18 in terms of demand management because there is
19 only so many devices you can plug in that can
20 actually take that out and that is the limited
21 factor at the moment--is when we put this into the
22 model you only get about

1 percent help because if you want to keep
2 the economic activity as high due to demand,
3 you're producing as much power but it is just
4 changing when you're producing it so you get
5 manufacturer's to change when they're doing it.
6 There is only a certain amount that you can move
7 these about because there is only a peak amount of
8 power that certain plants can take from the grid.
9 So that is a limiting factor but it certainly will
10 help for sure. Energy efficiency is in the model
11 and it is done regionally so we can allow air
12 conditioners to be improved in ratings in certain
13 regions and see how that effects it. Also heat
14 pumps can be put in instead of air conditioners to
15 do heating and cooling and how that would shift
16 the demand as well. So these are all in the
17 model, this is just the first sort of volley into
18 what the model can do and to simplify it because
19 there is a lot in there for the general reader to
20 take in before you then have demand management.

21 MS. MARILYN BROWN: Do you have any
22 results you can share with us that show the

1 efficiency?

2 DR. CLACK: It is under review.

3 MS. MARILYN BROWN: Under review, okay
4 thank you. I look forward to that.

5 CHAIRWOMAN TIERNEY: Great question.
6 Jim. Jim and then John and then Anjan.

7 MR. LAZAR: First I noticed you had the
8 hydro in as a flat block across all hours and
9 hydro is an incredibly flexible resource in many
10 cases and many places. I'm curious how much of
11 the remaining

12 percent that can't be served with
13 variable renewables could be handled by adapting
14 the hydro resource? But in following up on the
15 previous question, some of the demand side
16 resources in particular ice storage air
17 conditioning, grid integrated water heating
18 control of water pumping and electric vehicle
19 charging are all schedulable, controllable
20 resources on the demand side that may be able to
21 make up and eliminate a lot of the renewable
22 curtailment and I'm wondering if you looked at in

1 particular the thermal storage resource, ice
2 storage, water storage for air conditioning and
3 grid integrated water heating as resources.

4 DR. CLACK: Yes there are two parts to
5 that, I think, and I'll take the second part first
6 which is we looked at different technologies in
7 terms of thermal storage but we weren't dealing
8 with the heating with mainly the natural gas
9 portion in this particular paper. But within the
10 model we have modules that allow you to do thermal
11 storage and thermal heating. Thermal storage of
12 energy, ice and water to cool buildings to use to
13 transfer heat and that is something that will
14 obviously change the demand profiles. So that is
15 in there but we don't have results for it yet
16 because we were focusing on the electric sector.
17 For the hydro, it does vary month by month with
18 the changing hydrological cycle but we didn't have
19 a hydro runoff model within the model so we didn't
20 want to decide how much power was going to be
21 available or how much water was going to be
22 available in the basin because we didn't have

1 enough data to be able to give us a big enough
2 picture across the U.S. So what we said was we
3 took the minimum produced for that month for each
4 of the locations, so we said that definitely would
5 be available and then we've done studies since
6 where we allowed to dispatch and we got up to 90
7 percent because we can get away with a lot of the
8 peaking that occurs. The hydro will definitely be
9 very, very helpful but again we are trying to be
10 conservative on what you can do with the hydro
11 part.

12 CHAIRWOMAN TIERNEY: John.

13 MR. ADAMS: I've got a whole series so
14 let me just start with what is really a regulatory
15 question. I think you're doing hourly dispatch
16 which means these are essentially changing flows
17 every hour which sounds to me like you're saying
18 okay, ERCOT is not part of an integrated dispatch
19 for the entire United States so I think it is now
20 jurisdictional. Is that the assumption, we've
21 said ERCOT got moved into the rest of the United
22 States.

1 DR. CLACK: I'm a scientist so I'm
2 looking at what can technically be done with the
3 physics.

4 MR. ADAMS: Let me just ask the
5 question. Did you happen to look if ERCOT is not
6 part of this dispatch does it still have all of
7 these benefits?

8 DR. CLACK: Yes so we've done different,
9 which is again under review in energy policy,
10 where we've done different grid size expansions.

11 MR. ADAMS: Okay.

12 DR. CLACK: So we interconnect on their
13 own and within the interconnect just the
14 (inaudible) and the (inaudible)
15 regions. So we've done various
16 scenarios and what we show is the
17 same thing here, which is the
18 smaller you go the more it will
19 cost you and the more carbon you'll
20 emit and that's for the policy
21 makers to decide what is the
22 trade-off level is acceptable. How

1 much cost and how much carbon or
2 how much additional cost and how
3 much carbon.

4 MR. ADAMS: So is this hourly dispatch?

5 DR. CLACK: Yes.

6 MR. ADAMS: Okay so 8760 no inner hour.

7 DR. CLACK: The weather data doesn't
8 resolution enough and the low data wasn't high
9 enough.

10 MR. ADAMS: Got it. Our DC size price
11 schedule so they're changing every hour, that's
12 the assumption in here.

13 DR. CLACK: They can change every hour
14 yes.

15 MR. ADAMS: And almost certainly, yes
16 okay. Where did you get the assumptions on your
17 generators, heat rate, start time, stop time, all
18 those things that affect dispatch?

19 DR. CLACK: So we did it through EIA,
20 NREL and we also spoke with some partners at EPRI
21 as well on getting as much data as we could. Any
22 public access data that we could find we used.

1 MR. ADAMS: Great. Hub height for your
2 wind? You're putting a lot of new wind in.

3 DR. CLACK: Yes. This is 80 meters but
4 the model can do anything from 80 to 160-meter hub
5 height.

6 MR. ADAMS: Okay. Your model loses on
7 the DC ties, are all those thing accounted for,
8 loses through the 2007 technology on the DC ties?

9 DR. CLACK: Yes.

10 MR. ADAMS: Okay just one last, well
11 actually two last. I didn't see any solar flocks.
12 You said there was the natural gas in red that was
13 going up and down but I didn't see anything else.

14 DR. CLACK: The red is solar.

15 MR. ADAMS: Okay so I misunderstood.
16 Great. Just one last comment, I noticed where
17 your wind went in Texas. Is where wind is going in
18 Texas driven by economic forces so that's a
19 positive, thank you.

20 CHAIRWOMAN TIERNEY: Thank you, that's
21 great. Anjan and then Jay.

22 MR. BOSE: So I haven't read your paper

1 but you were saying that you are using models that
2 I didn't -- I was wondering if the models were
3 things that you developed or are these the
4 standard models that are used by all power
5 engineers in the country.

6 DR. CLACK: Yes we built the model from
7 the ground up because of the vast amount of
8 weather data we needed to put in and none of the
9 models that were available when I started the
10 project in 2010 could take the terabytes of
11 weather data that I needed to be able to put in
12 it. So I built it from the ground up to be able
13 to consider the weather at really high
14 resolutions. So now we can go down to
15 kilometers' five-minute resolution.

16 MR. BOSE: And your dispatch and your
17 production costing method, I mean there are some
18 very standard methods that people use. But could
19 you compare your models with those?

20 DR. CLACK: Sure.

21 MR. BOSE: No did you?

22 DR. CLACK: We can do it; we haven't

1 done it yet. None of those commercial vendors
2 have wanted to do that.

3 MR. BOSE: So the last question, maybe
4 just a comment, you said something about the
5 advantages of DC over AC and some people have read
6 your paper to get the idea that we should be
7 either replacing or putting DC on top of the
8 existing transmission system that we have today.
9 I think we have a panel session coming up on DC
10 where we will hear about studies which doesn't
11 always put DC as a better option over DC.

12 DR. CLACK: So the DC is just the
13 intertie between the different states in the
14 models. It is a third tier on the transmission.
15 So the AC has to be there for the wind generators.
16 The only option in this one is, if you connect,
17 you'll be paying for the DC. So in the model
18 you've got multiple options so you have different
19 tiers and you can choose different ones but for
20 this paper we really wanted to simplify it because
21 it is a peer review journal that lots of people
22 are going to read, you can't go into all the

1 engineering of 800 kilovolts versus 500 and things
2 like that. But the model allows you to have
3 multiple choices so it might choose AC over DC.

4 CHAIRWOMAN TIERNEY: David.

5 MR. TILL: Thank you Dr. Clack, I'm
6 David Till with North American Electric, a
7 liability corporation. I've got a question and
8 then a more extensive commendation more than a
9 comment. The question is in your study and in
10 your cost did you include reactive power needs?

11 DR. CLACK: So we included a
12 numeralization of some reactive power but is a
13 really gross assumption. I would say no in terms
14 of properly modeling it but there are some terms
15 in there to try to deal with that.

16 MR. TILL: Thank you. My commendation
17 is as you started saying that it would cost less,
18 and I'm thinking about a national electric system,
19 my thoughts automatically go to a national
20 electric system is not how investments are made
21 and so we've always got to have a point a to point
22 b path so I was very pleased to see that you broke

1 it down to the state level. I've not seen that
2 before. I may sometimes be blind but I've not
3 seen that before in this type presentation and I
4 really appreciate that it was in yours.

5 DR. CLACK: And the paper will hopefully
6 be out soon going through the growth phase. This
7 is sort of an end state and my question
8 immediately is well which one first and how do you
9 maneuver that and so it grows through the phases.

10 CHAIRWOMAN TIERNEY: Jeff.

11 REP MORRIS: Jeff Morris Washington
12 State. I may have missed this but what accounting
13 did you have for externalities in the example with
14 the hydro resource in the Northwest biological
15 operating condition for endangered salmon, that
16 changes the way those systems are operated. So as
17 climate changes there will be a corresponding
18 endangered species list that grows I would assume.

19 DR. CLACK: Yes so because we used 2006
20 weather we used 2006 resources for the hydro and
21 the nuclear so they were dispatched at
22 conservative levels at the base of what they were

1 dispatched in those years. So in this the idea
2 was built that you plug and play different
3 resources into it but in here we didn't take into
4 climate changes its actual historical data from
5 other models. So there are no externalities in
6 terms of changing climates or changing habitats or
7 things like that. That can be added as another
8 layer on the GIS data but it is not on this one.

9 CHAIRWOMAN TIERNEY: Janice.

10 MS. LIN: Thank you. I had a couple of
11 quick questions and then a more open ended one. I
12 was wondering on the solar resource if you also
13 factored in roof top solar so you're looking sort
14 of all of the above both behind the meter utility
15 scale.

16 DR. CLACK: Yes so we did, there is a
17 whole other module on solar rooftop but when we
18 put it in it only came up to about 4 percent of
19 the national load when you put rooftop on every
20 single property, residential property at 8
21 kilowatts on every single property which is very
22 large and that was always more expensive than

1 utility scale. So for simplicity again we just
2 did it with just utility scale, everything is
3 utility scale but in the model you can allow it
4 all to compete. So for different regions it might
5 be different. So this is all a national scale but
6 you can rerun the whole model on just California
7 or just Nevada or places like that and you can
8 allow all the different technologies to compete
9 and the solutions may vary.

10 MS. LIN: Interesting. And in terms of
11 future load growth, what were included in the
12 assumptions especially for your assumption of
13 rooftop solar as a negative load impact behind the
14 meter and also for EV growth?

15 DR. CLACK: Yes so there are two options
16 of the model. For the paper what we did was we
17 just grew it with GDP from 2006 to 2012 I believe
18 and then 0.7 percent every year to 2030. For the
19 second module when you've got rooftop solar you do
20 the same thing but you take into account the
21 rooftop solar making divots into it and again that
22 module can include the demand management or

1 electric vehicles and that will -- so you have two
2 sides and those modules go into the demand side so
3 they would alter the demand. And they are the
4 models that can be turned on where as in this
5 paper none of that was in there to define the
6 scope narrowly.

7 MS. LIN: So my last question is I'm
8 wondering if you could comment on the future
9 modeling plans with this model where you plan to
10 go from here. You mentioned that storage may be a
11 consideration in lieu of the fossil resources so
12 that is one area of interest and this kind of
13 modeling I think could be really interesting at
14 the state level and how would states be able to
15 work with you to explore different scenarios.

16 CHAIRWOMAN TIERNEY: And Dr. Clack let's
17 have a brief answer to that dissertation question
18 because we have one more question and then we'll
19 close it out, thank you.

20 DR. CLACK: Yes I want to run different
21 scenarios, different assumptions put in to do all
22 the sensitivities. I feel I've done sort of a

1 really simplistic base case and we want to look at
2 all the sensitivities that people care about from
3 state level upwards. We've done a study with MISO
4 looking at their grid doing a sort of road map
5 form to put into their planning that they may talk
6 about but that sort of is what we want to do with
7 it. We want to use to help inform sort of inputs
8 to much more deep studies and help the planning
9 process going forward.

10 CHAIRWOMAN TIERNEY: Great. I'm going
11 to take advantage of the fact that I am hogging
12 the microphone to say thank you so much. That was
13 really interesting. I think that this is a
14 tremendous step forward in integrating the weather
15 data at a very granular level with the production
16 simulation and asset investment strategies. And
17 it will really be cool when you match this up with
18 somebody who asks the kinds of questions that John
19 did about institutions, finance, the politics of
20 decision making because that would be extremely
21 powerful. This is really very informative for
22 what ifs in a very, very helpful way. So we'll

1 look forward to the other one too. Thank you.

2 I think we are going to have those
3 slides available is that correct? And thank you
4 for the references to where we can find the actual
5 studies so that is terrific.

6 We're going to take a very abbreviated
7 break so really only 10 minutes because I want to
8 try to get us back on time. So 10 minutes from
9 now we're going to start the panel.

10 (Whereupon, at 2:42 p.m. a recess
11 was taken) PROCEEDINGS

12 (2:52 p.m.)

13 CHAIRWOMAN TIERNEY: Well I seem to have
14 jumped the gun because our trusty moderator is not
15 here. Let's see if I keep talking for a second
16 whether he'll walk in. There he is. So thank you
17 Anjan by helping me shepherd this panel take it
18 away.

19 MR. BOSE: Actually, before I ask the
20 speakers to come up Carl thought I should give a
21 little introduction to HVDC even though most of
22 you probably know more about HVDC than I do. Let

1 me tell you what -- there is a lot of talk today
2 about DC but we're not covering everything DC
3 here. We're only covering DC transmission which
4 is why it is called high voltage DC and as you
5 know there is quite a bit of talk going on on the
6 low voltage DC side. The big issue of course, is
7 that many, many things that we use today are DC.
8 Laptops, electronics, phones, whatever and
9 everybody has tons of little chargers and the
10 things laying around their house and you can't
11 ever find them when you need them. One time I was
12 in a hotel and I had forgotten my charger and I
13 had gone down to the desk and I said do you have a
14 charger for such and such a phone and he said oh
15 we probably do let me check. He brings out a big
16 box about this size and there are a few hundred
17 charges in it and he said you're welcome to look
18 and none of them were the ones I needed. So
19 there's a lot of talk on the low voltage level
20 about DC and whether there should be a DC supply
21 in the home and so on. And then there is the sort
22 of mid-voltage area where for example and this

1 kind of goes somewhat on when I say mid-voltage
2 you're talking about 10's of KV or something like
3 that where you're maybe collecting generation say
4 from a whole bunch of wind generators and you put
5 them on a DC and this is what you would do if you
6 had a whole bunch of wind generation out offshore
7 and you just put a DC line on there. In fact, we
8 don't have a lot of wind generation offshore but
9 in Europe they are using that quite a bit. So
10 we're not going to talk about that as much either.
11 We're talking about DC transmission, high voltage
12 connections of DC.

13 So here is a map of what we have in
14 North America. So these things with green lines
15 that means that they are the transmission line
16 between those points which is a DC transmission
17 line. So one of the first ones built in the U.S.
18 was this on here from close to where I live on the
19 Columbia River down to LA and then there was these
20 black dots and those are back to back DC which
21 means that there is no transmission line. The
22 converter and the inverter are right there in the

1 same hall or right next to each other. Where do
2 we use those and if you look at them they have a
3 nice pattern there between eastern and western and
4 ERCOT connections and the one that usually people
5 forget is a whole bunch here which isolates the
6 hydro Quebec or the Quebec provincial connection.
7 Now interestingly, of course there is a
8 transmission line over there between Quebec all
9 the way in there and that is because Quebec loves
10 to sell power down into New England and so they
11 use that. And then there are these little orange
12 things and they are relatively new. One of them
13 on the west is the Trans Bay Cable. They are so
14 close to each other the line between the inverter
15 and converter doesn't fit into the U.S. map but
16 there is a line between them. The Trans Bay Cable
17 means that it goes from east bay in the San
18 Francisco Bay area to San Francisco. We'll talk
19 about the technology used here but they are
20 basically these small connections are what we call
21 the VSC type of HVDC and they work very nicely
22 below water or below ground which is where we use

1 them. We'll talk a little bit about that
2 technology but let's move on here.

3 Here is the European version of that
4 same map and I hope you can see the outline of the
5 countries there but the red ones actually exist
6 today and the green ones are under construction
7 and should be operational in the next couple of
8 years. The blue ones are actually proposed. But
9 if you look at that there is an interesting thing
10 about this is that most of them connect across
11 countries and not within countries and most of
12 them are not even within one interconnection and
13 I'll show you the interconnection in a little bit.
14 All of you know the four interconnections but
15 these are the interconnections in Europe and most
16 of it is this blue thing here where everything is
17 interconnected. And then this is Scandinavia and
18 the islands, Ireland and this is not the UK
19 because part of UK is in Ireland. So Ireland is
20 an island a separate interconnection and this is a
21 separate interconnection. Some of those
22 connections as you saw where most of them is

1 across from Scandinavia through the big European
2 UCT connection and these ones are also connected
3 by DC lines. So they use it somewhat differently
4 than we do.

5 What is a DC HVDC you have something
6 that converts AC into DC, you have a transmission
7 line between that and then you convert it back to
8 AC and then you connect this to the rest of this
9 AC interconnection. So if you have one of the
10 nice things is you really don't need the other
11 line here you just need one line and the return
12 current can come through ground. It is not very
13 nice to make it come through ground because it
14 keeps wearing away, corrodes metal things and
15 stuff underground so usually you put a second line
16 in there just a metal return you can put there but
17 it is easier to do it this way where you have two
18 lines. This one at a plus voltage, let's say plus
19 500 KV over here and you've got a minus 500 KV so
20 you've a difference of a thousand KV which gives
21 you a huge big power increase and what you can put
22 across that line. Obviously the higher the

1 voltage the more power you're going to get across.
2 So the difference between these two lines is
3 thousand instead of say 500 between here and the
4 ground and you're going to get four times as much
5 power through there.

6 There are all these different ways you
7 can fix this. The Monopole, the one with the
8 worse return which nobody uses as I said and then
9 with the metal return nobody uses that either
10 because this is the nicest one to use is two
11 wires. You can easily tell whether a transmission
12 line is AC or DC because an AC has three wires and
13 the DC has two wires. So if you're looking at a
14 pole when you're driving down the highway if it's
15 got two wires that means it is a DC transmission
16 line. Then the back to back we talked about.
17 Then there is multi-terminal which I will say a
18 few words about but the highest level of DC
19 transmission line today is 800 KV plus or minus
20 and about 8000 megawatts and it is in China and
21 they've just completed one that can do actually
22 10,000 megawatts. So these in fact I think the

1 five biggest or the eight biggest transmission
2 lines in the world are in China today. Some
3 number like that and they're going to build even
4 more and they're building even more faster. The
5 multi-terminal thing is kind of interesting
6 because if you think about the DC it's got two
7 points where you have an inverter and a converter
8 and they're connected to the AC, the rest of it is
9 connected to the AC side. That means that you
10 don't have a network of DC lines. You only have
11 one line at a time so the idea is how can you have
12 now multi-terminal DC and what is the advantage
13 of that. Well they are building one in India for
14 example where they have two generating plants
15 slightly apart that are on the east and they are
16 trying to get all that power up into the Delhi
17 area in the north. So they've got one terminal in
18 the north and two terminals in the east and
19 they've got two transmission lines going in. But
20 the one I showed you before the one from Quebec to
21 Massachusetts is three terminals because it comes
22 down from all the way from Hudson Bay into

1 southern Quebec and then into there so it is a
2 three terminal DC line so we have them as well.
3 But you don't have a whole bunch of these. The
4 one proposed as a connection the Tres Amigas one
5 in the Texas area I don't know if it -- in know
6 that all three terminals are not working yet but
7 maybe you'll hear about that when Jay talks about
8 SPP. So here is the sort of brief history of the
9 technology. The first DC lines were Mercury Arc
10 Rectifiers in the 1950's and some of the first
11 ones were built in Europe again.

12 (Inaudible) was a major commercial
13 developer. The big problem --

14 CHAIRWOMAN TIERNEY: Anjan would you
15 just speak into the mic?

16 MR. BOSE: Oh yes I'm sorry. The big
17 problem with the Mercury Arc Rectifiers is they
18 were hard to maintain if you can imagine mercury
19 all over the place and all that so they went to
20 solid state and they went to thyristors in the
21 seventies. Technically they were about the same.
22 I mean it worked very much the same way and now if

1 you compare AC versus DC, see the cost of AC is
2 the pole and the towers and the actual aluminum
3 and so on and here you've got the two converters
4 and the two amps. So you've got to add the two
5 converter costs to that so it turns out -- but on
6 the other hand HVDC you can get more power across
7 without less losses and so on. The breakeven
8 point was somewhere around 400 miles so that's why
9 the one that was built first was the one down the
10 west coast and that number kind of stood there and
11 even today the long lines, the ones they're
12 building in China at plus minus 800 and 8,000 KV,
13 these are long lines. I think the longest one is
14 about 1,300 miles today or some number like that
15 in China. But what happened was they got these
16 IGBT technology which are these electronics that
17 came about. Much of it was developed for the
18 drives business where you have different kinds of
19 motors driven on the AC system that needed to be
20 converted into DC. That was a much more
21 controllable electronics and the biggest advantage
22 of that was that you didn't need to filter out the

1 harmonics, that the harmonic filtering was
2 actually built in. So if you can think about it
3 the original idea of the Mercury Arc Rectifiers
4 and the thyristors is you have an AC source and
5 the AC means, it is positive half the time and
6 negative half the time so you have to actually
7 make the part that is negative into a positive so
8 you add the thyristor that would change the
9 direction of the current but then you had this
10 funny looking current that kept bouncing like this
11 and so you had to have filters which flattened
12 that out. These filters if you think about doing
13 it at 500 KV and 5,000 megawatts, these filters
14 took up on each side about a football size field.
15 So these were only inductors and capacitors but
16 they are big and there are lots of them. So the
17 prices went down and you didn't need filters
18 because IGBT's the filtering is kind of built into
19 them. That's why the breakeven length came way
20 down and that allowed you to do these things
21 underwater and underground.

22 Now there is a built in advantage of

1 using DC cables. You need cable if you're going
2 to put it underground or underwater. If you put
3 it over head it is bare wire. So once you got
4 cable you got something called line charging
5 current because of the capacitive effect of the
6 cables so if you have a long cable the line
7 capacitants or the line charging current tends to
8 swamp out the actual current that you need for
9 putting the power across. So that was a problem,
10 why you couldn't get long distance transmission
11 lines under water, which is why you didn't get a
12 lot of them across the Baltic Sea until this
13 technology came on.

14 So that's why now we have these things
15 across the Long Island Sound. You have some down
16 the Hudson River connecting New Jersey and New
17 England and Manhattan and then you have the one
18 across the bay and you'll see a lot more of these
19 VSC. The only problem is now once the technology
20 is coming along where you can make them bigger and
21 bigger. They are still at lower voltages and
22 still at lower megawatt range but the technology

1 is moving very fast. So that's why when you see
2 this big long HVDC transmission lines being put in
3 India and China they are all thyristor and not
4 this VSC technology and not the IGBT technology.

5 So applications. The main application
6 is of course if you want a point to point large
7 amount of transfer. So the whole idea on the west
8 coast was you got transfers of the hydropower from
9 the north to the south to the LA area where the
10 load was. That is what Hydro Quebec is doing. If
11 you remember the couple of mine mouth plants into
12 Minnesota from North Dakota or Montana so those
13 were all actually generation to load centers. So
14 if you have a point to point need, the HVDC works
15 very, very nicely. Now the cables were of course
16 a different -- so now there are two different
17 kinds. Now you've got DC lines that are within
18 the same interconnection. So they basically don't
19 help any particular capability except for just
20 being able to move the power from one point to the
21 other. Now the other thing is you can have a DC
22 line between two interconnections. So between the

1 eastern interconnection and the western
2 interconnection for example, which is why the
3 Scandinavia keeps connecting to the UCT grid is
4 because they can move some of that water power
5 from Norway down into Germany. And that is very
6 helpful because what it does is it doesn't change
7 the stability of either system because all the AC
8 systems and all the generators have to move at the
9 same frequency. So if one generator has a
10 disturbance then every generator feels that
11 disturbance whereas if you're connected only by a
12 DC wire, then that disturbance doesn't get across
13 those converters. So the performance of the two
14 interconnections are not affected by having the DC
15 line. This is the major advantage of also having
16 the back to back. The back to back's meaning that
17 the eastern interconnection and the western
18 interconnection can be connected without impacting
19 the performance of either side.

20 The big advantage of having a DC line is
21 of course you can fix the amount of power flowing
22 on that and that is fixed by just setting the

1 controller on those converters and inverters and
2 that fixes the power. Unlike and AC transmission
3 line which is dependent on what everything else is
4 doing the power flow is not directly controllable.
5 So the main thing of course is that only way to
6 control that DC line is by shutting off and on and
7 changing the controls on the two converters.
8 There are no circuit breakers on the DC lines.
9 Although they are now announced commercial circuit
10 breakers for high voltage DC, ABB was the first to
11 go announce one they are not in regular use yet
12 and until they are in regular use, you are not
13 going to get a lot of networked DC's. So this
14 multi-terminal that we talked about, yes we have a
15 few with three terminals but you're not going to
16 get a 17 terminal DC network very, very soon yet.
17 But we will hear about some of the talks on
18 putting DC, enough DC HVDC close to each other so
19 that it will be nice to have these circuit
20 breakers.

21 So now you can look at these diagrams
22 again with a little bit of a thought as to why

1 these were put there, what was the purpose. The
2 back to backs make sense because they are
3 connecting systems with different frequencies.
4 Another place where these things come in very
5 handy is if there are lots of different
6 frequencies or like in Japan where some areas are
7 50 hertz, some areas are 60 hertz, best thing in
8 the world for HVDC connections.

9 So let me introduce the speakers. So
10 Dale Osborn is the first speaker and I'm going to
11 let somebody fix the slides for Dale Osborn while
12 introduce. Now I have to find your CV Dale. Dale
13 Osborn is a consulting advisor on policy and
14 economic studies for MISO, for Midwest ISO, where
15 he worked I think for many years, 15 years. Dale
16 has got a lot of experience in this area. He
17 worked for ABB in their HVDC area and before that
18 with power companies and I think the first thing
19 we ever did together was a stability study out in
20 Nebraska.

21 CHAIRWOMAN TIERNEY: Thank you, Anjan.

22 MR. OSBORN: MISO does things

1 differently. We do it economically first and then
2 reliability second and when we do the reliability
3 we found that we could buy or build transmission
4 to improve the economics of the region. We've
5 been doing that since I arrived at MISO. This is
6 a study from 2006 that shows you what happened
7 with the impact of transmission versus the impact
8 of transmission in wind generation. This was a
9 765 KV overlay over the eastern U.S. With about
10 26,000 megawatt wind delivery. The black line is
11 the base condition without the wind or without the
12 transmission and it showed that the prices went
13 from the west to the east and they got higher as
14 they went along. When we added just the
15 transmission, that made the prices in the west go
16 up and the prices in the east go down and didn't
17 really help anybody in the middle, it was just
18 added cost. So that is not something we wanted to
19 build for wind resources. Then we added the wind
20 resources simulation and made the prices go down,
21 which they are doing today and it made the prices
22 for everybody in the middle go down and a little

1 bit for the prices in the east. But the thing
2 with that is that the revenue of the wind
3 generators also go down. The guy with the wind
4 generator gets the least benefit out of that
5 situation so that is not a very good situation.

6 The other thing, we looked at building a
7 line from MISO north to MISO south and we get 26
8 percent of the benefit and 100 percent of the cost
9 and we don't like that very well. And unless
10 somebody is willing to say they're going to pay
11 for it, it is not going to get built because it is
12 not economically justifiable so that's why they
13 are AC lines not being built across that
14 interface.

15 Now if you build DC lines it gives you a
16 completely economic picture. It will give you the
17 same price at the point of delivery as the price
18 of supply with the difference in losses, which is
19 typically quite low. So the generators that get
20 more revenue the areas that developed that would
21 get more revenue, the people in the middle get
22 practically nothing and the people on the ends

1 would have most of the benefits. Now there is an
2 AC system between the two points and there is some
3 bleeding but if you bury the DC terminals deep
4 enough in your system you can keep most of the
5 benefits within your system. We found that out in
6 the Eastern Wind Integration Transmission study.

7 The difference between AC and DC is DC
8 you schedule it, you know who is using it and who
9 you should be paying for it. More benefits are
10 captured by the participants and the costs is
11 proportional to benefits. So that is all the good
12 things that FERC likes to hear and our members
13 like to hear. The AC power is distributed
14 according to the laws of physics and you get over
15 a few hundred miles away and energy just doesn't
16 flow between those points, it goes into the
17 netherland and then it comes back and loop flows
18 through half the system and people say well how
19 much did you send? Well we sent this much out.
20 Well where did it go? We don't know but it got
21 there. So the thing in DC that we think is
22 important is not the performance so much and all

1 the physical part but the market flows can be
2 separated from the HVDC or from the AC reliability
3 flows. So if you have two AC systems and you're
4 going to transfer power, you put it on the DC and
5 you would have zero loop flow from that
6 transaction on the AC system. This also would
7 simplify new market designs. If you had a long
8 system and you wanted to make a market, you could
9 put DC line down the middle and you wouldn't have
10 to cost allocate the AC lines across that system.
11 And that completely simplifies the way that the
12 power grid is built.

13 Like I said we do things differently.
14 What we do is we figure out what is the potential
15 for our market transaction and then we design the
16 transmission system to capture as much of the
17 potential as possible. In the United States there
18 is a great deal of diversity between the west
19 coast and the eastern time zone due to time
20 diversity. It is load capacity diversity. It is
21 not generation capacity diversity it is load. So
22 it is like demand response playing hedge games

1 back and forth. There are 30,000 megawatts of
2 load capacity diversity between the eastern United
3 States and WEC. We designed this system to do it.
4 It has no DC breakers in it, no more than three
5 terminal lines and commutates on strong AC buses
6 so it could work with existing systems or it could
7 be built if a DC breaker becomes economical. It
8 has a 1.25 to 1 benefit cost ratio which would
9 satisfy FERC order 1000 and it solves a whole
10 bunch of other problems. But peak diversity
11 happens just a few hours a year. Now what do you
12 do with the other 8,700 and some hours? Well you
13 could deliver wind and solar energy with it for
14 about a fourth the cost of what they deliver for
15 it today. And you would use the time multiplex
16 the transmission you get a higher utilization out
17 of it. That's what this system does. It costs
18 \$36 billion and has a 1.25 to 1 benefit cost
19 ratio. It gets rid of 30,000 megawatts of gas
20 beakers and it delivers 30,000 megawatts of
21 renewables. And you get rid of 5,000 megawatts of
22 frequency response. So if you add all of those up

1 together it is a benefit. It is all based on 10
2 years of diversity data that we calculated. We
3 took the worst case in 10 years and that's
4 justified transmission. A list transmission
5 system could be built today because the economics
6 don't require anything about future gas prices or
7 anything, it is just based on what is there, you
8 can do it with a spreadsheet. And we're using
9 this as an overlay for the NREL Seam study as one
10 scenario. So we are going to be studying it with
11 the NREL for the grid modernization.

12 If you look at it, one of the things it
13 does is it goes through gas fields. So you could
14 use gas fields differently. When you get up to
15 800 KV a 36-inch pipeline and a HVDC line have the
16 same price delivery. But there is a difference.
17 Gas travels at 30 miles an hour and DC travels
18 considerably faster, about 80 percent of the speed
19 of light. So anyway, there are ways that you
20 could change the generation patterns of the United
21 States and if you use those central one, you could
22 decrease the losses on the diversity by half so

1 there are some advantages of this. If you look at
2 the solar, those same terminals could collect a
3 lot of solar in the areas where the most solar is
4 and if you look at when you could collect wind.

5 The other thing it does is if it would
6 deliver 30,000 megawatts of renewables but if you
7 added some more transmission on an independent
8 basis you could go 60,000 megawatts and save \$16
9 billion. So it is a savings for future people as
10 well as the present. We looked at two business
11 models. The one is individual like we built one
12 day and stick at a time. You only capture a third
13 of the benefits and you run out of money and you
14 never get to California. You take it all at one
15 time from top (inaudible) system you get over the
16 entire range. That's it, thank you.

17 MR. BOSE: We'll go through the
18 presentations first and then we'll do the panel.
19 So the next speaker is Jay Caspary from the
20 Southwest Power Pool. He's the director of
21 research, development and tariff services and
22 before joining Southwest Power Pool he was with

1 Illinois Power Dynegy. And, I guess, he spent a
2 year with DOE in 2012, and we overlapped over
3 there for that whole year.

4 MR. CASPARY: Okay, that was good.
5 Thanks. Thank you for inviting me to be on the
6 panel and, just to be clear, I'm no expert on DC.
7 I need to listen to people like Dale and others.
8 They really understand the technology, so I
9 appreciate what he's done.

10 I'm going to share a little bit about
11 one of the grid modernization studies that's
12 being funded right now by DOE. I'm really proud
13 to be part of that, and I think you're going to
14 see why it's important for at least Southwest
15 Power Pool. SPP, our footprint has grown
16 organically over the last 10 years, grown to the
17 north. We added Nebraska back in 2009. We added
18 the WAPA Basin IS system last fall to our system.
19 So our footprint grew into the Dakotas and
20 Montana, Western Minnesota, and even into Iowa.

21 So this is our footprint. So we manage
22 this grid. We have a market for this grid. We're

1 building transmission for this grid. And on the
2 western edge of this grid we have an opportunity.
3 We've got some old back-to-back DC ties that have
4 been installed back in the '70s and '80s,
5 primarily, when the system was really weak, on the
6 edge of the grids. And some of these devices are
7 in pretty dire shape. They don't have spare
8 parts. They're old technology. The people that
9 designed them and operated them have retired. So
10 we're losing the skillsets of people that know how
11 to make these work. Actually, some of them aren't
12 that reliable. People don't have a lot of
13 commercial interest in scheduling across some of
14 these ties because they really don't know if
15 they're going to be there. And to me, that's an
16 opportunity.

17 So we have DC ties, and these little
18 back-to-back DC ties on the edge of our system.
19 We also have two of them in ERCOT, and I love my
20 friends in ERCOT. We have two strong DC ties, one
21 near Wichita Falls and one in East Texas. Those
22 DC ties have been either rebuilt or replaced in

1 the last few years. So they don't have the
2 opportunity that we have with these other DC ties
3 on the western edge of our system now that we need
4 to do something with. And my biggest fear is that
5 we're going to replace them in kind in size, and
6 we're going to end up building the transmission
7 system around them for the next 30 years. So what
8 we're trying to do is to get our hands around
9 these assets, the condition of those assets, and
10 where they're at in terms of performance and
11 capabilities. What would we like to do with these
12 assets in terms of performance? So this is just
13 the statistics of the eight back-to-back DC ties
14 between the eastern and the western grid. So
15 North American, there's folks in Canada that have
16 -- that participate in our markets and in our
17 systems, in our regions. You'll notice the third
18 line from the bottom there's another DC tie.
19 They're up in Alberta. The Alberta electric
20 system operator and Saskatchewan Power have had
21 the McNeil tie for a while. They've actually
22 recently rebuilt it and refurbished it, the

1 controls and the cooling systems. But the other
2 seven there are the ones on the western edge of
3 our system in the U.S. And they're all old
4 technology. There's limitations on how much power
5 can flow, some dead band issues and performance
6 issues.

7 But we've got an opportunity to maybe
8 recreate that seam and before we do that, we're
9 going to have to do some studies to at least have
10 some confidence in what we think the ballpark
11 value is of replacing this seam. One of the goals
12 I have, and these assets are not the ones in SPP's
13 edge, are not under our tariff, so we don't
14 optimize those at all. We just schedule up to
15 them based on what the owner/operators schedule to
16 us. So I think there's tremendous value we could
17 provide as a grid operator in optimizing those
18 seven ties if we're given the opportunity to do
19 that.

20 But what we are doing is following
21 through on a study, and I'm really proud to be
22 part of this with others. NREL is leading this

1 study along with PNNL and Argon National Labs and
2 Oakridge as well as others. Iowa State's helping
3 us out, too, with some analytics. But this is an
4 18 month study to look at the seams and Dale
5 pointed out one bookend, which is this HVDC
6 overlay, which is a scenario we need to look at.
7 The other scenario is status quo. What if we just
8 keep these back-to-back DC ties in place and
9 that'll be the other bookend. And the ones that
10 I'm really interested in are the ones in the
11 middle, the other scenarios where we're going to
12 actually look at modernizing and optimizing the
13 seam, maybe relocating, maybe right- sizing, maybe
14 replacing existing back-to-back ties either with
15 new back-to-back ties, with new capacity and new
16 capabilities, new technology, but maybe with DC
17 links. It might make a lot more sense to connect
18 the greater Denver Metropolitan area into Woodward
19 and Western Oklahoma, which is our big wind hub.
20 We've got tremendous transmission capacity at that
21 location, rather than try to work at the Lamar
22 HVDC tie, which is kind of a weak connection

1 between the two systems in Colorado and Kansas.
2 Anyways, so we've kicked off this study and we're
3 working forward to -- looking forward to working
4 with this over the next year or so.
5 I'm going share some slides that
6 (inaudible) put together, so Dale
7 already talked about some of the
8 diversity we're trying to get, the
9 wind diversity as well as the solar
10 diversity across the U.S. as well
11 as the time diversity and weather
12 diversity. And we really haven't
13 focused on those, at least from the
14 eastern and the western grid
15 perspective, collectively. We
16 haven't optimized and looked at it.

17 The weather patterns are pretty big
18 across the plains. The wind's always blowing
19 somewhere in SPP because we're covering 14 states.
20 And one of the things we have that's beneficial, I
21 think, for our system is, wind is a pretty nice
22 variable resource. It's not intermittent. It was

1 intermittent when we had 18 balancing authorities
2 chasing the wind on their wires. That was a real
3 challenge for small systems like Sunflower
4 Electric and others. But in an aggregate, the
5 wind is a nice resource. Now, the solar, I think
6 is going to be a little different animal. There's
7 going to be some more intermittency that we're
8 going to have to deal with. But the weather
9 patterns, obviously, are an opportunity, as well
10 as the time diversity. You've seen graphs like
11 this that show where the good solar resources are
12 in the southern parts of the U.S., particularly in
13 the desert of the southwest.

14 You've seen the wind resources. You
15 know, the highest wind quality resources are in
16 southeast Wyoming as well as the southcentral
17 plains of the U.S. And Dale talked about the
18 triangle. You can see this. This is at a 100-
19 meter hub height instead of 80 meter hub height
20 that I think Dr. Clack had shown us earlier. But
21 if you combine these resources and then put
22 together where the seams are electrically between

1 the grids, this is what we have. And you'll kind
2 of notice that the best windmill solar resources
3 in the U.S. are right on top of the seams between
4 ERCOT and SPP and the WEC.

5 And then if you look at time zones and
6 other things, you can probably see why there might
7 be some benefits to being able to move power from
8 the desert southwest into load centers, like
9 Chicago or Atlanta, where the actual sun pattern
10 and the power output of those solar farms would
11 actually follow the load patterns a few time zones
12 east. You want to move solar power east. Okay?
13 You don't want to move it west. That's why you
14 have duck curves and things like that. But that's
15 another opportunity.

16 But I just wanted to share this data.
17 This is just some of the facts of the people that
18 are involved in this. I'm privileged to work with
19 Dale as one of the leads on the TRC. These are
20 the other labs and others that are involved in
21 this. And what we're trying to do with this
22 study, this is some timelines for it. Right now

1 we're harmonizing the models, and that's the
2 biggest challenge we've had is trying to get a
3 western grid model and an eastern grid model that
4 even look anything like each other so that we can
5 time synchronize them. You know, what do you
6 assume for gas prices? What do you assume for
7 underlying inflation rates or economic development
8 rates? When you have apples and oranges, we're
9 going to get some results that we don't really
10 want to have any confidence in to share, to take
11 this to the next level. So we're working a lot
12 right now on capacity expansion planning, resource
13 planning models, as well as production cost, and
14 then we'll do some power flow models over the next
15 few month and end up with a report in a year. I
16 look forward to sharing that with you.

17 This kind of shows what we're doing.
18 We're looking at 2024 cases as a baseline and
19 building out to 2038 scenarios for the models, and
20 then running those different scenarios that we
21 talked about, the macro grid, which is the HVDC
22 overlay, that's one bookend. Again, the other

1 bookend is no upgrades, just have these existing
2 back-to-back ties that are there today. I'd hope
3 we'd consider newer technology at least, and maybe
4 better capabilities and performance. But
5 reconfiguring the seam, whether with HVDC links or
6 new back-to-back ties at the right locations or
7 the big scenarios in the middle.

8 One of the things I just wanted to share
9 with you, there's a lot of planning going on.
10 There's a lot of really good regional planning
11 going on, but in terms of interregional planning,
12 that's a challenge. FERC Order 1000 focused our
13 efforts on the existing interconnections. So FERC
14 didn't help us any by trying to get us to optimize
15 and share data and models and work on planning
16 within existing interconnections. To me some of
17 the biggest opportunities are across the seam
18 between the interconnections when you have these
19 old, aging devices that need -- we need to do
20 something, anyway. We're going to spend \$50
21 million at each one of these just to keep what we
22 got, and we may want to spend that money

1 differently.

2 But what I'm showing on this list is
3 some of the projects that are being done in a
4 vacuum that are building infrastructure toward the
5 seam from the east in the eastern grid toward the
6 western grid, but with no consideration of what's
7 in the western grid, and then vice versa. Assets
8 that are being built and planned as we speak in
9 the western grid, towards the eastern grid, but
10 again, no ties, no literal ties, not even sharing
11 of data between the personnel. So that's one of
12 the best things we're doing with this study is
13 getting the people in the room that actually own
14 these systems or the regional planners in the
15 western grid and the eastern grid together, as
16 well as the utilities, to talk about what we're
17 doing and what we need and to harmonize these
18 models.

19 One thing that just recently came out
20 was a Pan- Canadian wind study. And obviously the
21 Canadian system is tied primarily into the U.S.
22 via some big DC lines. There's a lot of hydro

1 exports to the south. They were looking at wind
2 in these cases. It took them a couple years to do
3 the work. But they did publish results. One of
4 the things that I found of interest was some new
5 500 KV ties, which you might expect between the
6 Canadian system and the U.S. system, as well as
7 some increase in capacity of the existing DC tie
8 that I talked about earlier between Manitoba and
9 Saskatchewan Power. So they didn't identify a lot
10 of benefits, but I don't know if they were looking
11 at it kind of the way we would look at it. So
12 we're going to maybe validate that study
13 assumption, or maybe find something a little
14 different. But they're going to help us do that,
15 and that's great.

16 So what do we want and where we're at.
17 So right now one of the things we're doing, which
18 is a key value add, I think, in this process, is
19 doing some pretty comprehensive surveys with the
20 asset owner of all these DC ties to understand
21 condition, to understand capability, spare parts,
22 things like that. What keeps you up at night?

1 Why are you going to try to sell more service
2 across this thing or do people have any confidence
3 in this equipment? And they're not.

4 The big things that came out of our
5 first meeting that we had in June came from Public
6 Service New Mexico. And they said, this study is
7 great. Look at all these DC options, but we want
8 to look at AC, too. We want to look at just
9 bypassing the Eddy County tie and taking advantage
10 of that 345 KV line that's built in SPP to the
11 tie, and getting benefits within the western
12 system in New Mexico without the tie, bypassing
13 the tie. And I'm hoping that we can move forward
14 on that. I think there's a lot of interest in
15 that. That's a supplemental thing.

16 The next scheduled meeting is October
17 4th. On the backend of that meeting is a North
18 American Renewal Integration study. It's called
19 NARI. Some people call it the Pan-North American
20 study. The DOE funded that, too. And so we're
21 taking the study and the participants, looking
22 just at the U.S. needs on the east-west grids and

1 now we're going to expand it to include the
2 Canadians to the north and Mexico to the south.
3 So we're excited about that.

4 This is my graphic that I want to share,
5 and you can stare at this for about 10 minutes and
6 still want to look at it some more. This is some
7 really good data that NREL has pulled together.
8 And I just wanted to talk a little bit about it.

9 So what this is showing is time
10 synchronized generation, as well as transmission
11 transfers and load. And what's going on with
12 resources across North America on a time
13 synchronized basis. The parts of the eastern grid
14 is based upon the ERGIS study, which NREL did a
15 couple years ago. It had significant solar
16 development, as you see, in the southeast parts of
17 the U.S. and pretty moderate by today's standards,
18 I think, wind development in the plains, not
19 nearly as much as probably we're projecting today
20 based on prices and interest and queues. But what
21 you see is -- you see the sun coming up over the
22 east, the solar's picking up, the wind starts

1 dying off. The load picks up. Transfers move
2 around on the system. And then the sun's going to
3 set. And the solar's going to away, and the
4 wind's going to pick up.

5 So the solar and the wind, at least
6 within the eastern interconnection, it's a good
7 model. Okay? But when you look at the western
8 grid here, that's a totally independent model. So
9 these are just crunched together. Okay? There's
10 no optimization at all. Actually, there's no
11 coordination at all between these models. They're
12 just time-synchronized and they're looking at
13 typical high renewal scenarios in the future that
14 are time synchronized. That's it. So I think
15 we're going to see a little different scenarios
16 come out of this eastern-western seam study, when
17 you actually start looking at what you could do
18 across the seams.

19 I'm very excited about this, and I
20 appreciate your interest and look forward to the
21 panel's questions. Thank you so much.

22 MR. BOSE: Okay, the next speaker is

1 Michael Skelly. He's the founder president of
2 Clean Line Energy. And Clean Line Energy was the
3 first company to obtain approval from the U.S. DOE
4 to construct an interstate transmission line under
5 the Energy Policy Act of 2005. Before Clean Line
6 Energy, Michael led the development of Horizon
7 Wind Energy, which was one of the leading wind
8 companies in this industry. So with that, Mike.

9 MR. SKELLY: Thank you. Thanks very
10 much. This is your one and only slide, so I'll
11 expect you to commit it to memory. What I thought
12 I'd talk about a little bit is our company's part
13 in this vision of an HVDC grid, give you a bit of
14 a rundown on the state of plans, some of our
15 projects, and then talk in a bit of detail about
16 the participation agreement, as it is called, that
17 we've signed with DOE in late March of this year.

18 So, as was mentioned, I spent a lot of
19 time in the wind energy field and we built a
20 fairly successful company. And after that company
21 was sort of bought and sold, a number of us at,
22 what was it at? Horizon Wind, started looking

1 around and thinking, what's the big problem? And
2 should we start another wind development company?
3 Should we do solar? And it's very easy to come to
4 the conclusion that transmission is the biggest
5 challenge out there. And we wanted the big
6 challenge, so we started Clean Line with the idea
7 of putting together a set of projects that would
8 facilitate a lot more wind on the grid. And as we
9 looked at the grid, it was clear that, because of
10 a number of factors around how we structure the
11 electric power system in this country with fairly
12 balkanized ownership of the grid, and RTOs with
13 let's say varying degrees of cooperation, again,
14 this is pre-FERC Order 1000 back in 2009, it was
15 clear that nobody else was going to sort of wander
16 in and try to figure this thing out and try to
17 build the projects. And we thought and discovered
18 that on the strength of some of the other things
19 that we'd been able to accomplish, we were able to
20 put together the tens of millions of dollars of
21 capital that it takes to fund an enterprise like
22 this.

1 So where do you sort of start with this?
2 So the incumbents, like -- and it's not that these
3 aren't very smart people. They are very creative
4 and they're thinking about the future, but
5 Oklahoma Gas and Electric, for example, they're
6 not set up to do decade long investments to move
7 energy from Oklahoma to the Southeastern United
8 States. Nor is, for example, TVA, it is not in
9 their charter that they should reach halfway
10 across the country to get access to these great
11 resources. It's also, it was clear in 2009, it's
12 even more clear today with sort of the very and
13 different results of FERC Order 1000 that neither
14 FERC nor the RTOs were going to force a process
15 that created a dynamic where you had
16 interregional, true interregional planning to sort
17 of connect these resources and load. And that was
18 our thought then and it's actually come true so
19 that you look at that equation, you go, well,
20 somebody's got to go figure this thing out. Let's
21 go figure it out. And that's why we started Clean
22 Line. And it's our hope that, if we're successful

1 with one or more of these projects that we will be
2 ultimately part of this sort of super grid that
3 we've been hearing about in some of the previous
4 discussions.

5 So why these particular projects?
6 That's a little bit about why us, so why is it,
7 you know, Clean Line Energy, this eight-year-old
8 company up here or not some of the bigger
9 utilities in the United States? They're not
10 really set up for the task at hand. So then it's
11 sort of, okay, which projects? How do you figure
12 out which projects to do? And it's, the wind side
13 of it is actually fairly straightforward because
14 you look on the map and you go, okay, well, this
15 is -- these are best resource in the country.
16 Let's start here. And then where do you deliver
17 to? And that answer is largely a function of sort
18 of, if you look at our projects in the Eastern
19 Interconnect, you'll see that we connect to the
20 edges of the 765 system and we connect to the TVA
21 system. Connecting to Entergy 500 KV system, many
22 a developer has run aground on the shoals of that

1 system so we didn't think it was feasible to go
2 there, so we said we need to go all the way to
3 TVA, why not go to Atlanta? As we looked at the
4 -- sort of looked through all the laws and the
5 state citing laws and bits and pieces of federal
6 citing, we thought, okay, we got to keep the
7 number of states to an absolute minimum here
8 because we're going to rely on states, uh, and if
9 the states don't work then hopefully we'll be able
10 to avail ourselves of whatever federal authority
11 is out there.

12 So then you, big threshold question, so
13 how big can you do these lines? Can you do them
14 as big as Dale's lines on the map or some of the
15 other lines we've seen today? Our answer to that
16 was, that, you know, 3,500 of injection is pretty
17 much the max that you would get RTOs and utilities
18 comfortable with. So 3,500 megawatts was sort of
19 the upper limit on the delivery side, and 4,000 on
20 the generation side. So that sort of gives you
21 the basic sort of parameters.

22 And we did not want to try to do

1 projects that would require -- we thought it would
2 be too hard to attract capital to a business that
3 required changes in federal law. So it's hard to
4 fund a business that you go to an investor and
5 say, okay, we're going to have this, you know,
6 ubiquitous national signing authority and let's go
7 do projects around that. That didn't feel --
8 it's, believe me, it is very difficult to attract
9 development capital to this business and that felt
10 hopeless.

11 So then you look at the economics and
12 the economics and the basic economics of our lines
13 today is the costs with the current tax regime
14 under two cents a kilowatt hour to generate wind
15 out in the windy parts of the country. As TVA and
16 others have done, solicitations and utilities in
17 the center of the country are doing bids now,
18 prices are coming in as low as a penny and a half.
19 And again, that's with the production tax credit
20 as I think you all know. And that sort of phases
21 out over time, so add in the early 2020s, add
22 about .3 cents a year as the production tax credit

1 is slowly phased out.

2 So the economics of, you know, two cent
3 wind or penny and a half wind, we need about a
4 penny and a half to two cents to get it to market,
5 so we're talking about delivered cost in the, you
6 know, low-threes to four cents, which, you know,
7 that feels like it hurts. And that was an
8 important part of how we sort of conceptualized
9 it. Right? The numbers were different back in
10 2009, but gas prices were higher. But that's
11 where we are today.

12 So we're always sort of seven years into
13 this, and we are -- well, I was at a dinner in
14 Washington the other night and I looked at the
15 sort of sponsors of the dinner, and I sort of
16 counted up all the law firms that were sponsoring
17 this big dinner. It was the dinner that you were
18 honored at Marilyn, and I -- not to my surprise, I
19 realized that every one of those law firms is
20 working for us in some capacity. So as another
21 friend in the electric power business joked to us
22 early on, this is a full-employment project for

1 lawyers and consultants. But we knew that going
2 into it so I guess we can't really complain.

3 Let me just sort of give you the quick
4 rundown on the portfolio of projects and then I'll
5 tell you a little bit more about what's going on
6 with our plains and eastern project for which we
7 have the agreement in place with DOE. So our Rock
8 Island connects, or would connect, 3,500 megawatts
9 of new wind from northwest Iowa to the PG&M system
10 outside Chicago. That project is in a hospice
11 right now because we had a -- we sort of got hit
12 by the trifecta on that project and the -- first
13 of all you have an IOE utility board citing
14 process which basically requires you to go get the
15 land and get the rights-of-way, and then ask if
16 you can get permission to build the line, which is
17 an extremely expensive undertaking.

18 Then on top of that, the Iowa
19 legislature changed the law that said, not only do
20 you have to get the land, you have 18 months to
21 get it. And then a few months ago we got a court
22 decision overturning a favorable-sided decision in

1 Illinois, so we got our certificate in Illinois
2 after about three years, and -- on a five-zero
3 decision, by the way. That went a few landowners
4 and ComEd, not Exelon, but just ComEd, appealed
5 that decision. ComEd or Exelon or one of those
6 companies is concerned about competition,
7 apparently. And so they appealed the ICC
8 decision. It went to an appellate court. The
9 appellate court overturned the ICC decision. So
10 we're hoping to get a hearing at the Illinois
11 Supreme Court, not so much that we'll be able to
12 get Rock Island out of the hospice, but we'll be
13 able to rescue Grain Belt, which is the next
14 project, from emergency care. Because the concern
15 is that this Illinois decision, while not binding
16 on all courts in Illinois, would affect -- that
17 project would be vulnerable to a similar court
18 challenge.

19 And basically what the court held,
20 despite what we think, is very clear law to the
21 contrary, that if you're not an electric utility
22 in the state of Illinois, you cannot become one.

1 And you must own facilities and you must own
2 customers. This becomes a familiar theme in a
3 second. So we're optimistic and NRDC and other
4 folks have helped weigh in and create the
5 environment under which we believe that the
6 Supreme Court of Illinois will take that up and
7 hopefully reverse that court decision. But the
8 three blows on Rock Island, again, that project is
9 in hospice care and it's a very difficult
10 situation.

11 So then on Grain Belt we have a
12 good-sided decision from Kansas, from Indiana, and
13 from Illinois. In Missouri we were -- our first
14 trip to the Missouri commission, they rejected us
15 on a split vote, on a 3-2 vote. We have filed --
16 we basically struck an arrangement with some
17 municipal customers to give them a price that they
18 couldn't resist on capacity on the line and
19 they've signed up for capacity and we've managed
20 to enlist the governor's support of the project.
21 So we're optimistic that upon rehearing, or that
22 upon -- it's not a rehearing. It's a second go at

1 the Missouri process that we will get through the
2 process. But we do have the Illinois court
3 decision that obviously would affect how things
4 might play out in Illinois, so we're very
5 concerned about that.

6 So then we have, the other DC line that
7 we're working on, and I'll just focus on the DC
8 lines, is a project called Centennial West which
9 would go from this phenomenal resources in
10 Northeastern New Mexico to Southern California.
11 We are not doing much work on that at all because
12 if you get into a, you know, one of these
13 multiyear federal citing processes, you need to go
14 in, you know, armored up to the tune of probably,
15 our guess is the permitting bill on that would be
16 around \$100 million. And that's not an investment
17 that our company's prepared to make right now
18 until, you know, we see how we prove out the
19 business thesis with other projects, or another
20 thing that would spark our interest in Centennial
21 West would be if TransWest Express, which is
22 another company with a DC line from Wyoming to

1 Vegas, they've been working on their permitting
2 for about nine years now and they're awaiting a
3 record of decision from the joint WAPA and BLM.
4 So if they're successful, that would increase our
5 interest in trying to move Centennial West along.

6 So where are we on plains in eastern?
7 So let me just back up for a second and sort of --
8 so the configuration here is a 4 gigawatt line
9 from the, basically the center of the panhandle of
10 Oklahoma, phenomenal wind resource with a number
11 of just about every big player in the electric
12 power industry -- in the wind generation space is
13 active in the panhandle from Berkshire Hathaway to
14 EDF to Invenergy to Apex, et cetera, et cetera, so
15 there's a lot of producers out there very anxious
16 to build their projects but they can't do so
17 because they have no way to get to market.

18 So our basic business model is to sell
19 to those producers a slice of capacity on our
20 line. And with that capacity, we'll get them
21 either to the MISO market in Arkansas or to the
22 TVA system and onto the southeast. And again, the

1 line is 600 KV. It will move at the injection
2 point. It'll be 4 gigawatts and the delivery
3 points are 500 megawatts to the Entergy/MISO
4 system and 3,500 to the TVA system. And our
5 business model, again, is, so we'll sell the
6 capacity. We take the development risk, so we
7 spend all the money and the studies and lawyers
8 and consultants and all that to sort of pull all
9 this together, and then our investors will have
10 the opportunity to invest in this \$2.5 million
11 project. So that's their interest is they'd like
12 to make that investment and in order to do so,
13 obviously, we have to get it permitted.

14 One of the advantages of this is that
15 we're -- because, as we've pointed out earlier, in
16 a participant- funded model, we're not reliant on
17 (inaudible) or the federal
18 government or anybody else to take
19 the risk of project success or
20 failure.

21 So before I get into the details on the
22 DOE agreement, a few more sort of, where are we?

1 So the Department of Energy signed a participant
2 agreement with us at the end of March. That was
3 after a -- about a three and a half year NEPA
4 process, several years of sort of analyzing the
5 project in the run-up to entering into an
6 agreement whereby DOE agreed that they would sort
7 of look at the project. That put us into NEPA.
8 Once we were in NEPA we had to go through NEPA,
9 obviously, before DOE could make a decision with
10 respect to participation. We got a very favorable
11 EIS at the end of -- in November last year? Yeah,
12 November of last year. And then the record of
13 decision from DOE at the end of March.

14 So since then we -- that's a very
15 important gating item for us as we think about
16 sort of continuing to develop the project. First
17 of all, we have a route, so we have 1,000-foot
18 corridor within which the line must be sited, so
19 we can talk to landowners with confidence about
20 where the line would actually go. It would be
21 premature to do so before we did that. So on the
22 strength of that, we've had about 50 right-of-way

1 agents in the field since, I guess since mid-July.
2 We're a little over 100 miles of right-of-way
3 today. And when I call the office this afternoon,
4 a few more miles will have come in. So it's
5 coming in at a pretty good clip. And I'll talk a
6 little bit more about that, that aspect of it, in
7 a second.

8 We are in discussions with all the wind
9 generators who are active in the panhandle. We've
10 run several open seasons and we're negotiating
11 those agreements now. They, in turn, are talking
12 with load serving entities, with utilities in the
13 Southeastern United States. The utilities in the
14 Southeast are interested in really sort of --
15 there's two ways they can approach this. One is
16 to simply enter into PPAs where they pay for
17 delivered energy. There's also interest among
18 some of those utilities that can work this with
19 the regulator but that would actually might have
20 an interest in owning generation out in the
21 panhandle, and owning part of the transmission
22 line, and we're happy to have their participation,

1 as well. That would be part of their rates and
2 that's, in fact, in many instances, the most
3 cost-effective solution for customers. So there's
4 a bunch of those discussions going on as well.

5 So we recently made an equipment, we
6 signed an MOU, with an equipment supplier to
7 provide the -- it's roughly a 4,900 million for
8 the HVDC equipment and we will issue a limited
9 notice to proceed to that equipment supplier in
10 the very near future. And shortly thereafter we
11 anticipate making public who that supplier is.

12 So let's talk about -- am I going way
13 over my time, by the way?

14 CHAIRWOMAN TIERNEY: Maybe five more
15 minutes.

16 MR. SKELLY: Okay. So how does this DOE
17 agreement work? Basically, the participation
18 agreement with DOE says that DOE, subject to us
19 meeting many, many pages of condition precedent,
20 okay, which include that we have financing
21 commitments for the project that we've signed,
22 interconnection agreements that we have agreements

1 for 2 gigawatts or 2,000 megawatts of capacity on
2 the line, that we finished a few, sort of, other
3 permits, Army Corps, (inaudible) things like that,
4 subject to all those things happening, if we have
5 attempted over a sustained period of time to reach
6 an agreement with the landowner and we can't reach
7 an agreement, then DOE will step in and use its
8 authority to acquire right-of-way on the projects
9 -- effectively on a project's behalf. The
10 right-of-way will -- well, there's a bunch of
11 ownership things around that, but that's sort of
12 the basic mechanism. And so that's why we're
13 spending a lot of time right now getting out ahead
14 on the right-of-way front in order to -- so that
15 we have plenty of time and don't end up in a
16 situation where, you know, landowners feel rushed
17 to make a decision. That's the basic architecture
18 and I'm happy to answer questions about that after
19 (inaudible).

20 Before I close out, let me just talk
21 about what we think is the most important piece of
22 all this, and it's really the social and human

1 piece of siting, transmission wise. We feel a
2 huge responsibility to get this right. We feel
3 like it's, you know, one of the first long
4 distance DC lines to be attempted and -- well,
5 there's a few under development, so I shouldn't
6 say that, but as a, sort of, the first across the
7 line and in some, the first in some respects, I
8 should say. We have to get this right, so we have
9 to get the siting right. And so, prior to -- and
10 this, for the time that DOE was sort of an early
11 consideration of the project, we took great
12 advantage of that time, and did a tremendous
13 amount of stakeholder outreach. It's impossible
14 to do too much stakeholder outreach because you're
15 always going to get more input that's going to
16 lead to a better project. So we did spend years
17 on that, a lot of consultations with folks in the
18 environmental community, county officials, open
19 houses, et cetera, et cetera. I think we added up
20 -- well, this is a few years ago, we added up and
21 we had, like, 15,000 discreet meetings that we'd
22 held over a several year period of time.

1 And that helps us do two things. It
2 helps people understand why you're doing this, and
3 why this is an important part of the nation's
4 infrastructure. Not everybody's going to like
5 what you're doing, but at a minimum you have to
6 give them the opportunity to understand what we're
7 doing. And you have to give people a voice, and
8 you have to get all the information out there so
9 that you can come up with the best possible route.
10 The other thing we work quite hard at is constant
11 communication. So we try to get out as early and
12 as often as we possibly can to tell people what
13 we're doing today, what's coming up, and so on.

14 There's a big tribal consultation piece
15 to this, largely due to lands in Oklahoma, and so
16 there's a formal piece to that and there's an
17 informal piece to that, and we try to do a good
18 job with both of those. And then finally,
19 there's, you know, where the sort of rubber meets
20 the road is when you actually sit down with a
21 landowner and work out the agreement to site the
22 line. And we pay 100 percent of fee value for a

1 landowner's property, and then we've also borrowed
2 a page from the wind energy notebook, so we pay --
3 we will pay landowners on a per tower basis. So
4 if you have a lattice structure on your lane,
5 you'll get \$1,500 per year from now until the line
6 is -- well, transmission lines don't seem to get
7 removed, but if it were ever removed, then those
8 payments would cease.

9 And then finally on the jobs front,
10 organized labor will play an important role in our
11 project and they have the best qualified workforce
12 for the task at hand, and we also do as much as we
13 possibly can in terms of local sourcing of
14 business opportunities. So we do everything from,
15 you know, sort of local business open houses to a
16 few marquee arrangements with the tower
17 manufacturer and a wire manufacturer. We
18 convinced the French company, Sediver, to build
19 their glass insulator factory in Arkansas in
20 return for an exclusive agreement to buy
21 insulators from them. So that's another important
22 piece of this.

1 By the way, none of this guarantees that
2 projects like ours will be without opposition but
3 I'm absolutely certain that they would not be
4 possible if you didn't do everything you possibly
5 could to get these things right. So, thank you
6 very much, and delighted to take questions.

7 MR. BOSE: Okay, questions? Do you want
8 to go first, Sue?

9 CHAIRWOMAN TIERNEY: I get to go first.
10 I have so many questions, but I'm going to do the
11 most recent one, which is to Michael. How does
12 the interstate Clean Power Plan process fold into
13 this?

14 MR. SKELLY: So under CPP, even with a
15 mass-based or rate-based -- and I know I'm in a
16 room full of experts, so I may just not get this
17 exactly right, but we're going to move the
18 generation stack at the delivery point. So in
19 conversations we've had with the EPA and state
20 officials and so on. It's very clear that the
21 receiving state would get the carbon reduction
22 benefit, as it should be.

1 MR. ZICHELLA: Yeah, this has been a
2 great panel and I wanted to thank you all. You
3 know, this work is really important and to get to
4 the kinds of penetrations of renewable energy
5 resources we need to -- we have to think
6 differently about the entire system and the work
7 on the seams that you've been -- Dale and Jay have
8 been involved with is really exciting stuff. And
9 Michael, tenacity is your middle name. You know?
10 I've just watched for years as you guys have
11 slogged in the trenches on these projects and your
12 commitment to doing the stakeholder outreach part
13 of this, right, has been really inspiring to NRDC
14 and the groups we work with, because we've been
15 advocating people get ahead of that and not wait
16 until the backend, as we used to do it.

17 I think this model has become more
18 widely adopted than it ever has, and now DOE has
19 helped produce, you know, this whole early
20 consultation process, the pre-application process,
21 that's just been finalized that recognizes the
22 value of the kind of work you've been doing. So I

1 just wanted to congratulate you and hope you'll
2 stay tenacious and get to the finish time. And I
3 do think it's important that at least somebody
4 proves you can do this. You know? And I know one
5 of the reasons I was hoping you would come and
6 speak with us is because the obstacles are just
7 enormous. And the patchwork of permitting
8 authorities that you have to deal with is just
9 stunning. And it's interesting to me that even
10 though it was approved in the EPOA 2005, that
11 states could form interstate compacts without
12 having to come back to Congress for approval for
13 the purpose of interstate transmission, nobody
14 does it. And folks like you really wind up having
15 to do missionary work and everything from
16 municipal governments on up to states. So,
17 thanks.

18 MR. SKELLY: Well, thank you. Thank you
19 very much.

20 MR. BOSE: Jim? Jim?

21 MR. LAZAR: My questions is for Jay.

22 MR. BOSE: Do you want to turn on --

1 CHAIRWOMAN TIERNEY: Jim, your --

2 MR. BOSE: That's okay. I got it.

3 CHAIRWOMAN TIERNEY: -- microphone.

4 MR. LAZAR: My question's for Jay.

5 During the 2000/2001 West Coast power crisis, the
6 back-to-back DC interties flowed as much energy
7 west as they could. The West was at a 500 to
8 \$1,500 megawatt hour market, and the East was in a
9 50 to \$150 megawatt hour market. So there were
10 tremendous economic opportunities. How much
11 arbitrage goes on on a routine basis now with
12 those back-to-back connections?

13 MR. CASPARY: I'm really not in
14 operations or in markets. You know? I don't
15 think there's as much as you might expect. I
16 think the transactions across those DC ties are
17 determined by the owners and the people that have
18 the contracts and the rights across them, and
19 they're going to use them to the extent they can
20 to meet their own internal needs. But I really
21 don't know. I do know that when we were setting
22 some new wind peaks here in March and April,

1 approaching 50 percent wind penetration in our
2 footprint, we were basically exporting across
3 everything, because energy was so cheap in SPP, a
4 similar type situation to that blackout, I guess,
5 and the system response for the Southwest
6 blackout. I wish I had a better answer. I could
7 probably look into it.

8 MR. OSBORN: I could help.

9 MR. CASPARY: Help, please. Dale's got
10 the answer.

11 MR. OSBORN: Those ties, we've looked at
12 them and they have about 22 percent capacity
13 factor on them. Usually in our studies when we
14 have DC, they run 70 to 80.

15 MR. FELLER: It's a question for Michael
16 about our friends in the north and Canada, who
17 obviously have a different regulatory system.
18 They have different value on carbon in some of the
19 provinces, like British Columbia. Can you comment
20 a little bit about anything that you've seen there
21 that was relevant to your business model or
22 relevant to some of the assumptions that you're

1 making for different projects, but also in that
2 spirit, can you talk a little bit about what
3 happens to your business when the price of carbon
4 arrives on the scene and you're the party that
5 enables the carbon-free producer to deliver
6 carbon-free electrons to a customer, will you be
7 presenting new issues, new options to your
8 customers when the price of carbon becomes real?

9 MR. SKELLY: Well, so we think the price
10 of carbon is -- I mean, different people price it
11 different ways and value it different ways, but
12 every utility in the country is thinking about
13 carbon. And they're all trying to figure out how
14 to position themselves around this and, you know,
15 there's not a national -- you know, you can't pull
16 up the NYMEX curve on carbon yet, but it's a big
17 part of the equation. And I think, you know, I'm
18 hard-pressed to think of a single utility that's
19 not either positioning themselves around this,
20 either as an offensive strategy or defensive, or
21 whatever, because they know -- and the smarter
22 ones are saying, you know, we got -- okay, we have

1 a clean power plant and that's got these goals,
2 but everybody knows that once we hit those goals,
3 we're going to hit the "that was easy" button and
4 go on to much greater goals.

5 And then with respect to Canada, that's
6 actually an accident of geography. So Canadian
7 provinces run north- south. Canadian rivers, by
8 and large, run north-south. Utilities are all
9 organized north-south. So you have a natural
10 protagonistic actor to go get the resource to
11 load. So a company like us, we would have nothing
12 to do in Canada, because there's no, sort of, gap
13 there. The natural incumbants are going to figure
14 out what they have, and they will continue to
15 figure it out, at least from a hydro perspective.
16 And so but it's a round -- it's sort of an
17 accident of geography and an accident of, sort of,
18 how they've structured their electric system. So,
19 if our states were long and flat, then the, you
20 know, Westar or PG&E or whatever they would
21 connect the wind with their load. That would have
22 happened by now.

1 MR. FELLER: I guess the follow-up is
2 Europe, which is not north-south. It's got, you
3 know, in the European Union, 27 national
4 jurisdictions and then a lot of provincial
5 governments, all of whom have a say. There's been
6 a lot of interconnect for renewables, and it's not
7 just the Baltic. Were there any lessons there?

8 MR. SKELLY: Well, I think it's a deeper
9 commitment to renewable energy, driven both by
10 environmental imperatives but, you know, for a
11 long time, you know, being at -- to this day,
12 being at the end of Putin's pipe is not, you know,
13 not always a great ride. So the national security
14 imperatives around indigenous resources are, on
15 the renewable side, I think are stronger in Europe
16 than they are here.

17 MS. CONKLIN: Well, thank you for the
18 panel. It was my division within DOE that
19 actually led the internal review process on plains
20 in Eastern and a lot of hard work went into the
21 decision, so --

22 SPEAKER: Thank you.

1 MS. CONKLIN: -- it's wonderful to hear
2 your perspective on it. I just had a comment.
3 Pat asked that I mention a rule making which we
4 recently completed on transmission, which Carl
5 also mentioned in his comments a few minutes ago.
6 Last week the Department announced the
7 finalization of a rule called the Interagency Pre-
8 Application Process or the IIP. This is using our
9 authorities under Section 216(h) of the Federal
10 Power Act to encourage transmission developers to
11 do more work with the federal family and other
12 interested stakeholders like the states, Indian
13 tribes before they file an application with the
14 federal government to encourage more upfront
15 planning to make the backend of the process more
16 efficient.

17 We've actually piloted this concept on a
18 couple of our existing presidential permit
19 applications, and because the developers and the
20 Department did such a great job in their
21 pre-planning, we actually finished the EISs on
22 both those proposed projects in less than a year

1 and a half. And so it just published today in the
2 Federal Register and there's more information on
3 our website if any of you want to hear some more
4 about it.

5 Rep. MORRIS: Jeff Morris from
6 Washington State. I have a question about whether
7 there's any tradeoffs in permitting costs with
8 this new, bold, overhead line design and those
9 space conductors with this footprint versus DC, at
10 all.

11 MR. SKELLY: I'm not sure. Do you
12 understand the question?

13 MR. CASPARY: I think so, but I don't
14 know.

15 MR. SKELLY: Then go for it.

16 MR. CASPARY: I think I understand the
17 topic. I don't know if I have the answer to the
18 question. The bold transmission is AEP's new
19 compact, high surge impedance loading type design
20 line that looks very untraditional. To try to get
21 it on shorter towers and longer spans and higher
22 capacities in the corridors, right? I mean,

1 that's kind of the goal. We haven't seen any of
2 that in our footprint. I think they're trying to
3 build some of those projects and are building them
4 in Indiana and other places. I think anywhere you
5 can minimize the land use and increase the
6 capacity in a corridor, whether it's through HVDC
7 or through bold or some other design, I'd
8 encourage that, or advanced conductors or
9 whatever. There's ways to do that. But on the
10 other side, you got to worry about security and
11 having too much capacity or portions of your
12 system in one corridor. The network needs to be
13 resilient and able to respond and stay secure.

14 MR. BOSE: Janice?

15 SPEAKER: Yeah, Janice, go ahead.

16 MS. LIN: Thank you. Thanks for that
17 presentation. It was incredibly informative and I
18 know I learned a lot. I had two questions. My
19 first question is, I was wondering to what extent,
20 and this is really open to all three of you,
21 you've considered energy storage as a means to
22 improve the utilization of either existing or

1 planned transmission to increase the throughput or
2 efficiency, and then I have one more question
3 related to non-wires alternatives. But we'll take
4 this one first.

5 MR. OSBORN: We looked at the
6 variability of wind and solar, and when you have a
7 300 or a 315,000 megawatt market, the California
8 duck, instead of being sitting, he takes off and
9 flies. So he becomes a ramp over the day and not
10 a problem. So there's really not a storage
11 requirement for solar, and when you put -- we had
12 limited data on solar, but the solar that we added
13 up, when you add it up over a large footprint, it
14 becomes almost a perfectly smooth curve, all the
15 variability adds up and it becomes predictable,
16 and it flattens off on the top due to the time
17 zones and then back down. It becomes a reasonable
18 resource just like wind did. They told us in
19 2003, Jay and I were looking at wind that AWEA
20 told us that 10,000 megawatt of wind was the most
21 that could ever be built in the United States in
22 our area. And we passed that three or four years

1 ago. Just in MISO we're at 15,000. What do you
2 got?

3 MR. SKELLY: We're over that now.

4 MR. OSBORN: Yeah. So I think when you
5 get these aggregating resource or transmission
6 lines, solar is not going to be a problem. Like,
7 if you aggregate the wind from MISO, ERCOT and WEC
8 together, you cut the variability by 50 percent in
9 ERCOT and WEC, which means you could double the
10 capacity there and run at the same capacity. So
11 storage basically becomes just you just sell it in
12 the market, but there's a point, and we think it's
13 somewhere around 40 percent penetration where
14 storage becomes important. But people who would
15 have storage, would have a lot of different
16 opportunities than they have today. It'd be just
17 hard to put in new storage, because the market
18 would take care of it.

19 MR. CASPARY: So we looked at this a
20 lot. So assume the way we think, I mean, it's
21 pretty clear that when you build transmission
22 lines they fill up, and they fill up with, sort

1 of, the cheapest alternative. And for our line,
2 you'd actually overbuild the wind to about 4.5
3 gigawatts because wind dips in the daytime and if
4 you remember the maps, we're actually on top of
5 the best solar in the Eastern Interconnect, so in
6 the fullness of time, there'll probably be another
7 gigawatt of solar. The ratio is about 4:1, which,
8 by the way, would make this the second largest
9 power plant in the country after the Grand Coulee
10 Dam.

11 When we look at it, the break over cost
12 is around \$100 a kilowatt hour, and we're at,
13 like, \$400 and at about 100 bucks it makes sense
14 to start shifting things around, build a little
15 more wind and then take advantage of the capacity
16 in the line when the wind isn't blowing. So, yes,
17 it's just a question of, you know, sort of when do
18 we cross that price point, and then it would
19 happen. And, again, ours is a very particular
20 case because a lot of the cost of our overall
21 system of generation plus transmission is actually
22 in the transmission. So if you can put storage

1 in, you can optimize it. But the numbers aren't
2 there yet, but hopefully they will be in the, you
3 know, at some point in the 2020s, we believe.

4 MR. OSBORN: I'd like to add one more
5 point. We had Christopher Clack run our system
6 for 30, 50, and 80 percent carbon reduction and
7 one of the things that surprised us is we were
8 seeing a colocation of solar and wind in North
9 Dakota and those areas, and Michigan. And we
10 thought, that can't be right. But the reason is
11 is that, once you get transmission, it is lower
12 cost to build solar in those areas because you
13 already have the transmission, so you're using the
14 transmission system more efficiently. You use the
15 wind at night and the solar in the day. And
16 you're seeing some of those colocations and I
17 would expect that you would see transmission built
18 to those --

19 MR. SKELLY: Did you measure the time of
20 day (inaudible)? I'm sorry. Did you measure the
21 time of day going east?

22 MR. OSBORN: What do you mean the time

1 of day going east?

2 MR. SKELLY: Because you're in the
3 Eastern Interconnect. North Dakota is two hours
4 west of Boston.

5 MR. OSBORN: Yeah, but we didn't go that
6 far. We just, for the MISO footprint, we got
7 colocation.

8 MR. CASPARY: I'd just like to add
9 something. I think we do see storage applications
10 now basically for wind farms that are trying to
11 manage curtailments right now on our system. I
12 think we have a lot of wind farms in SPP that are
13 banking on a Clean Line project or two coming, so
14 they get interconnected with us and participate in
15 our market, but they definitely don't have firm
16 transmission service, so they're waiting for other
17 options and access to markets. I do think longer
18 term you're going to see big storage projects to
19 help complement these renewables and I know
20 there's people interested in them. They're
21 talking to us. They want to be part of these
22 solutions and make sure that storage is part of

1 the mix. And we'll include that.

2 MS. LIN: Thank you for that. I --

3 MR. OSBORN: I was going to say that one
4 reason we don't have a big storage need is we've
5 got Manitoba Hydro sitting up there with 5,500
6 megawatts of generation capability, and nine
7 months of storage. And they can buy out of our
8 system. And they're building another 500 down
9 into our system. So they have a tariff provision
10 called an EAR, an external asynchronous resource.
11 They can buy and sell out of our system just like
12 any participant without being subject to the MISO
13 board director directives, because they're a
14 provincial government. They have an independent
15 board, and they can't be subject to anybody else,
16 but they can participate in the market, and
17 they're doing that. We haven't seen negative wind
18 for, I don't know, years up there. They just buy
19 it all and then they sell it in the middle of the
20 summer for nice prices.

21 MS. LIN: The story of storage. My
22 follow-up question is on the other end of the

1 spectrum. In light of DOE's goals around an
2 integrated grid and greater national security, how
3 -- I guess this would be more for Jay and Dale to
4 talk about, using maybe distributed energy
5 resources, local renewables, local PJM storage in
6 lieu, as an alternative, to transmission. I'm
7 just curious how you're thinking about that.

8 MR. CASPARY: Sure. I'm a firm believer
9 in the integrated grid model that EPRI's put out
10 there and part of the EPRI leadership team
11 supporting that. I think, you know, we don't have
12 a lot of visibility right now, at least on the
13 distribution and retail level. We don't know
14 about rooftops. I mean, we're a wholesale
15 transmission service provider, so we only see what
16 goes through the big substations, the
17 sub-transmission transformers and things like
18 that. We really don't know what's going on at the
19 load level. I think we need to know. Like, I
20 think, because the grid supports all kilowatt
21 hours, not just net wholesale kilowatt hours that
22 we see on our system, so we're going to have to

1 get more data and more understanding of those
2 resources, and particularly down the road I think
3 it'll become significant.

4 MR. ALMGREN: I think it's a clear value
5 having a big system as you describe. And I think
6 in Europe they looked at tying Europe together
7 with Africa and get solar. But in reality it's
8 really hard to get something done. And I'm
9 thinking about how to go from (inaudible) to get
10 something done. In reality, I think almost every
11 system which has been built has been bilateral.
12 Like Pacific intertie was Oregon down to
13 California, how to get back into New England. And
14 all the European systems, while the big plan was
15 still there, they do the direct ties.

16 So one question, I will have two
17 questions. How can we solve these few? What's in
18 it for the states who are between point A and
19 point B, how can they share -- get some cut in the
20 benefits? Because otherwise I think it would be
21 very difficult to do system covering many states
22 or many countries. And the other question I have

1 is that, all these siting issues, which are always
2 a huge challenge, there's been huge progress on
3 the cable technology. You can get a 1,000
4 megawatt, gigawatt cable which you can lay in the
5 ground like fiber optics. And I think it's been
6 illustrated in Norway Holland cable, the Norway
7 German cable, which has been done. The Sweden
8 Lithuania, and I also think there's cases now with
9 offshore wind in Germany where they bring in with
10 a DC cable, and then they continue on land with
11 the cable. Because that's the only way to get it
12 built in time. So that's my second question. Do
13 you see the cable technology could solve some of
14 the siting issues?

15 MR. SKELLY: Okay, so let me take the
16 first questions that, sort of -- you're sort of
17 posing the ABC, the middle state question.

18 CHAIRWOMAN TIERNEY: And, Michael, let
19 me just do a time check.

20 MR. SKELLY: Yeah.

21 CHAIRWOMAN TIERNEY: I'd like to have
22 responses and then one more question in a five

1 minute period.

2 MR. SKELLY: Okay.

3 CHAIRWOMAN TIERNEY: Okay? Thanks.

4 MR. SKELLY: I think you have to do
5 everything you can for every state. That's why we
6 deliver energy to the state and identify
7 manufacturing opportunities and (inaudible) as
8 well, and so on. I don't think it's that easy,
9 though. We have the project that I mentioned
10 that's in a hospice is a two state project. This
11 isn't an issue of, like, one state, a middle
12 state. It's the whole equation is very, very
13 complex. In terms of the cable technology, the
14 reason these offshore links, that the cable works
15 in Europe is because you have big ships that lay
16 the cable out. And you have very few splices.
17 And until we come up with a, you know, 800-ton
18 ship that can go across the plains, you're not
19 going to eliminate these splices. And it's right
20 now the cost is, you know,

21 to 10 times, and there's not -- we
22 haven't seen a lot of movement in that. But if

1 you're doing a short connection and you have a
2 huge willingness to pay, for example, in New
3 England, they're going to do 50, 100 mile, you
4 know, 80 mile lines that are underground, but the
5 cost per kilowatt hour is the same as the cost for
6 an overhead line of 7 or 800 miles.

7 So we don't see in most of the electric
8 power markets that we operate in, a willingness to
9 pay, you know, 10 cents to move power across the
10 country.

11 MR. ALMGREN: Just a comment is, I mean,
12 I've been amazed how quick the progress has been
13 in the installation of the cables. If that trend
14 continues, you think the cost would come down,
15 make it more meaningful?

16 MR. SKELLY: I don't think we're close,
17 no.

18 MR. OSBORN: One thing New England,
19 their cost of lines are three times what our cost
20 of lines are, so cable makes some sense. And
21 cable is coming in in those areas about three to
22 four times what the overhead is. And they can get

1 it through, so they do it. They pay a little bit
2 of a premium. But in our area it would take some
3 more years before it would pay off. I mean, going
4 through the Rocky Mountains with a cable would not
5 be easy. But I calculated some years ago where
6 the break off is, and when you get about 12,000
7 megawatts, the power transfer cable becomes, using
8 2008 numbers of technology. So if we built that
9 first system I showed you, the second system may
10 be cable.

11 CHAIRWOMAN TIERNEY: And, the last
12 question.

13 SPEAKER: Very quickly then, so what
14 needs to be fixed with the interregional planning
15 and transmission development? Wave your magic
16 wands.

17 CHAIRWOMAN TIERNEY: A new U.S.
18 Constitution.

19 SPEAKER: We can't do that in five
20 minutes.

21 MR. SKELLY: No. I think that the
22 fundamental flaw within the regional planning,

1 from our perspective, is that it relies on the
2 RTOs to work well together as opposed to a project
3 driven process where you have people who identify,
4 (a) a demand and a supply, and then I -- for our
5 money, we think FERC should require the RTOs to
6 compare the cost and benefits of lines, not
7 necessarily to pay for them, but at least to give
8 state commissions and other governing authorities
9 an ability to evaluate these lines. Because right
10 now we have a situation where, like, the Missouri
11 commission, how they're not positioned to figure
12 out, like, what's the cost and benefit of a line,
13 and if you ask -- sorry, Dale. If you ask MISO to
14 show up to testify in a line siting application
15 for a project like ours in Missouri, they'll say,
16 yeah, these guys are going through the
17 interconnect. They seem like nice enough fellas,
18 but we don't know anything about the cost of
19 benefits, because we've never measured it because
20 we're going from SPP to MISO to PJM. So FERC, at
21 a minimum, should say, you must evaluate these
22 projects and just tell us what they do.

1 MR. BOSE: Thank you very much.

2 CHAIRWOMAN TIERNEY: Terrific panel.

3 All right, Paul, you're up. And Clark. And
4 please assume that you have until about five of
5 5:00, okay? You've got the same time, just
6 shifted. And no more than that.

7 MR. CENTOLELLA: Okay. Clark and I were
8 privileged to sit on a National Academy panel
9 whose report just came out. It is capable of
10 being downloaded for free from the National
11 Academy website. It's called The Power of Change:
12 Innovation for the Development and Deployment of
13 Increasingly Clean Electric Power Technologies.
14 This was a unique opportunity where a number of
15 senators asked DOE to engage the National Academy,
16 to look at how we could recapture leadership in
17 clean energy. And the Academy's initiated the
18 study. There were originally 17 members of the
19 committee, including a former undersecretary of
20 energy, a former congressman, a former FERC
21 commissioner, a retired admiral, a former
22 governor, and the two of us, and several

1 academics, environmentalists, a really fantastic
2 group of people to work with.

3 And we were really tasked with
4 determining how policy could accelerate the market
5 adoption of advanced energy efficiency and lower
6 non-carbon polluting technologies. I'm going to
7 give you the bottom line first, and then talk a
8 little bit about how we got there.

9 So we had two overarching
10 recommendations. First is that government should
11 significantly increase their emphasis on
12 supporting innovation for increasingly clean
13 electric power generation technologies. And this
14 was really a kind of underlying theme of the
15 report that there's a fundamental need for
16 important breakthroughs in innovation if we really
17 want these technologies to be implemented at
18 scale. Secondly, that Congress should consider an
19 appropriate price for pollution, both greenhouse
20 gases and other pollutants that are not
21 internalized in a market-based system to both
22 create a level playing field, create market pull,

1 and expand research, development and
2 commercialization. So those were our fundamental
3 findings.

4 How did we get there? Well, first of
5 all, we took a look at our existing mix of
6 electric generation technologies. And while we
7 have about a third of the capacity that is low or
8 no emission technology, when you take away the
9 legacy hydro and nuclear, we're really talking
10 about only about 8 percent of electric generation
11 is coming from these low emitting sources. And
12 while some of these sources are seeing declines in
13 cost, they still have a very long ways to go to
14 get to any sort of target that we might have for a
15 low emitting, low greenhouse gas electric sector.

16 We started out by asking the question,
17 well, what are the market values that are
18 contributing to this, and this was right on the
19 first page of our report. You know, the
20 identification of non-internalized costs for
21 pollution being an important factor. Now,
22 certainly not the only factor, but a factor that

1 was an example of the kind of market failure that
2 justifies government actions. And in this case,
3 we noted that the correct intellectually simple
4 but politically difficult answer is that
5 governments can require market actors to price
6 pollution into their decision making. So just as
7 the National Academy has in past reports
8 encouraged putting a price on greenhouse gas
9 emissions, we reiterated that finding in this
10 report as something that is fundamental to fix our
11 environmental problems.

12 But we went on to look at the
13 technologies themselves. So we looked at a number
14 of different sources. This particular graph,
15 which is in one of the appendices to the report,
16 is based on the 2016 EIA Annual Energy Outlook.
17 And we broke down all of the different elements of
18 cost to look at the levelized cost of electricity
19 for generation from different types of generating
20 technologies coming online in 2022. And you'll
21 see there that the least expensive in terms of a
22 levelized cost basis, so this is forecasting what

1 the cost will be five years from now. The least
2 expensive is the advanced combined cycle gas
3 units, and this particular graph has built into it
4 a \$15 per ton carbon price.

5 Well, we can look at and compare where
6 these levelized costs are for different
7 technologies relative to that levelized cost for a
8 gas combined cycle unit. And what we see, and for
9 this first graph, is without the carbon price
10 built in, is that wind technology ends up being 43
11 percent more costly on a levelized cost basis.
12 And this is sort of the medium case. This
13 doesn't, you know, dispute the fact that there are
14 places and occasions where wind or solar can be
15 cost-effective relative to conventional resources.
16 But when we looked at the central case form EIA,
17 what we saw, and this was true for other studies,
18 as well, was that on a levelized cost basis, wind
19 is more expensive, in this case by 43 percent.
20 Solar, and we're talking utility-scale solar here,
21 by 74 percent and offshore wind, for example, is
22 even more expensive, 240 percent more expensive

1 than the cost of the combined cycle gas. And with
2 the exception of geothermal and hydroelectric, you
3 know, these technologies seemed unlikely at these
4 cost points, to begin to scale in a massive way
5 across the United States. Well, even when we
6 begin to add in a carbon price at the kinds of
7 levels that at least people are beginning to talk
8 about, in this case the \$15, it takes the wind
9 price, for example, you saw on the prior slide,
10 from 43 percent more efficient down to being 32
11 percent more efficient, and the solar is still 60
12 percent more efficient, not more efficient, more
13 costly, I should say, than the more efficient gas
14 combined cycle unit.

15 So we would have loved to have reached a
16 conclusion that said, you know, we can simply go
17 out and deploy these things. We just need to make
18 a few little adjustments and we'll be great, but
19 we really couldn't find the data to support that
20 kind of conclusion. So this left us beginning to
21 look more deeply at the technologies. And I think
22 our basic recognition was that climate mitigation

1 is a very hard problem, so that if you're trying
2 to look at a problem at the scale of climate
3 change, that is so large that it requires a
4 significant switch to increasingly clean power
5 sources, in most of the U.S., despite the fact
6 that there are places where solar and wind may be
7 cost-effective. In most of the U.S., even with a
8 price on pollution, most increasingly clean
9 technologies would lack the cost and performance
10 profiles that would result in the levels of
11 adoption that are required.

12 This becomes even more difficult when
13 you look at the problem globally. Globally we are
14 seeing coal being built in Southeast Asia. We're
15 seeing, you know, other technologies that are
16 conventional, fossil fuel technologies, often
17 without controls, going in in the developing
18 world. And if you want to tackle the climate
19 problem, effective mitigation requires a
20 transition to low carbon technologies on a global
21 scale, potentially with a compressed time frame,
22 so one has to think about technologies that are

1 both globally scalable and globally affordable.
2 And our conclusion was that the technologies as
3 they exist today and are projected to improve in
4 the near future, don't meet that test.

5 So we also looked, then, at the question
6 of, well, what happens if we just continue to
7 deploy these technologies? Can we get enough
8 improvement just by sort of learning by doing,
9 learning by deployment to begin to close this gap
10 in a timely way? And, yes, we looked at the
11 general kind of learning curves that you see out
12 there which, you know, if you look at a number of
13 technologies over history and you do a very simple
14 association might suggest a 10 to 15 percent
15 improvement in performance for every doubling of
16 deployment. But we also looked more deeply at
17 that and realized that first of all, that's an
18 association. That's not necessarily causation.
19 When you look at the analyses to try to break down
20 the factors that contribute to that, the learning
21 by doing is, at best, a 4 to 5 percent improvement
22 with doubling, and sometimes not that; that, you

1 know, that there are diminishing returns to that;
2 that, you know, sometimes if you put a big
3 incentive on deployment you may simply get
4 deployment of current or incrementally improving
5 technology and not necessarily the kind of
6 fundamental shifts that are necessary to address
7 the scale and cost problem on a global basis.

8 So we could not find evidence that
9 policies that focused disproportionately on
10 subsidizing deployment will produce the large,
11 timely, and cost-effective improvements that are
12 going to be required to address these problems.
13 So that literally left us then thinking about how
14 do you begin to improve the innovation process?
15 So we took a rather in-depth look at the
16 innovation process, identified market failures and
17 barriers at all stages in that process and made
18 some findings and recommendations about how to go
19 forward.

20 First of all, and this is not all of
21 them, this is a 320-page report and I invite you
22 to read all of the details, but at a high level we

1 said, it's important for the federal government to
2 leverage regional efforts, regional markets,
3 regional efforts in states, universities,
4 entrepreneurs, and industries to help bridge the
5 funding gap beyond what DOE can do on its own.
6 Secondly, we took a look at things like mission
7 innovation, the breakthrough coalition, and said
8 we also need to be looking at this on an
9 international level to develop technologies that
10 can be clean and deployable, both in the developed
11 world and also in developing economies. And we
12 said the DOE should be looking at a broad
13 portfolio of projects, not knowing, ultimately,
14 what will produce the kinds of breakthroughs that
15 are required.

16 And, also, in the course of doing that,
17 widdling those projects down as you find out more
18 information. The fundamental piece of R&D and
19 innovation is that you are looking at things that
20 are uncertain, and you are trying to resolve those
21 uncertainties and, as you learn, you decide what
22 the fruitful avenues are.

1 The report looked at the innovation
2 process as a whole, recognized that there were
3 significant barriers, both at a technology level
4 and at a commercialization level. And we talk
5 about the different stages of the innovation
6 process, recognizing, of course, that it's not
7 always as neat and linear as this, but nonetheless
8 felt it was important to begin to understand the
9 different points in the innovation process and
10 what could be done at different points in that
11 process. So we talked about some of the bridge
12 between fundamental and early applied research and
13 option creation, which is where ARPA-E is. And
14 there is another Academy study which will focus on
15 reviewing the work going on in ARPA-E.

16 We looked, then, at what could be done
17 in sort of these middle stages where we found many
18 of the most significant barriers exist. So we
19 looked at the concept of roadmapping and challenge
20 funding within DOE. We said that those roadmaps
21 really ought to look at goals that were
22 appropriate for the challenge of having globally

1 affordable and scalable technology so that we
2 begin to think not just about incremental
3 improvements in the technologies that we have, but
4 what kind of R&D is going to be necessary to get
5 us to the point of solving the problems. We
6 talked about and look at the role that inducement
7 prizes can play as a supplement to intellectual
8 property rights, as an alternative to grants and
9 conventional R&D funding. We looked at the need
10 to begin to activate things that are regional and
11 local levels, so we talk about, for example,
12 clusters of regional institutes and how you begin
13 to develop clusters of innovative companies in
14 different regions.

15 We recognized that venture capital has a
16 limited timeframe, and looked at models and
17 research that could allow a kind of limited
18 partnership of government in those venture funds,
19 gave some of the existing statutory authority
20 under the SBIC to establish, you know, clean power
21 related public-private venture funding as a way of
22 extending venture capital. Understood that in

1 order to accelerate technologies in this middle
2 stage, it's important to utilize the kinds of
3 tools that are now available and expanding a
4 network of simulation and testbeds. Some of these
5 are tools that exist today. Some of them are
6 tools that will need to be developed. Some of
7 them are testbeds that could be developed
8 relatively inexpensively. Others, like a nuclear
9 testbed, might take significant government funding
10 in order to support, but we felt that it was
11 important to have these kinds of tools available.

12 And finally we looked at the
13 demonstration stage and really felt that it was
14 important to create institutions that would allow
15 a partnership between the federal government and
16 regional funds at that stage. Finally, there's a
17 discussion of how we move this into the utility
18 industry. There's a chapter about how we begin to
19 think about utility regulation. You know, some of
20 the things that are covered in there is different
21 regulatory models, you know, set aside funding for
22 research and development, and a number of other

1 items.

2 So that chapter really deals with
3 modernizing the power system, and it has, I think,
4 a couple of different focuses for DOE. One is
5 that a recognition that it's going to be necessary
6 to redesign business and regulatory models, models
7 that will be more customer driven in this future
8 world, and that DOE has a role in developing
9 information and tools to assist state regulators
10 in considering and implementing new kinds of
11 regulatory models to meet those challenges.

12 And secondly, that states have a role in
13 implementing policies that, in part, through their
14 utility regulatory proceedings, to support
15 innovation. And, you know, that might include,
16 for example, set aside funding for innovation
17 programs, and DOE might be helpful to the states
18 in advancing their consideration of those kinds of
19 objectives.

20 We also looked at the need for new
21 business models, and specifically talked at this
22 point about distribution system operators, and

1 also other kinds of customer energy service
2 providers. We identified some specific areas in
3 which distribution system operators would need new
4 tools. Those are laid out in a section of the
5 report, some of them are things that DOE is
6 already doing and some of them will be expansions
7 of those efforts. So at this point I'm going to
8 turn it over to Clark to talk about efficiency and
9 technology readiness.

10 MR. GELLINGS: Thank you, Paul, great
11 job. So, obviously, you don't do a study about
12 technology as it relates to clean energy without
13 touching on efficiency, and that's what we did
14 here. Going back to the point Paul made earlier
15 that the panel recognized that prices matter, and
16 if we could, perhaps, really bear all the true
17 costs of generating electricity and the price of
18 electricity, some magic would happen. Prices
19 would go up and people would respond accordingly.
20 However, the panel did feel as though that was a
21 valid path to take in the short-run, but in the
22 long-run, it might not be enough to overcome

1 market barriers and behavioral failures.

2 And let me spend just a moment on the
3 behavioral side because this is one of the few
4 places that I've seen the National Academy reports
5 were that is specifically mentioned. So, now, I'm
6 going to borrow a couple of numbers from my own
7 work. This is not part of the National Academy
8 work, but just help illustrate. If you look
9 across the next

10 years, we -- it's likely that we might
11 reduce the consumption of electricity by, say, 10
12 percent over what it otherwise would be. You
13 know, you got countervailing and pressures of the
14 economy and population growth, and so on.

15 But what's achievable in that regard?
16 Well, with a really hard effort, maybe 14, 15
17 percent is achievable. Yet we leave a lot on the
18 table because about 18 percent reduction might be
19 economics. So I only mention these numbers just
20 as an illustration here. You won't find them in
21 the report. But what's the difference between
22 those numbers? Well, it's behavior. So we

1 offered, at least, that there should be some
2 effort made on understanding what the behavioral
3 issues are and potentially coming up with, I'll
4 say, solutions, like we don't necessarily solve
5 behavioral issues, but that we can point to
6 activities, programs, and the like that would
7 reduce the uncertainty of people actually adopting
8 the more efficient technologies.

9 I would also just quickly mention the
10 innovation side of this where, in fact, we could
11 do a lot more with technology if just making that
12 technology available so that when people would go
13 into Home Depot, for example, and put their hand
14 on the shelf to buy a lighting device or whatever,
15 the device that's on the shelf is already much
16 more efficient. So there's that angle of it.

17 But turning back to DOE and DOE has done
18 and should do, among the most successful things
19 that we've done in this country to reduce the
20 consumption of electricity is appliance efficiency
21 standards. DOE has that role now. It's in their
22 wheelhouse and so the Committee complimented DOE

1 on that activity and suggested that they should
2 continue to set new appliance standards as the
3 technologies evolve. Of course they need to be at
4 maximum feasibility, technologically and
5 economically justified so we don't put undue
6 burden on our society.

7 The second recommendation here is really
8 to do with building standards. The first one DOE
9 has a role and is able to take action with regard
10 to appliance efficiency standards, DOE cannot
11 promulgate state energy efficiency sub-codes and
12 building codes, but they can encourage. So what
13 DOE has been doing is working with certain
14 standards organizations such as ASHRAE. Many of
15 us are familiar with ASHRAE Standard 90, and try
16 to help them evolve information that would
17 translate those appliance efficiency, or building
18 efficiency suggestions, guidelines, into state
19 standards should the states take action.

20 And the last one of these is with regard
21 to government in the private sector, (inaudible)
22 moving barriers. And there's some examples that

1 were brought out in a discussion where, even
2 within the federal government, it's sometimes
3 difficult for them to make decisions and we are
4 all or have all been exposed to actions that have
5 been taken in governments with regard to buildings
6 and sewage plants and what not, all where there
7 are requirements to go to the lowest capital cost
8 without allowing considerations for operating
9 costs.

10 So the energy efficiency portion of this
11 I think you'll find it's pretty thorough in that
12 it does address the problems as we see them today.
13 But I want to add one more very important one, and
14 that is that things are changing around us and in
15 particular things like AMI, data analytics, the
16 edge of grid stuff, the micro synchrophasor work
17 that Merwin has talked about repeatedly. All
18 these things are bringing more data forward, and
19 as we learn to use that data, and make that data
20 available and learn how we can manage that data,
21 there might be a fundamental shift in how we could
22 look at the rollout of efficiency both from a

1 technological point of view, as well as with
2 regard to programs and activities. And the
3 recommendation here, specifically, is that DOE
4 should increase investments. Of course in
5 innovative efficiency technologies, in that same
6 20-year period that I referred to earlier, there
7 could be a tremendous improvement in energy
8 efficiency, should those investments come forward.
9 But these do take time. They do not happen
10 overnight.

11 Any of the technologies we point to now
12 as being innovative have been around for years.
13 Wind turbine generators, we started working on
14 those well over 25 years ago in earnest. Solar,
15 same thing. This was going to require a sustained
16 investment in time, and pointing back to a point
17 Paul made earlier, we have to have the patience to
18 live with them even through periods of dark
19 outcomes, if you will.

20 All right, my final point I want to make
21 is with regard to technology readiness levels, and
22 this is really more to point to the report. I

1 can't possibly cover all of the technology
2 readiness level information that we've got in that
3 report, but TRLs are a way for us in the
4 technology community to measure the stages of
5 development of a technology and the stages of
6 development that system that we were using is
7 actually the one that NASA developed. I made very
8 brief titles for them here so that you'd get a
9 flavor of it, but as you might guess, ranging from
10 exploratory through formulating concepts,
11 validation in the lab, early demos, and so on, all
12 the way through to TRL 9 as we like to call it,
13 and that is a wide scale commercial deployment.
14 In the appendix to the report you'll find a series
15 of TRLs on a number of technologies. I think for
16 those of us who are in technology planning, you'll
17 find that very useful. We grouped them a bit just
18 to make it more palatable into these five. I
19 won't read them to you, but you'll get a sense of
20 them.

21 Between Paul and I, we've mentioned most
22 of them here, even in this presentation. So just

1 a quick wrap-up. Hard to wrap up, except number
2 one, we really would like to see clean energy
3 technologies compete, but they are rather
4 expensive right now on the power generation side
5 especially, given low natural gas prices, but that
6 falls over, by the way, to the end use side. With
7 the price of gas the way it is, it's really hard
8 in some areas of the country to justify electric
9 heat pumps. And yet those are the kinds of
10 technologies that we'll need to see gain greater
11 acceptance if we really are to get to a low carbon
12 future. We can't just do it with generation.
13 It'll have to be done with end use, as well. We
14 need better technology, certainly, for power
15 generation, for pollution control, end use, grid
16 integration, storage, all of the things that we so
17 often talk about and it's going to require a
18 massive effort.

19 So, questions? Paul, I think we have
20 left four minutes.

21 MR. BROWN: Merwin Brown with the
22 University of California. When I worked for NREL,

1 this is almost 15 years ago, we did a study for
2 the Clinton White House, that should better get
3 the time factor, on a question about what could
4 bioenergy do in the way of helping with reducing
5 the consumption of oil-type products. And I
6 remember the answer came back -- you know, this is
7 an oversimplified answer, but basically it was,
8 you can't do it without new technology. And in
9 some ways you just -- this study says the same
10 thing, only in a much broader perspective. And I
11 have to say that privately I intuitively am not
12 surprised by the findings of this, at least in
13 general, but looking at this study, as presented
14 here, it seems to me that another dimension of
15 research area needs to be added at the federal
16 level and other levels, but it goes even beyond
17 DOE and that is adaptation to climate change.

18 And so, I don't know whether that was
19 discussed or not in this group, that if we can't
20 find the new technologies, that we don't even know
21 for sure what they are, maybe we better also get
22 some contingency planning in there of technologies

1 to help with adaptation of climate change.

2 SPEAKER: Well, certainly --

3 CHAIRWOMAN TIERNEY: Why don't you guys
4 do this? Let's take a couple of questions --

5 SPEAKER: Yeah.

6 CHAIRWOMAN TIERNEY: -- and then you can
7 answer them fully. So, Pat, and then Jim.

8 MS. HOFFMAN: So, my question is more
9 just your thoughts. I noticed that chapter six on
10 the electric grid chapter really did a huge
11 emphasis on the regulatory issues, the business
12 models, kind of the structures, and one of the
13 comments in there was looking at a -- I think it
14 was a customer role for the distribution system as
15 a customer energy service provider or a
16 distribution system operator. And I said,
17 independent or combined? You know, I think
18 actually the opportunity could be combined. I
19 just wanted your thoughts on that.

20 SPEAKER: Hold on.

21 CHAIRWOMAN TIERNEY: Jim, add your
22 question.

1 MR. LAZAR: The report (inaudible) --

2 CHAIRWOMAN TIERNEY: And then Marilyn.

3 MR. LAZAR: Jim Lazar from RAP. The
4 report does talk about the need to get to an 80
5 percent reduction but it does not discuss the
6 field switching of currently fossil fueled loads,
7 primarily space and water heating, and
8 electrifying those loads. And I'm wondering what
9 the thought is on that as we look further ahead,
10 sort of at the issue of retiring the gas industry.

11 CHAIRWOMAN TIERNEY: One more question,
12 that's -- and then you guys can do an omnibus.

13 MS. MARILYN BROWN: Well, I really look
14 forward to reading the report. Thanks so much for
15 providing an overview of it. Just a real simple
16 question on the social cost of carbon. I noticed
17 that the \$15 value is, like, almost outside of the
18 range of the social cost of carbon as the
19 interagency agreement agreed ranges go. In 2030,
20 they -- I'm looking at a table here. In the year
21 2030 they range from 16 to 73. I'm ignoring 95
22 percent discount rate. So in the 2.5 to 5 percent

1 discount rate they range all the way up to 73.
2 Fifteen dollars (inaudible) here, too, is kind of
3 a typical value that people are using as a
4 prediction of what the trading value will be for a
5 carbon allowance in the year 2030. I've seen that
6 used now on three or four publications. But, you
7 know, there's a big difference between an estimate
8 of the damages and an estimate of the mitigation
9 cost or an acceptable tax range. So I just
10 wondered, it seemed to me that if we were to put
11 the full cost of carbon in, your conclusions,
12 Paul, wouldn't be so negative in terms of what we
13 could do in competing the clean options more
14 favorably.

15 MR. GELLINGS: Thank you for your
16 questions.

17 MR. CENTOLELLA: So, I'm going to come
18 to Pat's last, but let me start with Jim's and
19 Merwin's by just saying, you know, I wouldn't
20 disagree, but I -- neither were really in the
21 scope of what the study was doing, looking at
22 power technologies and, you know, and how to get

1 increasingly clean power technologies into the
2 marketplace. So I think we would agree with both
3 of your observations, you know, and it wasn't
4 really something that was on the table for us as a
5 Committee to try to reach a conclusion about.

6 So, Marilyn, you know, if you look in
7 the report, you'll see the values. It's very easy
8 to, you know, to go in and adjust the carbon
9 value. Let me see if I can get back to that
10 slide. Wait a second. So if you look at the
11 carbon value, it is, for most of these
12 technologies, relatively small. You can see it in
13 the coal plant value. Oops, I didn't want to get
14 the --

15 MR. GELLINGS: Microphone.

16 MR. CENTOLELLA: No, I don't. I guess I
17 don't have a laser pointer that I can get to work,
18 but you can see it in the conventional coal. It's
19 the orange bar. When you go to the others, it's,
20 you know, it tends to be relatively small. So,
21 you know, here's, you know, advanced gas combined
22 cycle. Even if you tripled or quadrupled that,

1 you know, you're still going to see, you know,
2 these technologies struggle somewhat. So I don't
3 know that I've done the \$60 calculation. I did
4 \$41 the other day because it's the forecasted
5 price from one of the reports in New England. You
6 still were seeing, you know, wind. I don't
7 remember the exact figure, but 20 or some odd
8 percent more expensive than, you know, than
9 advanced combined cycle gas.

10 MS. MARILYN BROWN: So then what you
11 also really want to do is look at the range of
12 natural gas prices rather than the single one.
13 And then those two together, I bet, could change
14 your bottom line.

15 MR. CENTOLELLA: So at \$30 wind is still
16 percent more expensive on average than the
17 advanced gas combined cycle. So yes, it
18 brings it closer, but the question is not just can
19 you find places where it makes sense, the question
20 is, can you get it to scale and can you get it to
21 scale not only in developed economies where people
22 might be willing to pay somewhat more, but can you

1 get to scale in developing economies where
2 emissions are going up, and the trade-off is
3 between taking people out of poverty, or paying
4 for cleaner technologies. You know, so that's
5 part of what's underlying our fundamental
6 recommendation.

7 MR. GELLINGS: Paul, I just want to add
8 that while we obviously were trying to do a study
9 which would talk in part about how we become more
10 innovative in technology development, we were
11 anchored in the technologies we know. And we
12 didn't really begin to speculate very strongly on
13 advanced technologies. In particular we didn't
14 speculate on new electric technologies that would
15 subsume the need, even, for a fossil fuels. We
16 weren't even allowed to address transportation
17 because that was apparently going to be done by
18 another Academy study. So you'll see a lot of
19 emphasis on power generation technologies, some on
20 the smart grid, as Paul has already elucidated,
21 but they're pretty much based in the technologies
22 we now know.

1 Now, having said that, strong emphasis
2 on, we need to do a lot more with innovation.

3 MR. CENTOLELLA: So, let me conclude
4 with trying to respond to Pat's question. And,
5 first of all, I want to say, thank you, Pat, for
6 your support for the study. It was very much
7 appreciated by the Academy and the Committee.

8 So at the time that, you know, that we
9 were drafting this report, which is now several
10 months ago, you know, we were looking at some of
11 the early dialogues around how the business model
12 of utilities might change. And sort of stated
13 from some of Peter Fox-Penner's early work around
14 this, you know, in terms of DSOs and service
15 providers. You know, we did, however, you know,
16 include in a -- and you'll see a list. And I
17 mentioned it, you know, with respect to some of
18 the capabilities that we felt a DSO might need.
19 We talk there about distribution level markets.
20 We talk about platforms and platform markets. We
21 talk about, you know, the need to have operating
22 models that extend from transmission into

1 distribution. And we talk about some of the other
2 specific kinds of things that DOE might be looking
3 at, you know, as it begins to think about how
4 these business models and the underlying
5 technologies may evolve. So this is, as you know,
6 a rapidly changing area. And ongoing work, some
7 very nice work that, you know, we've been
8 following in the grid modernization lab studies,
9 but you know, an area we think of continued need
10 and focus if we're really going to get to the
11 point where these technologies will integrate in a
12 way that is efficient, cost-effective, and
13 reliable.

14 MR. GELLINGS: We never did try to
15 resolve the issue of the interface, specifically,
16 between transmission and distribution, recognizing
17 that that is its own dynamic at the moment.

18 MR. BROWN: Excuse me. Merwin Brown, a
19 clarifying question. On the carbon emissions
20 calculations for the natural gas fire, did you
21 include methane emissions as well?

22 MR. GELLINGS: No, I don't think that

1 was in there. So the answer is that the
2 downstream emissions are included. The upstream
3 emissions are not. So, you know, the getting the
4 gas out of the well, that's not included in the
5 calculation and that might --

6 MR. BROWN: Some people say --

7 MR. GELLINGS: -- that might modify, you
8 know, how you were looking at this.

9 MR. BROWN: Some people say that could
10 change it a lot.

11 CHAIRWOMAN TIERNEY: That was a terrific
12 presentation. And thank you for your service on
13 the Committee. Thank you so much. That was
14 great. All right, we have little less than an
15 hour before we need to break for dinner. And I'd
16 like to suggest that for about 30 minutes, if
17 anybody has some completely relevant, great idea,
18 burning thing to share about something that you
19 are working on that is relevant for the work of
20 this Committee, and by that I specifically mean
21 commentary that we might share with Pat and the
22 Department of Energy. Or an idea that you would

1 like to throw out with regard to some area of work
2 that would be really interesting or edgy for the
3 Department to be looking at, let's just put some
4 things on the table. These are things that are
5 just meant to stimulate some ideas for the
6 subcommittees and to get to know each other better
7 without having a full dissertation on the topic
8 right now. But say why it's cool, why it's
9 important, and what could be done. So, Janice,
10 I'm going to see you first. And then Gordon. And
11 then people can put up their stuff. So maybe just
12 no one talks individually for more than three or
13 four minutes. Okay?

14 MS. LIN: Thank you, Sue. So because
15 you had mentioned AB-2514 in your opening remarks,
16 I wanted to report back that Governor Brown, on
17 Monday, signed into law a new bill that directs
18 investor owned utilities to file applications for
19 another 500 megawatts of storage, distributed --
20 distribution interconnected or customer sited
21 storage. And this is incremental to the 1.3
22 gigawatt target, which is very exciting. And

1 another bill he signed into law doubles our
2 incentive program for energy storage. It's called
3 the Soft Generation Incentive Program, but through
4 programmatic reform, 75 percent of that is
5 allocated to storage behind the meter, which is
6 very exciting.

7 But the thing I wanted to talk about
8 that -- what's significant about this, especially
9 the 500 megawatt bill was that unlike previous
10 legislative efforts, this one actually had very
11 strong utility support, which was refreshing and
12 new, and kind of exciting, and I think just
13 underscores the importance of learning by doing.
14 And when folks try something and they --
15 especially with storage, like a new -- Heather's
16 going to want to say something, a new tool in the
17 toolkit, and they try it and they really receive
18 competitive offers and see how it works and get to
19 operate it, there's much more willingness to make
20 progress and do innovative stuff. And what we're
21 noticing around the country is that there are
22 utilities all over the place that would love to

1 try storage but they're lacking the tools,
2 planning tools, which help them with system
3 planning and operation that would help indicate
4 the value of storage, so it's a little bit of a
5 chicken and the egg problem. And doing that
6 modeling is very expensive and a real big barrier,
7 and so my humble suggestion is that could be
8 something that DOE could help solve.

9 First, it's all over the country. Maybe
10 providing those resources, either funding to tap
11 into existing commercially available tools, or
12 create a tool or some mechanism where states can
13 do this cost-effectively. Thank you.

14 CHAIRWOMAN TIERNEY: That's great. So
15 first, Gordon, then Heather, then Merwin. And
16 Jim, are you still up or not? And then Jim.

17 MR. FELLER: During the grid
18 modernization discussion this morning, I suggested
19 and I'll repeat it in a different form that maybe
20 would be useful for some of our committees, and we
21 talked about the six foundation projects for grid
22 modernization in this context this morning. It

1 would be good for some of our projects and some of
2 our committees to make a concerted effort to reach
3 out to startups which are largely invisible to
4 bigger organizations like we represent, but I'm
5 making a concerted effort in the last few years to
6 spend a lot of time with startups. All of them,
7 you know, young organizations led by young people
8 who have disruptive technologies, or what they
9 think will be disruptive technologies for our
10 business. And some of them are focused in
11 specific areas that we've discussed about today,
12 whether it's in transmission, distribution or in
13 storage or in generation or in other domains like
14 the analytics for the smart grid. And I think
15 there are an abundance of them who would jump at
16 the opportunity to brief us about what they're
17 doing without needing to sign NDAs. They're
18 anxious to hear from us about what large
19 organizations like the ones that we work with
20 think about the areas they're focused on. It's
21 not hard to do this. It's possible to do this as
22 an attachment to something already happening, like

1 one of the clean tech open events, or the event
2 that we're involved in at the end of October that
3 Berkley and Stanford are cosponsoring.

4 So I'm just offering this as a
5 suggestion. I'm a resource if it's useful to
6 identify some of the examples in different
7 categories of well-funded or maybe even maybe not
8 so well-funded but really promising startups that
9 are focused on resolving some of the problems that
10 we've identified and doing it differently than
11 maybe we have been thinking about it, doing it,
12 hopefully, with a lot less resources required, and
13 a lot more speed into the market. And there are
14 some priorities on our list that I could suggest
15 some categories but I think, you know, over the
16 course of the next 24, whatever number of hours
17 we're together, we'll probably come up with a
18 pretty good list of things that we want to see
19 accelerating in the market, and this may be one of
20 those paths to acceleration.

21 CHAIRWOMAN TIERNEY: Very cool idea.
22 Heather.

1 MS. SANDERS: Thank you. Heather
2 Sanders, Southern California Edison. I always
3 have a lot of ideas for things that we need and we
4 can do, as I learn, especially as I learn more
5 about what it really takes to do this. However,
6 you may already be doing this stuff, because I was
7 really impressed hearing about the six
8 foundational projects in the Grid Modernization
9 working group, and so we offered a number of
10 suggestions in that context. And so I think
11 you're doing a lot of great work.

12 One of the things that we still need,
13 and I mentioned this last meeting, is something
14 that talks about equivalence. So, I'm not going
15 to build a substation, but I'm going to use energy
16 storage and demand response and energy efficiency
17 to solve the same problem. And this is really
18 hand-in-hand with what Janice mentioned about
19 planning tools. This is about gaining confidence
20 and understanding about what does this portfolio
21 do that is the same as a resource that I have
22 available 24x7 for 30 years, and I know exactly

1 what it does. So this we really need because as
2 we go into these discussions about, these things
3 are not the same, you know, I wish I had rain
4 boots, but I have these shoes. There's a problem.
5 When I'm walking about there I slip. So there is
6 things like this -- I didn't use animals. I
7 should have used animals, right, Merwin?

8 So this is something that will be really
9 important for us to discover. The second thing
10 that I mentioned in the Grid Modernization working
11 group that I believe is being taken care of is the
12 new standard, the new way of designing
13 distribution systems. So we have a standard now
14 of how we design distribution systems that are
15 radial. There are standards for deciding network
16 systems, things about how many circuit connections
17 you need, how many remote intelligent switches,
18 how many things you need to achieve at a certain
19 amount of reliability. That will vary based on
20 where you are and who you are and what kind of
21 penetration you have, but this is also really
22 essential, because as we put forward our grid

1 modernization plans, which we did in our general
2 rate case on September 1st, we need to come back
3 and say, why is this the right level of
4 technology? And then, why now?

5 And so these questions are important for
6 us now, and I think they'll become important, if
7 not already, for many other areas of the country.

8 CHAIRWOMAN TIERNEY: Really terrific
9 suggestions. Jim.

10 MR. LAZAR: I'm in the midst of a paper
11 on the role of the grid integrated water heating
12 in play in helping us with the storage and
13 scheduling needs that we need to integrate
14 variable renewables. Preliminary results are that
15 just controlling the existing 45 million electric
16 water heaters in the U.S. would give us the
17 flexibility to add between 50,000 and 100,000
18 megawatts at variable renewables to the system
19 with no adverse impacts on anybody.

20 That number is a function of some
21 interesting things. How many of them are going to
22 become heat pump water heaters? How many of them

1 are in apartments where heat pump water heaters
2 are not currently an applicable technology? How
3 many gas water heaters will convert to electricity
4 under a deep decarbonization scenario? Maui
5 Electric has done a study that, if they can
6 control 6,300 water heaters, which is about a
7 fourth of the number they serve, they could
8 eliminate the wind curtailment that's currently
9 going on in Maui, so this is, you know, people are
10 actually doing stuff with this.

11 And I'll end with a simple little piece
12 of arithmetic. The average electric single family
13 water heater uses about 4,000 kilowatt hours of
14 electricity. If we convert it to a heat pump
15 water heater, it uses 1,500. We've freed up 2,500
16 kilowatt hours, which is about the amount of
17 electricity an electric vehicle uses in a year,
18 and then we have hot water and mobility, and we
19 can control when we charge the water and when we
20 charge the vehicle. We've taken an existing,
21 uncontrolled consumer of electricity, met two
22 different end uses, and have a flexible load for

1 both of them.

2 CHAIRWOMAN TIERNEY: Well, get on with
3 it. That's very cool.

4 MR. LAZAR: My paper, I hope, will
5 trigger a lab level of effort, which is what's
6 really needed to prepare for this resource.

7 CHAIRWOMAN TIERNEY: Thank you for
8 sharing that, Jim. Merwin.

9 MR. BROWN: Merwin Brown, University of
10 California. Most of my work done at the
11 University of California over the last 10 years
12 has focused on transmission level activities, a
13 lot on synchrophasor application, which got me to
14 thinking about data needs with the transmission
15 level. And then that project eventually faded
16 away and we shifted attention to distribution, and
17 we did a project for the energy commission trying
18 to answer the question, is, what kind of data is
19 needed on the distribution system in order to
20 integrate a lot of renewables into distribution
21 systems. So we did that. And now we also have a
22 project funded by RP, which some people will gag

1 if I use this again, but nonetheless, Clark raised
2 that the work we're doing on micro-synchrophasors
3 is to do to distribution what synchrophasors did
4 to transmission, only it's a much tougher job.
5 It's about two orders of magnitude more difficult,
6 but we did achieve a device that will do that,
7 will measure the angle.

8 Anyway, that's not my point. I'd only
9 offer that as a way of disclosing I do have some
10 interest, I guess, in this that I don't think is
11 an ethical breach. But one thing is in listening
12 to the -- well, that experience coupled with
13 listening the foundational presentations of the
14 grid modernization effort, I think the question of
15 what's required, what kind of data is required to
16 run the modern grid, and how we're going to get
17 that data and use it, I don't think is really
18 getting the proper attention. There is a lot
19 focus on the analysis aspects of it, right? And
20 rightly so. There should be. I'm not trying to
21 detract from anything else in that effort, but I
22 do detect, I think, maybe an assumption, not only

1 for that study, but maybe in the industry, that if
2 we build the analysis tool, the data will come.
3 And I'm not sure that's necessarily true. And so
4 I would like to see a more overt look at that
5 question. And I realize it's also an (inaudible)
6 effort. In other words, you got to find a need
7 that needs the data and then you got to find out
8 what it takes to get the data, and does the new
9 data, like synchrophasor did for transmission,
10 open up actually new needs by the fact you can do
11 new things you couldn't do before? So I just
12 wanted to raise that point.

13 Also, I might add, I've already raised
14 it in other forums, and so it's a bit redundant
15 here, but more ears are hearing it.

16 CHAIRWOMAN TIERNEY: Thank you. I know
17 I have one. Oh, Heather, you already did yours.
18 I have one, and I don't see another card, so I'll
19 say it. And this is a topic that came up at our
20 lunch meeting, and so it's something that I've
21 been thinking about a lot. The issue is the
22 growing need for the system operator, whether it's

1 the local distribution utility or whoever is the
2 local grid operator, and the balancing authority
3 to have much more visibility into what's happening
4 in terms of the party behind the meter resources.
5 I've thought about this and some work that I
6 worked on with SCE and ConEd where there's a big
7 movement afoot to open up four distributed energy
8 suppliers. The information about the utilities
9 system, so that they can offer things in targeted
10 ways that work for avoiding that substation, I
11 mean, excuse me, avoiding that circuit or
12 whatever.

13 But on the other hand, I think that we
14 also need to enhance the ability of everybody else
15 to see what's happening. And right now I think
16 that's either limited by commercial interests of
17 the provider say, who has a third party contract
18 for solar panels on the rooftop and doesn't want
19 to share that information, privacy issues of the
20 consumer themselves, but I think that more and
21 more when there's a two-way system, there needs to
22 be more quid pro quo about that. And so I would

1 love to either have us think about that some more,
2 to hear if DOE has places or venues where you're
3 either convening to deal with those qualitative
4 and quantitative issues, and so forth.

5 And, Billy, I see you have one up.

6 MR. BALL: Yeah. I know Pat has to deal
7 with this a lot in her role. It's just something
8 that I've had to deal with quite a bit in the last
9 few years, and it just gets to be a bigger and
10 bigger issue, especially as we see newer
11 technologies, really, anywhere you are in the
12 country around -- whether it's grid operations,
13 new generation type technologies, new devices on
14 the distribution system, and it really comes back
15 to physical and cybersecurity. And there's just
16 been so many times that it's like we're dealing
17 with the physical -- we're kind of in catch-up
18 mode around the physical and cybersecurity issues.
19 So you can deploy a technology, and then the
20 questions start coming. And quite honestly, too
21 many times the kneejerk reaction is, well, insert
22 a dumb piece back in to the process to mitigate at

1 least the cybersecurity threat. And while that
2 might be a right solution, there's just a
3 tremendous tug, I see. It's like advance the
4 technology for all these reasons.

5 Then, oops, we may have gone -- just
6 stop. Stop, stop, stop, stop. Now let's figure
7 out how to get it back here so I can be concerned
8 about my security issues. And then the next day
9 it's, no, advance, advance. So I don't know, Pat,
10 or maybe -- I don't know if in the Department's
11 work, as you work on technology and research, if
12 there's a specific effort in each case to also
13 address some of those issue upfront. And I know
14 that's, like, ridiculously hard to do well. I
15 know that. But it's just something, and I know,
16 Pat, you see it with some of the meetings around.
17 It's just like a yo-yo thing. And they're both
18 legitimate concerns, and if they can be dealt with
19 together, I think we'd get somewhere quicker
20 without kind of going back and forth, and which
21 just creates more uncertainty for everybody
22 involved in the process. So --

1 CHAIRWOMAN TIERNEY: Well, and it
2 creates a --

3 MR. BALL: -- it's aspiration.

4 CHAIRWOMAN TIERNEY: -- battle attitude.

5 MR. BALL: Yeah, it really -- and I, I
6 mean, as somebody who has some operational
7 responsibilities, I, you know, you kind of get it
8 from both ends. And I'm kind of used to that, but
9 I just see a lot of energy, and fighting back and
10 forth, but it's not that anybody doesn't have the
11 same long-term goals. And so I don't know how to
12 improve it. There you go.

13 CHAIRWOMAN TIERNEY: Thanks, Billy.
14 Phyllis.

15 MS. CURRIE: Well, I don't know if it's
16 an exciting topic for DOE, but I think that as you
17 think about the technology changes that will
18 affect the industry, and particularly when we
19 started talking about the role of the transmission
20 operator versus distribution. I think we need to
21 think about how do we change the financial model
22 of utilities, because a lot of the technologies,

1 when they go to the end user, then they're not in
2 the same kilowatt hour developing basis that
3 revenues are collected on today. And also, energy
4 efficiency, that reduces the number of units which
5 utilities typically bill. So you see the
6 conversations that go in and areas where a lot of
7 solar is on the system and that energy meter room
8 becomes a hot button issue.

9 I think some thought along the way as we
10 develop various technologies, we need to be
11 looking at, how does it change the revenue model,
12 and then how do we communicate what the potential
13 changes might be so that people are thinking of
14 how to effectuate those changes before they're
15 faced with the impact. And in some cases,
16 utilities look up and they see that their revenue
17 base has greatly eroded. And by that time, it's
18 too late to really initiate some kind of strategy.
19 So I just think some thinking by somebody, maybe
20 you're going to decide it's not you, not DOE, but
21 somebody has to be looking at how the revenue
22 model for utilities is changing and will continue

1 to change.

2 CHAIRWOMAN TIERNEY: Thanks, Phyllis.
3 Clark?

4 MR. GELLINGS: Phyllis, I like that.
5 I'd like to add to it. Let's also consider how we
6 can preserve the electric utility because too much
7 of this conversation that's going on now makes the
8 assumption that we're going to end up essentially
9 greatly affecting what would be future revenues,
10 future service and delivery, putting a greater
11 burden on certain elements of the utility as it
12 tries to service its consumers because I'm one who
13 believes that it ain't going away, that it's just
14 too damn valuable. It was just too damn difficult
15 to build it. There's just no way that we can make
16 this broad assumption as some policymakers would
17 like to make these days. And we've all heard
18 these conversations. I want a microgrid. Well,
19 do you know what it is? Well, no, not really. Do
20 you know what you want it for? Well, no, not
21 really, but I want one because I hear it's a
22 really good thing. So, you know, I'd love to have

1 some conversation, maybe just among some of us
2 about how do we, yes, move forward; yes, adopt
3 technology; yes, deal with the advent and
4 proliferation of some of these resources, but why
5 can't we do it in a way that preserves this
6 wonderful concept of the electric utility that we
7 have built over many years?

8 CHAIRWOMAN TIERNEY: Thank you.
9 Rebecca, then Marilyn.

10 MS. WAGNER: Just quickly to add on to
11 that, I probably don't totally share the same
12 thought about saving the electric utility as it is
13 today, but I think we need an evolution in that.
14 And, as always, I've harped on this in meetings
15 past. There has to be an evolution in the
16 regulatory model with major changes in innovation.
17 We've seen it in our time. I'm seeing it at the
18 commission in Nevada, not knowing how to deal with
19 storage or even a proposal of a storage
20 procurement target left some apoplectic not
21 understanding what that means and where storage
22 fits and how it's defined so that innovation has

1 to -- there has to be regulatory, I don't want to
2 say upgrade, but evolution as technology evolves.

3 CHAIRWOMAN TIERNEY: Let me just go and
4 then, so we'll continue this way around and then
5 to that side. Hold on. Marilyn.

6 MS. MARILYN BROWN: All right, thank
7 you. I'm kind of continuing with what Phyllis
8 started. So the most in my crystal ball, I think
9 that the electricity consumption of the
10 traditional customer base of electric utilities is
11 going to decline unless we rev up with a lot of
12 electric vehicles on our highways. That's not a
13 reflection of where our official forecasts lie,
14 which continue to show growth. But I know we're
15 seeing very little growth in TVA and I don't know
16 when or why that would stop other than we take on
17 new business lines, like, serving our EV
18 customers. So I think it's really a shame. I was
19 sorry to hear, Paul and Clark, that you weren't
20 able to look at the future of the power of change
21 and this combination of transportation and the
22 traditional electric services provided by the

1 utility industry because I think it's through the
2 electrification of transportation that we're going
3 to see a resuscitation of exciting things that
4 will increase the profit margin or maintain the
5 viability of our traditional electric industry.
6 So that was one point I wanted to make. So let's
7 continue to look at that.

8 But, related to that is, I was
9 mentioning over lunch, from my visit to three
10 weeks in universities in Europe, I just got back,
11 the role of intermediaries, and I see this, too,
12 at Georgia Tech with undergrad and grad student
13 projects that are just so imaginative, where
14 they're identifying new services that they can
15 deliver, you know, over the Internet to fill some
16 sort of a niche need in the electric industry.
17 And I think this notion of intermediaries
18 providing interesting business services, we ought
19 to look at, just as examples of how we may be
20 seeing transformation of the model going forward.
21 It may not be just from the top down, but it's
22 going to be, do they call it, the middle out, the

1 intermediaries.

2 CHAIRWOMAN TIERNEY: Thanks. Paul.

3 MR. CENTOLELLA: So, Billy's comment
4 made me think about a conversation that I've been
5 having over the last week with one of the
6 researchers from MIT. And it was a discussion
7 about, how far can regulation go in promoting
8 cybersecurity, and we were talking about, can
9 regulation begin to address cyber problems at the
10 distribution level. And, you know, the place I
11 took that conversation, and Sue will remember some
12 of this from some work that we did a few years
13 ago, was that it's really important to think about
14 governance, and that the industry itself needs to
15 have governance institutions that bring it up to
16 speed because regulators will never be fast enough
17 to deal with the evolving problems of
18 cybersecurity. Utility commissions will never
19 know enough to be able to evaluate themselves
20 whether or not cyber expenditures are at the right
21 place or not.

22 And so, Sue and I a few years ago worked

1 on a bipartisan policy council report that talked
2 about creating an (inaudible) like institution for
3 cybersecurity. I think convening regulators and
4 industry to have a conversation about what kinds
5 of institutional governance is needed in
6 cybersecurity might be a really interesting role
7 for DOE to take in this place. I don't know
8 whether it would end up with the same place that,
9 you know, that we ended up in, you know, in that
10 report, but I think it's an important conversation
11 and needs to happen between regulators and
12 policymakers, including state regulators on the
13 one hand to deal with the distribution side, and
14 the industry on the other to get us to a point
15 where, you know, we can actually begin to have
16 greater faith in these private companies being on
17 the front lines of defending our critical
18 infrastructure. So that was one comment.

19 The other comment I want to make, and
20 it's a comment that I always come back to and
21 we're seeing it again on the distribution side is
22 how do we begin to integrate markets and

1 engineering? How do we begin to not just say,
2 well, we're going to have X amount of distributed
3 energy resources or X amount of storage, and then
4 have to add on X more things that we're
5 compensating for the inefficiencies of what we
6 just said the first time? And, you know, at the
7 same time recognize that once we enter the world
8 of markets, it's not going to be so clear in the
9 sense that, you know, it may not be a system
10 operator who gets to dispatch every single
11 resource. But there may have to be a forecasting
12 and a using of data to understand, you know,
13 what's going on in the system in a new way. And
14 what does that world look like, and how do we
15 begin to have that conversation, which we had 10
16 and 20 years ago at the RTO level, down at the
17 level of the distribution utility and the featured
18 distribution system operator or distribution
19 platform?

20 CHAIRWOMAN TIERNEY: Cool, that's great.
21 Carl.

22 MR. ZICHELLA: Folks have said a lot of

1 what I wanted to say, so I won't repeat it. I do
2 think, you know, the focus on what the future of
3 the utility might be is fertile ground.
4 Everyone's talking about it, thinking about it.
5 It might be a really useful role for the
6 Department to play to help facilitate and
7 coordinate some of the conversations around what's
8 happening. In the interface with the regulatory
9 system, I think is important, as both Paul and
10 Rebecca have mentioned, you know, how's this going
11 to come together? What is the appropriate role?
12 What sort of dynamic are we going to have in a
13 distribution system? Will it be more
14 transactional? How much of that will be under the
15 auspices of regulatory agencies, or how much of
16 that will be peer-to-peer and we just have to
17 understand how it's going to work and try to
18 forecast what the system will do in response to
19 the markets.

20 You know, I think this is an area of
21 great uncertainty. It's inhibiting our ability to
22 leverage the advantage that utilities can provide

1 to us, and it's really an existential question for
2 them. They're not sure what they're going to be.
3 And I think it is that uncertainty is very
4 inhibiting to the option of new technologies that
5 these institutions see as threatening to them
6 because their future business model is not very
7 clear. So I think it's an area where the
8 intersection of technology, markets, and
9 regulation needs to really need a lot more thought
10 by a lot of people.

11 I know a lot of conversation is already
12 happening on it. It's not like it's not. But the
13 Department may be able to play a facilitation or a
14 convening role to help come to some conclusions
15 about what might be some of the more promising
16 avenues for the future of this industry.

17 CHAIRWOMAN TIERNEY: Terrific.

18 MS. LANEY BROWN: I just wanted to build
19 off actually two trains of thought, maybe, and one
20 was Gordon's comment around looking at startups
21 and companies that are innovative. And also I
22 think very different, but taking Merwin's question

1 about data analytics and also articulation as I
2 see it of value. And I think one role that is a
3 gap, particularly in moving towards innovation, is
4 articulation of value and serving as a translator
5 or educator in this space, whether it's you know,
6 utilities and innovation, you know, startup
7 companies or utilities and regulators around
8 innovation and new projects. And so some of the
9 work that supported with DOE are development of
10 tools to help articulate value and to help educate
11 and translate in sort of a everyday way. And so
12 maybe working on or developing those types of
13 translations or educations that bridge, that help
14 support innovation might be an area to explore.

15 And just maybe one last thing, to build
16 off of -- you know when I think about grid
17 modernization and what's required, people process
18 technology, skillset development and the needs
19 around skillset development is an area that
20 sometimes is neglected, whether it's literally
21 skills that need to be developed, or the
22 development of culture. You know, how do you

1 develop a change culture within an area.

2 CHAIRWOMAN TIERNEY: That's great.

3 Heather, you're going to get the last word. Oh,

4 Ake's going to get the last word, after Heather.

5 MS. SANDERS: Thank you. I hope I

6 retain the thread. As I get older I forget stuff

7 even --

8 CHAIRWOMAN TIERNEY: Oh --

9 MS. SANDERS: -- in the space of 10

10 minutes.

11 CHAIRWOMAN TIERNEY: Just wait, Heather.

12 MS. SANDERS: So I wanted to build on

13 what Rebecca said because this is about, you know,

14 policies and enabling policies. And what I'm

15 wondering about, is there an opportunity for the

16 DOE to partner with RAP or someone else focused on

17 policy to say, these are the potential policies in

18 the futures and these are the enabling

19 technologies we need. This is one of those

20 intersections where we get kind of stuck and we

21 say, we want to enable high penetrations of DERs

22 and then we say, we need to invest in the grid and

1 make sure it can do this, this, and this. And
2 they're like, oh, no. And then we're, like, but
3 we can't do that then. So this is something that
4 I think, if we could get those two things together
5 that really talk about, you know, what it takes
6 and what it means, I think, you know, similar to
7 my equivalence idea is that, how do you really
8 make this work?

9 CHAIRWOMAN TIERNEY: You did a good job
10 of remembering that. Ake, go ahead.

11 MR. ALMGREN: There's one more which I
12 think we should capture one way or the other.
13 That's resilience. Among other things I'm
14 changing the liability committee and PJM. And we
15 deal a lot with physical security. We deal a lot
16 with cyber. I think we're all this sophisticated.
17 And I'm also very excited about all these new
18 technologies. But in the world going forward, I
19 mean, like, resilience is a big deal. Things will
20 happen, and I think that needs to be addressed.
21 And I don't know the right format for it, but I'd
22 just like to get the word resilience on the

1 agenda.

2 CHAIRWOMAN TIERNEY: Well, you'll be
3 glad to know that the reason Granger isn't here
4 today, because he's over chairing the resilience
5 Committee at the National Academies where we're
6 supposed to be. And we're here instead. So
7 there's at least some contribution being made on
8 that. Yes, that's your fault for putting us all
9 on the same days.

10 That was great. I don't about you, but
11 that was very stimulating to hear things that are
12 popping around in your head and put a lot of ideas
13 on the table. So that's great. And I don't know
14 if you want to give some reaction now.

15 SPEAKER: No.

16 CHAIRWOMAN TIERNEY: Okay, that's great.
17 So we have some really important things to do. We
18 have to thank everybody for this afternoon. We
19 have dinner for those who are participating and so
20 that should be fun. Recall that in the spirit of
21 working with the federal agencies, this is a no
22 host dinner. Just like there's no coffee, there's

1 no water, there's no nothing, this is just more of
2 that. So it's great. But it'll be fun. Tomorrow
3 we are starting, excuse me, at 8:00 and for those
4 of you who are new, what we'll do is go through a
5 number of reports from the different
6 subcommittees. We'll lean on you, in fact, to
7 decide which subcommittees that you'd like to
8 participate on. In fact, I think there's a
9 commitment to participate in at least something.
10 And you'll find that they're very interesting.

11 Some of those subcommittee reports will
12 involve proposed approvals of some work products
13 of the committees, and there have been a
14 tremendous amount of work that's been done on
15 preparing papers. At midmorning we're having a
16 panel on plug-in electric vehicles, keeping the
17 thread that we just raised this afternoon, so
18 that'll be great. And then we'll have public
19 comment and wrap up, and I guess we'll be off. So
20 with that, anything else anybody wants to add?
21 Yes, Paul.

22 MR. CENTOLELLA: One logistical point.

1 The Smart Grid Subcommittee has been, over the
2 last several meetings, having breakfast on
3 Thursday morning before we start. Chelsea sent
4 out an email on that, but I think she said we were
5 going to meet at 7:30, which is not going to work
6 if we're starting the full Committee with the
7 subcommittee report at 8:00. So --

8 SPEAKER: Especially when it's at
9 (inaudible).

10 MR. CENTOLELLA: Yes. So if those of us
11 who, you know, who would like to join that
12 breakfast will meet at the Westin restaurant at
13 7:00 so that we have at least a little bit of a
14 chance to get some breakfast and talk a bit about
15 where we're going on our distributed energy
16 resource recommendations going forward while we're
17 here in-person.

18 CHAIRWOMAN TIERNEY: That's great. Now,
19 I'm just reminded that the place we're eating
20 dinner tonight is over in the Westin Hotel. It's
21 --

22 MR. CENTOLELLA: It's the same as

1 breakfast (inaudible).

2 CHAIRWOMAN TIERNEY: It's the same as
3 breakfast. That's great. You can just spend the
4 night there. That's great. That's different than
5 a place that people have used frequently, and
6 apparently that place is closed. But Pinzimini is
7 good. So I think we'll enjoy it.

8 MR. TILL: So Clark doesn't get to fight
9 with the waiter this time?

10 CHAIRWOMAN TIERNEY: Well, I'm sure he
11 can. I'm sure he can. There are more servers to
12 fight with. It's great. All right with that,
13 thanks, everybody for your participation.

14 (Whereupon, at 5:52 p.m., the
15 PROCEEDINGS were adjourned.)

16 * * * * *

17

18

19

20

21

22

1 CERTIFICATE OF NOTARY PUBLIC

2 COMMONWEALTH OF VIRGINIA

3 I, Carleton J. Anderson, III, notary
4 public in and for the Commonwealth of Virginia, do
5 hereby certify that the forgoing PROCEEDING was
6 duly recorded and thereafter reduced to print under
7 my direction; that the witnesses were sworn to tell
8 the truth under penalty of perjury; that said
9 transcript is a true record of the testimony given
10 by witnesses; that I am neither counsel for,
11 related to, nor employed by any of the parties to
12 the action in which this proceeding was called;
13 and, furthermore, that I am not a relative or
14 employee of any attorney or counsel employed by the
15 parties hereto, nor financially or otherwise
16 interested in the outcome of this action.

17

18 (Signature and Seal on File)

19 Notary Public, in and for the Commonwealth of
20 Virginia

21 My Commission Expires: November 30, 2016

22 Notary Public Number 351998

