

UNITED STATES DEPARTMENT OF ENERGY

ELECTRICITY ADVISORY COMMITTEE MEETING

Arlington, Virginia

Wednesday, June 7, 2017

1 PARTICIPANTS:

2 JOHN ADAMS
Electric Reliability Council of Texas

3
4 AKE ALMGREN
Orkas Energy Endurance, Inc.

5 RAKESH BATRA
U.S. Department of Energy

6
7 JEREMY BEDINE
GridLion

8 LANEY BROWN
Modern Grid Partners

9
10 MARILYN BROWN
Georgia Institute of Technology

11 MERWIN BROWN
California Institute for Energy & Environment

12
13 PAULA CARMODY
Maryland Office of People's Counsel

14 JAY CASPARY
Southwest Power Pool

15
16 PAUL CENTOLELLA
Paul Centolella & Associates, LLC

17 CECE COFFEY
ICF

18
19 PHYLLIS CURRIE
Pasadena Water & Power, Retired

20 ERIK DEROSIERS
Independent

21
22 RACHEL FINAN
ICF

1 PARTICIPANTS (CONT'D):

2 CLARK GELLINGS
Independent

3 DEBBIE HAUGHT
4 U.S. Department of Energy

5 KATIE JEREZA
6 U.S. Department of Energy

7 SOPHIE KHUJADZE
Deloitte

8 JOYCE KIM
9 U.S. Department of Energy

10 BARRY LAWSON
National Rural Electric Cooperative Association

11 MARK LAUBY
12 North American Electric Reliability Corporation

13 ANNA LEIERITZ
Mejune Whitney, LLC

14 M. GRANGER MORGAN
15 Carnegie Mellon University

16 JEFF MORRIS
Washington State House of Representatives

17 J.P. MOSCARELLA
18 CleanTech Group

19 Bill Noel
Deloitte

20 ROLF NORDSTROM
21 Great Plains Institute

22 BILL PARKS
U.S. Department of Energy

1 PARTICIPANTS (CONT'D):

2 CHELSEA PELLECCCHIA
ICF

3 PAUL ROBERTI
4 Ernst & Young

5 MATT ROSENBAUM
U.S. Department of Energy

6 HEATHER SANDERS
7 Southern California Edison

8 MATTHEW SCALLET
ICF

9 DAMIAN SCIANO
10 Consolidated Edison

11 CHRIS SHELTON
AES Energy Storage

12 PAM SILBERSTEIN
13 National Rural Electric Cooperative Association

14 CAITLIN SMITH
ICF

15 SUE TIERNEY
16 Analysis Group

17 JEFF TURCOTTE
ISONE

18 JEFF TURNER
19 AetherQuest

20 REBECCA WAGNER
Wagner Strategies

21 RICHARD WALJE
22 Magnum Compressed Air Energy Storage

1 PARTICIPANTS (CONT'D):

2 CARL ZICHELLA
3 Natural Resources Defense Council

4

5

6

7 * * * * *

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

1 P R O C E E D I N G S

2 (1:06 p.m.)

3 CHAIR TIERNEY: Good afternoon. Hi,
4 everybody. I'm Sue Tierney, and I have the honor
5 of participating on this advisory Committee as the
6 chair. And as part of our welcome, my welcome
7 today, I think it might make sense for everyone to
8 go around and introduce themselves.

9 We have a newcomer in our midst, Katie
10 Jereza -- did I get it right? Yes.

11 MS. JEREZA: Uh-huh.

12 CHAIR TIERNEY: -- from the Department
13 of Energy is one of the new political appointees
14 to join the Department of Energy, and she is
15 filling in I think with one-hour notice for
16 Patricia Hoffman. So we are going to make her
17 feel warm and cozy, and by doing that, let's just
18 have everybody go around and introduce yourselves.
19 And recall that we are being transcribed, so
20 everyone should probably use the microphones just
21 to make sure that you can be heard not only now
22 when you say hello, but later on today. And then

1 I'll just go through the agenda quickly after
2 that. Mr. Gellings.

3 MR. GELLINGS: Well, thank you, Sue.
4 I'm Clark Gellings. I'm an independent.

5 MR. CASPARY: Hi. I'm Jay Caspary with
6 Southwest Car Pool.

7 MS. MARILYN BROWN: Marilyn Brown, the
8 Georgia Institute of Technology, and the Board of
9 Directors at Tennessee Valley Authority.

10 MR. LAUBY:: Mark Lauby, NERC.

11 MS. CURRIE: Phyllis Currie. I retired
12 from the Pasadena Water and Power, so I come out
13 of the public sector.

14 MR. ROBERTI: Hi. Paul Roberti, Ernst &
15 Young.

16 REPRESENTATIVE MORRIS: Representative
17 Jeff Morris from Washington State.

18 MR. NORDSTROM: Ralph Nordstrom with the
19 Great Plains Institute's non-partisan, non-profit
20 based in Minneapolis, Minnesota.

21 MS. CARMODY: Paula Carmody, People's
22 Counsel from the Maryland Office of People's

1 Counsel. We represent residential utility
2 customers.

3 MR. ROSENBAUM: Hi. I'm Matt Rosenbaum
4 from the Department of Energy.

5 MR. PARKS: I'm Bill Parks, the
6 Department of Energy.

7 MS. JEREZA: I'm Katie Jereza,
8 Department of Energy.

9 MR. ZICHELLA: Carl Zichella, NRDC.

10 MR. CENTOLELLA: Paul Centolella, Paul
11 Centolella & Associates. I'm a senior consultant
12 at Tabors, Caramanis & Rudkevich.

13 MR. BROWN: Merwin Brown, California
14 Institute for Energy and Environment at UC
15 Berkeley, and retired, then hired back.

16 MR. ADAMS: John Adams, Principal
17 Engineer at Electric Reliability Council of Texas.

18 MS. LIN: Janice Lin, CEO of Strategen,
19 Cofounder and Executive Director of the California
20 Energy Storage Alliance, Cofounder and Chair of
21 the Global Energy Storage Alliance, and Chair of
22 Energy Storage North America.

1 MS. LANEY BROWN: Mine's shorter. Laney
2 Brown, Modern Grid Partners.

3 MR. MORGAN: I'm Granger Morgan. I'm on
4 the faculty at Carnegie Mellon University in both
5 the Department of Engineering and Public Policy,
6 and in the Department of Electrical and Computer
7 Engineering.

8 MS. WAGNER: Good afternoon. Rebecca
9 Wagner, Wagner Strategies, and fully recovered
10 regulator from Nevada, former regulator from
11 Nevada.

12 CHAIR TIERNEY: That's the first time
13 you've said fully recovered.

14 MS. WAGNER: I know.

15 CHAIR TIERNEY: I'm amazed.

16 MR. MORGAN: The question, Sue, is are
17 you fully recovered? (laughter)

18 MR. ALMGREN: I'm Ake Almgren with
19 Orkas, which stands for new energy technologies.
20 I serve on the PJM board where I chair the
21 Reliability Committee.

22 MS. SILBERSTEIN: Pam Silberstein,

1 NRECA.

2 MR. FELLER: Gordon Feller, ambassador
3 from Silicon Valley. I see Nancy is not here,
4 right, so I'm the only one. Cisco Headquarters.
5 Retired. Back again. Like Merwin's story, you
6 know, the people in California can't make up their
7 minds. And on the non-profit side, of the Meeting
8 of the Minds, non-partisan, non-profit.

9 MR. SHELTON: I'm Chris Shelton, Chief
10 Technology Officer at AES.

11 CHAIR TIERNEY: Heather, we've just gone
12 around. Would you introduce yourself?

13 MS. SANDERS: Heather Sanders, Southern
14 California Edison.

15 CHAIR TIERNEY: Anjan. You slipped in
16 and I didn't even see you. Sorry.

17 MR. BOSE: Anjan Bose from Washington
18 State University.

19 CHAIR TIERNEY: Thanks everybody. It's
20 great to see you all. We have a really good
21 meeting. I know our meetings are usually very
22 good, but this one is a little different, and I

1 think we've got a number of really interesting
2 presentations.

3 As you know, today we're going to hear
4 an update from Katie about the Department of
5 Energy. After that, we will have some
6 presentations, including starting with Anjan on
7 the grid modernization working group.

8 After the break, we will have a panel
9 discussion, and I have the pleasure of
10 participating on that on gas and electric industry
11 interdependency issues. Then there will be
12 Committee reports.

13 And then tomorrow we have the experiment
14 that we are very excited about, and I will thank
15 Janice in advance for all of the work that she's
16 put into tomorrow's workshop day. Of course, it's
17 a meeting, a second day of our normal meetings,
18 but we're going to have a different kind of
19 approach which I think you'll really enjoy. Lot
20 of great panelist on different aspects of the
21 storage issue.

22 So with that, I would love to turn it

1 over to Katie to say hello. I've asked her to
2 describe her own background. She's no newcomer in
3 this industry, and so she'll tell us more, as well
4 as give us an update about DOE.

5 MS. JEREZA: Thank you, Sue. So I am
6 the Deputy Assistant Secretary for Transmission
7 Permitting and Technical Assistance. I started
8 about two weeks ago. So before that I was with
9 the Edison Electric Institute and Infrastructure
10 Resilience still working on different security
11 issues, and also smarter energy infrastructure,
12 also known as grid modernization.

13 And then before that, I spent many years
14 as a management consultant, and some of my time
15 was working with the Office of Electricity R&D
16 programs, and also there's two of you in the room
17 who I met through a Women in Clean Energy program
18 that (inaudible) about five years ago, I guess.

19 And my background is I have a Bachelor's
20 in Chemical Engineering from Virginia Tech, and an
21 MBA from Loyola University in Maryland. So thank
22 you, and I'm very happy to be here.

1 So getting on with the update. So we
2 have the presidential executive orders. As many
3 of you know, about four weeks ago the President
4 signed an executive order on cybersecurity, which
5 I'll go into further in a moment.

6 During his first 100 days, President
7 Trump frequently employed his power to issue
8 executive orders. Of the 32 orders issued,
9 several affecting DOE we're mentioning here today.

10 Comprehensive plan for reorganizing the
11 executive branch. OMB director to propose a plan
12 to reorganize governmental functions, and
13 eliminate unnecessary agencies, components of
14 agencies, and agency programs. Each agency
15 director to submit proposed plan to reorganize the
16 agency, if appropriate, within 180 days. So about
17 mid-September.

18 Enforcing the regulatory reform agenda.
19 Designation by each agency a regulatory reform
20 officer, and establishment of a regulatory reform
21 task force to oversee implementation of regulatory
22 reform initiatives and policies to insure that

1 agencies effectively carry out regulatory reforms.
2 Also, 90-day report on improving implementation of
3 regulatory reform initiatives, and identifying
4 regulations for repeal, replacement, and
5 modification.

6 Reducing regulation and controlling
7 regulatory costs. Two-for-one order, which is to
8 eliminate two previous regulations for every new
9 one proposed. Another one is promoting energy
10 independence and economic growth.

11 The clean power plan order, I'm sorry,
12 clean power plan review order. Plan was due 45
13 days hence, about May 12th, from head of each
14 agency to review any burdens on domestic energy
15 production with final report due 120 days out,
16 about mid-July, and a finalized plan due 180 days
17 out, about mid-September, and the review of the
18 clean power plan, as well.

19 Executive order on strengthening the
20 cybersecurity of Federal networks and critical
21 infrastructure. Just the day before the

22 (inaudible) attack, President Trump

1 signed an executive order on
2 strengthening the cybersecurity of
3 federal networks and critical
4 infrastructure.

5 While I could spend my entire allotted
6 time here today discussing just this executive
7 order, let me quickly highlight the main points of
8 affecting DOE.

9 As risk management decisions made by
10 agency heads can affect the risk to the executive
11 branch as a whole, and to national security, it is
12 the policy of the United States to manage
13 cybersecurity risks as an executive branch
14 enterprise.

15 Effective immediately, DOE and all other
16 Departments are required to use the National
17 Institute of Standards and Technology's framework
18 for improving critical infrastructure
19 Cybersecurity to manage Cybersecurity risks. All
20 agency heads will additionally provide a
21 corresponding risk management report within the
22 next 90 days.

1 All Departments have also been directed
2 to show preference in a procurement for shared IT
3 services to the extent permitted by law, including
4 email, Cloud, and Cybersecurity services.

5 In coordination with DHS and other
6 Departments, DOE will identify authorities and
7 capabilities. Agencies could employ to support
8 Cybersecurity efforts of Section 9, critical
9 infrastructure entities, and engage with these
10 stakeholders to evaluate the entities and engage
11 with these -- to evaluate the effectiveness, and
12 any obstacles from employing these authorities and
13 capabilities.

14 A report will then be issued with the
15 findings and recommendations for better supporting
16 the Cybersecurity risk management efforts for
17 Section 9 entities.

18 DOE, in coordination with DHS, the DNI,
19 and with SLTT governments, will produce a report
20 within 90 days assessing the potential scope and
21 duration of a prolonged power outage associated
22 with a significant cyber incident against the

1 electric subsector. The readiness of the U.S. to
2 manage the consequence of such an occurrence, and
3 any gaps or shortcomings, and assets or
4 capabilities required to mitigate the consequences
5 of such an incident.

6 The Trump administration wants to
7 improve cooperation with the nation's critical
8 infrastructure providers by improving the existing
9 framework of public/private partnerships. The new
10 Cybersecurity executive order, as an example,
11 provides new emphasis to innovate beyond the
12 limits of past partnerships and joint
13 collaborations to provide increased protection
14 against the full range of cyber thefts.

15 Well, that covers that. Now, onto the
16 FY17 budget summary. The FY 2017 enacted
17 appropriation provided DOE with a \$24 million
18 increase, which is a positive 9 percent over the
19 FY 2016 enacted appropriation. Increases were
20 primarily for two areas. The first is energy
21 storage where \$31 million was provided, a 10.5
22 million increase, an increase of 51.2 percent over

1 FY 2016.

2 The committees did not direct how this
3 increase be used, but did encourage support in
4 several areas. The first is developing an
5 operational energy storage test facility capable
6 of performance- driven data in the utility
7 environment.

8 Next is partnering with leaders in the
9 energy storage industry to establish a pilot
10 project in order to demonstrate how energy storage
11 technology can reserve electricity generated
12 offshore for use in meeting peak demand.

13 Next is expanding R&D partnerships for
14 energy storage development, and deployment with
15 stakeholders in diverse geographic regions with
16 unique market dynamics and policy changes that can
17 help to inform nationwide efforts to improve grid
18 resiliency, reliability, and security, and power
19 consumers, and increase integration of a broad
20 range of generation sources.

21 Last is further the development and
22 demonstration of non battery advanced storage

1 components, including compressed air energy
2 storage development and demonstration to enable
3 efficiency improvements for utility scale bulk
4 energy storage solutions.

5 The second area is smart grid R&D where
6 \$50 million was provided, a \$15 million increase,
7 42.9 percent over FY 2016. The \$15 million
8 increase was directed to be used for regional
9 demonstrations of onsite generation and
10 microgrids, \$5 million flat with FY 2016 was
11 directed to be used for development of advanced,
12 secure, low cost sensors that measure, analyze,
13 predict, and control the future grid during steady
14 state and under extreme conditions.

15 The report also encouraged continued
16 research on transactive controls given the
17 increasing prevalence of distributed energy on the
18 grid, and the shift away from a utility-centered
19 model when the customer is a passive participant.

20 Promotion of regional demonstrations of
21 the utility-led residential connected communities
22 advancing smart grid systems, ensuring that

1 efforts in application, integration, and
2 investment in grid technologies across all sectors
3 of the economy are coordinated and focused on the
4 evolution to the grid of the future.

5 Identifying and addressing technical and
6 regulatory barriers and keeping grid integration
7 of distributed energy systems reduce energy costs
8 and improve the resilience and reliability of the
9 electric grid.

10 Smaller changes include transformer
11 resilience in advanced components, six million
12 provided, a one million increase, inclusive 20
13 percent, with direction to support R&D on low cost
14 power flow controlled devices, including both
15 solid state and hybrid concepts that use power
16 electronics to control electromagnetic devices,
17 and enable improved controllability, flexibility,
18 and resiliency.

19 Cybersecurity for energy delivery
20 systems, \$62 million provided, flat with FY 2016
21 with \$9 million, a \$4 million increase, 80 percent
22 for the industry scale electric grid test bed, \$5

1 million, a million reduction less than 50 percent
2 as requested to complete the virtual energy sector
3 forensics analysis platform, and transition it to
4 industry. Five million flat with FY 2016 to
5 develop cyber and cyber physical solutions for
6 advanced control concepts for distribution and
7 municipal utility venues. Forty-three million, a
8 one million dollar increase, plus 2.4 percent for
9 other R&D and operations activities in the
10 account.

11 The report urges the cybersecurity for
12 energy delivery systems to prioritize the
13 cybersecurity risk information sharing program,
14 which will build on the existing public/private
15 partnership to share threat information and enable
16 utilities to identify and respond to suspicious
17 activity on the electric grid.

18 The next area is clean energy
19 transmission and reliability, \$36 million
20 provided, a \$3 million reduction, less than 7.7
21 percent, \$32 million, a \$2 million reduction, less
22 than 5.9 percent for R&D, \$4 million, a \$1 million

1 reduction, less than 20 percent for energy systems
2 risk and predictive capability.

3 The other area is infrastructure
4 security, and energy restoration, ISER, \$9 million
5 provided, flat with FY 2016 with several
6 (inaudible) activities. First is
7 further development of energy
8 sector situational awareness
9 capabilities. (inaudible) Eagle-I,
10 the federal government's
11 situational awareness tool for
12 national power outages.

13 The Committee encourages the Department
14 to further illustrate how to benefit from
15 increased access to more varied sources of data.

16 Continued development of implementation
17 strategies and analysis with industry to address
18 potential impacts of geomagnetic disturbances, and
19 electromagnetic pulses to the electric grid.

20 Regional and state activities to improve
21 capabilities to characterize energy sector supply
22 disruptions, communication among local, state,

1 regional, federal, and industry partners, and the
2 identification of gaps for use in energy planning
3 and emergency response training programs.

4 We also have national energy delivery,
5 \$7.5 million provided, flat with FY 2016 without
6 further guidance. And then program direction,
7 \$28.5 million provided, a half a million dollar
8 increase, 1.8 percent without further guidance.

9 So there was also a recision of .3
10 million of unobligated balances from FY 2012, and
11 prior appropriation year funds resulting in a net
12 FY 2017 appropriation for OE of \$229.7 million,
13 \$23.7 million above - 20 percent above- the FY
14 2016 inactive bubble.

15 Currently unallocated recisions of \$3.2
16 million and \$40 million taken from FY 2013, and
17 from FY 2014 through FY 2016 unobligated balances,
18 respectively, from DOE energy programs may further
19 reduce the area total once allocated. And that's
20 all I have, Sue.

21 CHAIR TIERNEY: Thank you. Thank you,
22 Katie. Does anybody have a question for Katie

1 following up on that? Oh, Granger.

2 MR. MORGAN: Yeah. Talk to us a little
3 bit about what, if anything are your views about
4 how this budget is likely to fare once it gets up
5 on the Hill.

6 MS. JEREZA: So I'm fortunate to have a
7 lot of my -- of OE staff here, so I'm going to
8 defer to them.

9 MR. PARKS: So for clarification, what
10 she went through was the FY '17 budget, which was
11 allocated. Those funds are being spent this year.
12 The budget that went to the Hill most recently was
13 FY '18 budget that Congress is looking at. We
14 have started to have hearings with the House. I
15 briefed the Senate, and we brief the House staff
16 next week. So there's continued dialogue. I
17 think there are changes, significant changes
18 between FY '17 and FY '18 TBD. It's still to be
19 determined what the reaction to all that will be.
20 And, again, a lot of discussions are going on.
21 We've been asked for specific briefings on OE.
22 Kevin Lynn is here today on the EERE side.

1 They've been asked for briefings as well, and are
2 having those kind of discussions on the Hill about
3 their grid related activities.

4 CHAIR TIERNEY: Yes.

5 MS. MARILYN BROWN: Katie, you started
6 off something about the executive orders, and you
7 mentioned what's going on with the clean power
8 plan, and I couldn't exactly follow it, and I am a
9 little confused about the review process. Is a
10 report being written? Is there a review underway,
11 or is it just hanging there. What's going on?

12 MR. PARKS: Marilyn, I'm not sure
13 exactly how that is coming forward. I don't see
14 some update kind of things, but I don't have the
15 (inaudible) information. I don't
16 think we have been involved in
17 that.

18 MS. MARILYN BROWN: Yeah. I guess it is
19 EPA, so --

20 MS. JEREZA: So I believe our final
21 report is due, I hear, 20 days out, and a
22 finalized plan due 180 days out next September, so

1 it does look like there will be a report out.

2 CHAIR TIERNEY: Katie, I thought I might
3 follow up on the, your mentioning of the cyber
4 report that is looking at the potential
5 implications of the very long-lived outage on the
6 grid. I can't remember which one this is called.
7 Maybe it's -- yeah, Cybersecurity of Federal
8 Networks. And I thought I would just mention that
9 Granger Morgan, and Anjan Bose, and I are all on a
10 National Academy of Sciences panel, which is close
11 to finishing up its report. I think we're
12 expecting that in, to come out in several months.

13 MR. PARKS: Yeah. Actually, I spent
14 most of Monday at the NRC trying to push this
15 thing out. It sounds like it'll go back to the
16 Report Review Committee in a week or two, and then
17 they have to decide if they're happy with it, and
18 so I can't imagine it getting out before sort of
19 mid-July. But it is done, and we're in the throes
20 of trying to, you know, we've got pages and pages
21 of commentary, and we have to respond to every
22 single item, which we're doing.

1 CHAIR TIERNEY: So the Department of
2 Energy had asked the National Academy to convene a
3 committee to look at the resilience of the grid in
4 the context of a very long-lived outage either
5 from a cyber attack, or a physical attack, or
6 weather events, or other kinds of things.

7 So that will be forthcoming to the
8 Department before long, and we can't wait for it
9 to be done. And I hope it's relevant for you to
10 review.

11 MR. PARKS: If I could just say, I think
12 it would be very relevant. There's a lot going
13 on. Obviously, the Secretary has announced it,
14 you know, very early on as one of his top
15 priorities. That continues to be reflected in all
16 of the discussions that we're having in house.

17 We're also on our side we're working on
18 a cyber R&D plan implementation. I think the last
19 one was done in 2011, or something like that. So
20 that will be coming out this year as well. So I
21 think there's an enormous amount of interest in
22 the area, and I think it will be a timely document

1 for --

2 CHAIR TIERNEY: Terrific. Yes.

3 MR. FELLER: In the spirit of
4 interdepartmental collaboration in the federal
5 government, which we all love, I would call your
6 attention to the fact that NIST has been doing for
7 several years some important work around cyber and
8 physical assets, particularly urban infrastructure
9 - energy, water, transit and transport, building
10 systems, and they've been looking pretty intensely
11 at the cybersecurity dimension of it. And they've
12 done a very good job, I'd say, like A+ in reaching
13 out to the private sector. We've been involved,
14 and a lot of others in Silicon Valley here, have
15 been involved. They've created clusters around
16 different categories of work that need to be
17 attended by NIST. They've not just engaged big
18 companies, but little companies, even non-U.S.
19 companies, and they've had a lot of success in
20 identifying innovators. They've raised a fair
21 amount of money from various sources in the
22 federal government to underwrite that, but they've

1 also been tapping private funds to expand the
2 reach of that, and this cyber physical activity at
3 NSF, which has partly funded this NIST work, has a
4 lot of relevancy to what we're talking about on
5 cybersecurity when we meet about things like grid
6 modernization, and I'm hoping one day maybe we'll
7 have the NIST people come in here and talk about
8 the things that they've identified around
9 cybersecurity in their cyber physical work that
10 has relevancy to our work here, but, also, maybe
11 to what the Secretary and his staff are going to
12 be doing around cybersecurity for the grid.

13 MR. PARKS: If I may. Thank you very
14 much for that. That's really helpful. A lot has
15 been going on inter-agency. I would add DOD to
16 that, and a lot of discussion has been going on
17 from our resilient grid, microgrid work that we've
18 done in the past to a number of things today, so
19 -- and we have collaborated with NIST on smart
20 grid entities, and the cyber activities, and that
21 relation, those relationships go back a few years,
22 but I think, again, there's a great deal going on

1 right now in making sure that it's well integrated
2 and it's something we should do.

3 MR. FELLER: If you guys ever do a map
4 that shows the activity in the federal government,
5 I'd love to see it if that was available for
6 viewing by folks like us because the mental map of
7 all that activity is hard to track.

8 MR. PARKS: I'm not sure it resides in
9 one place, but we can, we can try.

10 CHAIR TIERNEY: So Paul, Merwin, and
11 Janice, and then we'll wrap this session.

12 MR. CENTOLELLA: So just to pick up on
13 that, you know, we did have a very interesting
14 discussion of cybersecurity as part of the
15 Internet of Things Panel in the last EAC meeting.
16 That's something you might want to look at. Vint
17 Cerf, who, as you may know, President Bush gave
18 the National Medal of Freedom to, I mean, you
19 know, he's very much involved in these issues,
20 spoke quite eloquently about some of those risks.

21 We dealt with this in our Smart Grid
22 Subcommittee meetings as well. I think it'll be

1 an ongoing topic, and, you know, the other thing I
2 mentioned in the Leadership meeting I'll just
3 mention it for those who went in there. I'm
4 taking over as chair of the new Smart Grid
5 Subcommittee, so that will be an additional way we
6 can provide coordination across those agencies.

7 MR. BROWN: Merwin Brown of U.C.
8 Berkeley. Hopefully, this isn't too much of a
9 sidebar, but we've been talking about prolonged
10 major outages. I was wondering if anyone is
11 paying attention to death by a thousand cuts where
12 there are a lot of cyberattacks that continue over
13 a long period of time with small effects that add
14 up and cause disruption. So does anyone know of
15 anything going on?

16 CHAIR TIERNEY: I am aware that there's
17 a lot going on, but in saying that I can't give
18 you a specific answer. Janice.

19 MS. LIN: Thank you for sharing that
20 detail on the FY '17, and my question is
21 particularly given the significant changes in FY
22 '18, is there any role for this group of subject

1 matter experts to help inform or guide that
2 process like this, which I understand is happening
3 in real time?

4 MR. PARKS: So I think that a number of
5 groups are weighing in different capacities, and
6 so I think typically there would be more through
7 other capacities -- your other capacities than
8 through this board to address budget related
9 issues. And since you have energy storage, for
10 example, that's -- it's been active on the Hill,
11 as we both well know, so that would be the kind of
12 mechanism to get your points across.

13 CHAIR TIERNEY: Katie, thank you very
14 much. This is the first meeting of the
15 Electricity Advisory Council since the Trump
16 administration has come on board, and it's really
17 great you [inaudible].

18 MS. JEREZA: Thank you.

19 CHAIR TIERNEY: Okay. Let's get on with
20 other topics. Anjan, you're up.

21 MR. BOSE: Okay. So what we have is a
22 report in front of the EAC for your approval. It

1 looks -- it's a three-and-half page report. It
2 was in your email that you got, so I think this is
3 the time when we approve it; is that right? So --

4 CHAIR TIERNEY: That's correct.

5 MR. BOSE: Okay. So now the report
6 itself came out of the GMI working group, which
7 has been working on this for some time, and at the
8 last meeting, you may remember that we had a very
9 comprehensive plan on how to produce this report,
10 and at the end of the last meeting, I think I
11 presented a similar Power Point which kind of
12 outlined what will be in the report.

13 And what happened is by the time I got
14 home from that meeting, the plans had already
15 changed by I think it was David Meyer, who
16 suggested that taking another three months to
17 write the report, and then coming back here, and
18 taking another three months to actually go through
19 the FACA process and so on is too long. We needed
20 the report right now, and we didn't need a report
21 that was 15 pages long. We needed a report that
22 was only about three pages long so that it would

1 be read by people.

2 So we kind of online made changes in
3 plans, but we didn't change what we were going to
4 say. I think we just changed how we were going to
5 say it in three pages, and so what I have -- so
6 that's what you have in front of you is a
7 three-and-a-half page report which basically
8 points out why we need the grid modernization
9 initiative even more than ever before, and that's
10 the tone of the report.

11 So this will give you a very brief
12 structure. I mean, it doesn't take very long to
13 read the two pages, so you can do that while I'm
14 talking, I think. Let's see here so I can get
15 this.

16 CHAIR TIERNEY: Anjan, just one sec
17 because I see a couple people looking. This was
18 distributed by Chelsea in an email to the
19 Committee members about a week ago. Is that
20 right, Chelsea?

21 SPEAKER: (Off mic).

22 CHAIR TIERNEY: Thank you.

1 MR. BOSE: Yeah, this came in that one
2 email from Chelsea that said here is the materials
3 for -- which had several attachments for this
4 meeting. Okay. So the title of this thing is,
5 "New Technologies Require a Modern Grid." And,
6 let's see. How am I going to do this? Okay.
7 Here we are.

8 So the report structure, so that's the
9 three pages. We have a small introduction about a
10 half page, and observations about a grid, a few
11 things of widening and such, such a report. The
12 recommendation is about is a page and a half, and
13 then a conclusion is about just a paragraph. So
14 that's all the report is made up of.

15 So the introduction basically says that
16 the grid is a critical infrastructure. It's only
17 half a page. And what it does is it refers back
18 to the things that have been going on in DOE about
19 the Grid Modernization Initiative starting with
20 the Quadrennial Energy Review in the 2015, and so
21 on, and ending up with the Multi-Year Program
22 Plan, and a Grid Modernization Lab Consortium that

1 is -- which is about 88 projects that were funded
2 a little over a year ago.

3 And so the main thing they observed
4 about the grid was that we kind of focused in on
5 the fact that the research, the Grid Modernization
6 Initiative, was looking at the grid as a system
7 and not the different components that make up the
8 system. And the point is made in various
9 different ways within this little report is that
10 system research is quantitatively and
11 qualitatively different from doing component
12 research because what you're trying to do is look
13 at the full system, the whole grid, and look at
14 its reliability, its flexibility, its resiliency,
15 and so on.

16 And so the kind of issues that we get
17 into, or that GMI gets into, is planning
18 operations, control, analysis, of the whole grid.
19 Okay. Which is not to say that each of these
20 components have their own controls and their own
21 analytical tools, and all of those things, but
22 this is the system thing.

1 The other point that is made rather
2 strongly is that this -- the grid is a national
3 infrastructure. It's owned by lots of different
4 people, but the reliability of the grid, the
5 resilience of the grid, the security of the grid
6 from cyberattacks and so on, ends up being a
7 public good, and so individually those entities
8 that own pieces of the grid are not particularly
9 incentivized to do R&D on the reliability and
10 resiliency of the grid.

11 And so it falls back to the federal
12 government to do the R&D that is needed. Now,
13 that doesn't mean there may not be ways that
14 pieces of it that may come out of that R&D
15 couldn't be taken advantage of by somebody trying
16 to make a living out of making a new analytical
17 tool out of some research that came out of it, but
18 the overall research thrust has to be done by the
19 federal government, and we made that point rather
20 strongly here.

21 The other point we make is that there is
22 only one grid in the country, and it's kind of

1 hard to do any testing of the grid in any
2 realistic way, so much of what we have to do in
3 R&D has to be done on simulation. And so this is
4 a bit different from, you know, if you're going to
5 test a new kind of battery, then you make one
6 prototype and you can test it. But you can't test
7 a new grid. You might be able to take a few
8 subsystems off, or a little piece of it off and
9 test it, but you can't test the resiliency of the
10 grid in any realistic way without doing large-
11 scale simulation.

12 So the recommendations, these are the
13 five different pieces, and this is not -- this is
14 very different in the recommendations you see in
15 the multi-year program plan that the Grid
16 Modernization Initiative has actually put out. So
17 we don't try to kind of say that this one is
18 important, and this piece is not important. We
19 think all of it is very well laid out.

20 The main points are made just to focus
21 in on these couple of things which I said, the
22 simulation platforms. Well, the workforce issue

1 is always there because who is going to do this
2 research, but even after that, who is going to
3 actually take care of the smart grid that requires
4 new kinds of -- new kind of skills needed from
5 people. So that's always an issue, but the R&D
6 itself is we emphasize the simulation platforms
7 for planning, operation, control of large systems,
8 and so on, which requires -- and much of this work
9 has already been started so it just focuses in on
10 that as being important where you'll set up
11 large-scale simulation centers with real and
12 synthetic data. Real data for the grid has some
13 implications of national security and so on, so
14 you don't -- you can't have everybody trying to
15 mess around with real data, real grid data, so
16 there's also an effort trying to make synthetic
17 data and so on.

18 And then these platforms have to be
19 layered, and it can be -- it doesn't have to be,
20 the simulation platform doesn't have to be in one
21 place. It can be connected and so on.

22 Then there are testing layers where you

1 can do some of the subsystem testing. For
2 example, a distribution feeder, for example, can
3 be tested with new systems and so on. So hardware
4 in the loop, testing and so on so you need not
5 just computer simulations, but also actual
6 computer simulations that can attach hardware with
7 it to actually do some testing that way. Some
8 things about system technologies where it says
9 component technology is the difference in how to
10 do that.

11 And then the last recommendation was to
12 point out the fact that none of this is going to
13 work without the right policies, and so it is up
14 to the technical people who are doing the R&D to
15 point out where it'll get stuck if the right
16 regulations and policies don't come into play.

17 And so -- I mean, the technical people
18 R&D are not going to make the policies, but if the
19 policies go one way, then the -- there'll be
20 issues involved in actual applications of these
21 things.

22 So then the conclusion is just -- just

1 emphasizing it-- only about five sentences, and
2 all of them are there. You can read it.

3 So I will -- the final sentence says the
4 modernization of the grid is necessary because
5 everything about the grid is changing, so the
6 generation mix needs changing, new measurement
7 things comes in, power electronics goes in, in a
8 big way, and all of these have an impact on the
9 grid, and nobody can act -- unlike many other
10 things, there is nobody actually who can say that
11 five years from now the grid is going to look
12 exactly like this because they will certainly be
13 wrong. That's the only thing we know. So the
14 grid has to be flexible and still be resilient, be
15 reliable, and secure.

16 I'll stop there. I'll take questions.

17 CHAIR TIERNEY: Anjan, thank you very
18 much for shepherding this through. I'm sure it
19 was a quick turnaround that you had to do, but you
20 really put together what is, in essence, a
21 beautiful executive summary for the report that
22 you didn't have to write. So thank you very much.

1 MR. BOSE: Yeah, that was the only big
2 benefit out of this. We didn't have to write the
3 report after all.

4 CHAIR TIERNEY: It's perfect. Janice,
5 is your card up for a comment? Chris, you're up.

6 MR. SHELTON: Sure. I wanted to comment
7 on the -- one of the first points you had on one
8 of the prior slides about this being a system
9 analysis issue. I think we missed that a lot of
10 times, so I think that's a very important thing to
11 call out, and it really speaks to the architecture
12 of the system. So we've had so much technological
13 change happen to the components, but I don't think
14 we've reimagined the architecture. So a lot of
15 the -- a lot of the opportunity is there, and with
16 the, you know, some of the advent of computing
17 technology, and machine learning, and other
18 technology coming as well, I think we're at a
19 great time with -- because we've changed a lot of
20 the underlying component technology capability,
21 and we have the potential to add the smarter
22 control layer to solve system problems, but if we

1 don't do the analysis, and don't think about the
2 whole system, we may not see the ways that we can
3 apply those, and those -- some of those can be
4 very low cost, and have orders of magnitude
5 benefit on reliability.

6 CHAIR TIERNEY: Thank you. Rolf.

7 MR. NORDSTROM: Thanks, Sue, and thanks
8 Anjan. I have sort of an ignorant question, and
9 that is what scale of research or simulation gives
10 you useful system level insights? I mean, I think
11 the report does a nice job of saying this is among
12 the most complicated machines on the planet, and
13 it's a system of systems, and I think makes a good
14 argument for why you need some sort of system
15 level research and simulation given all the moving
16 parts and changes to the system.

17 But it's not clear to me, and it's just,
18 as I say, an ignorant question. What -- I don't
19 know enough about how those simulations would be
20 done. What level of system do you need to model
21 or simulate, or research in order to have that
22 simulation yield insights that actually do give

1 you those system level understandings? Do you
2 know what I'm asking?

3 MR. BOSE: Yep. So that's a very good
4 question because it gets confusing. Many times a
5 new idea can be tested on relatively small
6 systems. I mean, you find a lot of university
7 papers being written on relatively small systems,
8 but the ultimate point I was trying to make in
9 saying that we need these big simulation centers
10 is because if you're going to change, for example,
11 a policy that has to -- that impacts the whole
12 instrument of connection, you have to have a place
13 where the instrument of connection can be tested
14 as a whole.

15 Now, the level of granularity that you
16 represent the instrument of connection with is a
17 matter of research as to figure out, but that --
18 the idea itself is not possible today. And it's
19 almost impossible to have a completely different
20 policy tested out, a policy meaning operational
21 strategy, tested out on the eastern
22 interconnection because nobody is going to try it

1 and risk blacking out the system.

2 So you should be able to with today's
3 computer technology be able to actually do the
4 simulation of the whole power system. You're not
5 going to do that day in and day out, but there
6 will be times when you want to do that.

7 So the whole thing about simulation is
8 you can do it at different levels depending on
9 what exactly you're trying to prove.

10 CHAIR TIERNEY: Mark.

11 MR. LAUBY:: : Thank you. And, of
12 course, I'd like to second Chris' comments, and,
13 of course. Anjan, I know where your heart is when
14 it comes to system analysis.

15 I had a few tweaks around words more
16 than anything else, and that is that, you know,
17 sometimes we get confused between security and
18 reliability, and I've come to the -- in NERC we've
19 come to the thinking that reliability and security
20 are two equal, you know, there's the chief
21 reliability officer, there's the chief security
22 officer, and that we need to work together.

1 So when I see resiliency and security
2 efficiency, I think liability. So I assume that
3 you're trying to tie that in.

4 MR. BOSE: It's there in this -- in the
5 (inaudible). It is written there.

6 MR. LAUBY:: : But one thought I did
7 have, and it really comes to when we were talking
8 a little bit about cybersecurity before, and one
9 of the things we're struggling with is how do you
10 design a system that will be more robust, more
11 secure, from a cyber perspective, or physical --
12 physical is a little bit easier. How do you
13 de-risk the system that you're building so that
14 you can take advantage of some of these control
15 systems you're putting in place, and you're not
16 actually building in vulnerabilities. And for
17 that matter, how do we measure the risk that we
18 have on systems? We have these risk assessments.
19 That's a high risk, that's a medium risk, that's a
20 low risk, based on certain kind of criteria that's
21 in our standards, but I don't think they're, you
22 know, necessarily the best or the only.

1 And also, as we look at historical data,
2 and I'll give you an example, if you have relay
3 mis-operations, and you haven't lost any load, you
4 haven't had major events, but I can tell you,
5 percent of the relays that operate today
6 mis-operate. And the more often they mis-operate,
7 the more chances there are for a uncontrolled
8 cascading of the (inaudible) power system. That
9 is to say more shots on goal.

10 So we need to also get an idea of what
11 -- how to measure risks historically, as well as
12 looking into a future system how am I increasing
13 the vulnerability of that system so that I can
14 start designing this piece out so I can take
15 advantage of some of the advances that I know are
16 there? I mean, (inaudible) enhance reliability
17 and security of the system. So something to think
18 about when -- thank you.

19 CHAIR TIERNEY: Marilyn.

20 MS. MARILYN BROWN: Anjan, thank you for
21 having a recommendation specific to the grid
22 modernization and policy setting. And I was

1 working my way through the logic here, and want a
2 little bit of expansion, if you might.

3 So you started off by saying that there
4 are a lot of regulatory agency actions, et cetera,
5 to do with greenhouse gas emissions, and setting
6 rates, and policies of various sorts, and they all
7 can affect what the grid might look like. We
8 could use some assistance to determine metrics and
9 mechanisms to measure these impacts.

10 And then you focused down on resiliency,
11 so I'm kind of going back to what Mark had said,
12 you know, what is the difference between security,
13 reliability and resiliency, and were you really
14 meaning that we need to focus especially on how
15 easily the grid can recover and adapt? Is that
16 the resiliency piece that you think is missing,
17 might need to be measured and metrics provided so
18 that policy impacts on resiliency in particular
19 can be evaluated, or was this just an example, one
20 of many things you could have used to illustrate
21 --

22 MR. BOSE: Well, I think, Marilyn,

1 you're focusing in on how you write a full page
2 report in English only, and address all the issues
3 that Mark just raised.

4 I think most of us know, you know, when
5 you read something like this that the resiliency,
6 reliability, and security are all mentioned in
7 there. But these meanings are dictionary meaning,
8 and there is the meaning that NERC puts on it,
9 which has mathematical metrics, all right, that
10 you can measure because how would you know whether
11 a system is reliable or not unless you have
12 something to measure it against?

13 And, in fact, the big debate right now I
14 think Sue mentioned that we're finishing up a
15 report on resiliency, and actually everybody seems
16 to know in general what resiliency means, but
17 there's not a single power engineer who knows what
18 resiliency is. So because we're in that stage
19 where we are still trying to decide what it is.

20 So something that's well this would be
21 fine, you know -- we know reliability has been
22 defined for 30 years, so there's all these

1 different gradations, and people like Bill Parks
2 and Kevin Lynn, who are kind of shepherding the
3 GMI projects right now there are whole bunches of
4 projects which are essentially trying to define
5 some of these things. So we I -- we tried to stay
6 away from those kind of difficult issue because
7 that's part of the R&D itself.

8 But I think the main focus of this
9 report was to say how important it is, and it
10 tends to -- and the fact that it tends to sort of
11 get lost in the shuffle, this whole thing about
12 the systems research, because we say, well, if we
13 have the best -- if we can bring down the cost of
14 batteries in the next year, we've solved all the
15 problems.

16 Well, we haven't solved all the
17 problems, because that's only one of the things,
18 because once you put in a whole bunch of batteries
19 out there, there's a whole myriad of problems that
20 will show up that the operator of the grid will
21 have to face. So -- and that's the whole point
22 over here. But those things are well taken.

1 CHAIR TIERNEY: So I'd like the three
2 remaining people, four remaining people who have a
3 comment to be very precise and concise because I
4 would like to try to keep us on schedule, and I
5 know that we need to tee up the vote on this
6 matter.

7 Oh, my goodness. My chastising did its
8 trick. Oh, no, no. It was a joke. Merwin, go.

9 MR. BROWN: This is a bit of sidebar.
10 It's an addition -- deeper discussion on the need
11 for simulation, and stop me if I go too long.
12 Okay?

13 CHAIR TIERNEY: Well, I just heard it.
14 You said that we need to go deeper on simulation.

15 MR. BROWN: Okay, let me explain then
16 what I mean. We got into this with a project we
17 did in California that we called, what I called
18 solving the autoimmune disease of the electric
19 grid, which was the relay, cascading relay problem
20 that Mark mentioned.

21 It's basically what we called also an N
22 minus 20 problem. We do N minus 1 calculations.

1 We can sort of do N minus 2 calculations, $N-3$.
2 Probably would take the best computer system close
3 to a year to do the calculation. So how do you do
4 an $N-20$ when you can't simulate a grid that way?

5 Number one, that calls for more
6 simulation to be able to do more of this kind of
7 thing. But, secondly, it calls for some
8 work-arounds, and the work-around we used was what
9 is done for projecting thing like flu epidemics
10 when you can't measure everything, every flu
11 transaction that takes place.

12 And what that ended up being in my
13 simple-minded way of looking at this is, is that
14 you use equivalencies within the grid simulation,
15 and you supplement it with information embedded in
16 data on the grid, and that's how we were able to
17 do the N minus 20 analysis, and out of that we're
18 able to determine which pathways were most likely
19 to contribute to a cascading outage on the grid.
20 So I was trying to add a little bit of depth, plus
21 the fact, I think it just shows the complexity and
22 the depth in which this subject is.

1 CHAIR TIERNEY: Thank you. That was
2 pretty concise. Heather.

3 MS. SANDERS: So my comment is on the
4 metrics. Metrics. And so the work you're doing
5 in the GMLC to define the catalog of metrics I
6 think is really essential. I don't know if we --
7 if it comes across well enough in this report.
8 And what I think would be very helpful is if we
9 started not to talk in the generic resiliency
10 term, and start to bring in those metrics into
11 these discussions so that when we talk about
12 reliability, oh, I can say my SAIFI is this, my
13 SAIDI (inaudible), is this, my MAIFI, my CAIDI is
14 this.

15 When I talk about resiliency, I'm like,
16 well, I was out for a while, but -- so the point
17 is, is to get us thinking about what that really
18 means, and I think that the work that you've done
19 on that catalog of metrics is really, really
20 valuable, and as you emerge with the case studies,
21 it will be really important.

22 I'm not sure if it comes through in the

1 report as much as we intended, but I think that is
2 a critical one to start training the industry on
3 being more deliberate about what we're really
4 talking about.

5 CHAIR TIERNEY: I can't wait for you to
6 read the National Academy report on this topic
7 too.

8 MS. SANDERS: Send it to me.

9 CHAIR TIERNEY: You'll get it first when
10 it's hot off the press.

11 MR. FELLER: So a suggestion would be to
12 take advantage of the fact that Franz from the
13 International Electrotechnical Commission was here
14 last, to share this with him with an eye toward
15 understanding what the IEC is doing with some of
16 their other national projects around grid
17 modernization, China being one of those, the EU
18 being another where a lot of money is being spent,
19 and where the IEC is serving as an advisor.
20 They're not really playing the same role with ANSI
21 and EPRI, and NIST here, but they're more actively
22 involved on these issues, so just a recommendation

1 about one of those follow-ups to elicit comments.

2 CHAIR TIERNEY: Thanks, Gordon. Chris.

3 MR. SHELTON: I think the discussion of
4 resiliency and security and reliability is very
5 relevant to all of these -- all of our
6 Subcommittees. I mean, these things come up all
7 the time. It's really about design. So the
8 resiliency word, you know, in my view and my
9 experience is about design, right, whereas if you
10 talk about reliability, design is one component of
11 reliability, so it's just -- I think it's of the
12 essence to this entire discussion.

13 CHAIR TIERNEY: Thank you. Who would
14 have thought that three pages could engender such
15 great comments from the Committee members?

16 I wonder if anyone would put a motion
17 forward so that we can take a vote?

18 MR. FELLER: So moved.

19 MR. BROWN: Seconded.

20 CHAIR TIERNEY: Moved and seconded. Is
21 there any further discussion?

22 I just want to put in a good word for

1 supporting the concept of the public good nature
2 of this work. It is such an essential element of
3 it, as is the systems part of it. So I will
4 enthusiastically vote in favor of this report
5 myself. Anyone else?

6 All those in favor?

7 (Aye)

8 CHAIR TIERNEY: Opposed?

9 (No response).

10 CHAIR TIERNEY: All right.

11 Congratulations. Thank you. Thank you everybody
12 who worked on this. (Applause)

13 We have a dual presentation from Kevin
14 Lynn and Bill Parks on the grid modernization
15 laboratory consortium work.

16 MR. PARKS: Good afternoon, and as we've
17 done before, we're going to split this talk, and
18 kind of tag team the opportunity -- the issues
19 that are here. And I just want to really
20 appreciate the ability to come back and talk about
21 this, and, hopefully, we'll hit some of the themes
22 that you have -- you've brought up already if I

1 can get this thing to like me. There we go.

2 So what we want to do is briefly talk
3 about the GMI. We've talked before, so we'll just
4 touch upon that, and also the lab call

5 (phonetic) itself, and then talk a
6 little bit about the peer review
7 results that we held, the peer
8 review we held about six weeks ago,
9 and I really want to thank three of
10 the members that are here. Anjan,
11 Heather, and John were part of the
12 peer reviewers, and really gave
13 valuable contribution, and it was a
14 really, really great set of
15 discussions and feedback that we
16 had. And we'll talk a little bit,
17 a few examples of each of the ones,
18 with the six areas that we have.

19 So if you recall, we started with
20 attributes. And in the discussion that we just
21 heard, reliability, resiliency fit into that. One
22 of the reports, and we'll touch on this again, is

1 working to define how these are, and also how they
2 interrelate, and how we want to look at this as we
3 go forward.

4 This is informed work on the multi-year
5 program plan which has six technical areas that
6 we're working on, and the key, as Anjan and others
7 have mentioned, is that we're taking this as a
8 systems approach. So we're taking these six
9 areas, and the intersections of all of those, and
10 we'll see how they work. So concentrate on does
11 the device integrate systems sensing and
12 measurement, on systems operations control design
13 and planning. How does cyber -- and cyber come
14 into that, resiliency come into that, and then how
15 does that relate to the institutional world around
16 it because in this space technology, markets, and
17 policy all combine in a real world way in real
18 time. And we do have the multi-year program plan
19 we put out officially a year ago January, and it's
20 up on the DOE website.

21 As part of the grid modernization
22 initiative we are working across the country. It

1 was a three-year call that we awarded the first
2 year, a year ago January as well, so we're into
3 our second year of funding of that, and the peer
4 review was really to assess what happened in the
5 first year, and do we continue. And the majority
6 of findings were the projects were relevant, and
7 we'll talk a little bit about that, and that we
8 should continue this. We are conveying that to
9 labs of real time, and moving funds to the second
10 year of this three-year activity on these
11 projects.

12 We awarded \$220 million nominally.
13 Thirteen of our labs are involved. We awarded 80
14 new projects, and there are over 150 partners in
15 this. Just an idea of the partners again who are
16 engaged in this, and they really range -- and
17 again, one of the neat things about this is we've
18 got a conglomerate of universities of, states, of
19 utilities, of different representation around
20 organizations from suppliers, and that kind of
21 things, as well as federal partners and groups
22 like NIST, and NRECA, and EEI, and EPRI. So it's

1 really a nice collection of workers on this, and
2 coordination in those activities, and I really
3 have to hand it to the labs for really stepping up
4 in a new way of thinking, and working in an
5 integrated manner on this, and we're starting to
6 see some real successes from this. We did have
7 our peer review (inaudible), as I mentioned, and
8 it was a really great discussion. A really
9 interesting finding from the peer reviewers was we
10 held in their poster session where we had all the
11 projects and related projects from around the
12 programs, touching upon grid modernization,
13 whether it was directly in OE, or in EERE, and
14 references back to ARPA-E activities that have
15 been going, science with high performance
16 computing, and those kinds of thing, and the
17 comment back was we didn't allow enough time for
18 them -- for discussion among the panel. That they
19 really would have liked to have seen the
20 (inaudible) sessions going for multiple days
21 because we had, you know, regulators going around
22 to every

1 (inaudible), and engaging in it
2 saying, hey, this is relevant to
3 what I'm doing, and it really -- an
4 enormous amount of cross
5 fertilization for a peer review.

6 So I think we feel very successful and
7 it's something we're going to try to figure out
8 how do we do this better. How do we even engage
9 this a little more to bring in all of the
10 departmental activities.

11 So first, we're going to walk through
12 the six in a little bit about what things I'm
13 going to discover too, and then I'm going to turn
14 it over to Kevin to kind of finish and talk about
15 the other four.

16 Design and planning, two findings. The
17 idea again in this section we're trying to create
18 grid planning tools that integrate T&D, and system
19 dynamics over a variety of time and spatial scales
20 to go back to the earlier questions. I think
21 you're going to have to simulate multiple things
22 because you're trying to do multiple things within

1 the system.

2 How does that T&D interface work? What
3 do distribution systems act like in the future?
4 What do they look like in the future? And you
5 have it engage into the system. And, you know,
6 what does that say about the market structures
7 around, and how they operate?

8 And one of the activities that we have
9 is on transactive energy, and those are in
10 different market segments and how those kind of
11 actions as you reach into buildings, or,
12 ultimately, the cars and things, how do they
13 engage with the grid as well?

14 Comments from it all? Encourage open
15 software. We've been working to do that. Need
16 for an open repository to handle data.

17 Connections to industry. How do we even
18 go beyond what we've done before? How do we
19 really take advantage of all the innovation that
20 is going on to make sure that it is coordinated,
21 and that information is available to people as we
22 go forward?

1 There are 3,000 different utilities, as
2 you know, and they come in a lot of different
3 styles. We are working in the activities that
4 we're doing, working with the public power, as
5 well as the co-ops, in addition to the (inaudible)
6 IOUs, and we're looking, again, with working with
7 (inaudible) within different
8 structures. So it really makes for
9 an engaging set of discussions, and
10 looking for commonalities, and how
11 do you replicate in the different
12 kind of market structures, and
13 those type things.

14 And then continue to engage with
15 (inaudible) for NERC on issues, and
16 have more robust planning criteria
17 and standards, and a lot of talk
18 about standards, a lot of talk
19 about making sure that your
20 definitions are the same, and
21 communication will continue to come
22 up throughout this, and how do we

1 do a better job of continuing to
2 communicate.

3 One project that we have going on within
4 this section, you know, progress within each of
5 the six sections, and again try to integrate
6 those, this project is an interconnection seam
7 study. It's really looking at the east and the
8 west, and it's a wide area study on how we could
9 look at the reliability, and efficiency for
10 futures, leverages kind of the lab strengths, and
11 looking at this modeling on a big scale, and
12 engaging stakeholders like (inaudible) SPP, and so
13 on, and Jay has been engaged in that project as
14 well, and building on the projects that we've been
15 doing over the past few years, five, six years,
16 the number of building block studies that we kind
17 of build on to really look at this, and how it can
18 impact the system, and how can a system act in
19 both a reliable and resilient manner. So this a
20 really big scale project in looking at the
21 national scale.

22 The second area that I'm going to talk

1 about is systems operation review findings. And,
2 again, what we're trying to do is look at grid
3 architecture here that came up with Chris'
4 comments and others before, how do we coordinate
5 and control millions of devices and integrate
6 across the EMS, and what does that future really
7 look like? How does aggregation occur? What
8 level does it occur at?

9 Some of the things that we're looking at
10 is a portfolio. Rick's pretty good for the, you
11 know, the amount of money that we have to put into
12 this. The MYPP, two areas not covered by what was
13 presented are analytics and computation, and power
14 flow. Analytics and computation at OE we do have
15 a few projects looking at that. We've done some
16 exploratory work with the Office of Science with
17 NSF on the (inaudible) and those kind of things in
18 that area. That was not highly emphasized in the
19 project, but, again, part of what we looked at
20 when we put this MYPP together was what are the --
21 where are the gap areas. Not necessarily just
22 repeat what's in every program line energy

1 storage, or like (inaudible), but how do we look
2 at what's missing in the portfolio things as we
3 look at this, and how do we kind of augment the
4 existing programs and go beyond, especially the
5 integration of the activities that are happening
6 with the boundary space within programs. How do
7 we really crosscut and cross fertilize better than
8 we have historically as we look at other programs
9 within DOE?

10 The idea of tradeoff off of
11 (indiscernible)large in scale
12 really have more impact. They have
13 great architecture we're going to
14 talk about in a minute, but it's
15 increasingly important, and I think
16 the thing, again, it does back to
17 the report, it says the number of
18 states that are engaging in good
19 architecture discussions. How is
20 this thing actually constructed?
21 You know, what do we want?
22 And it's not -- it's a number of states.

1 We're up to about a dozen states that are playing
2 in this in one way, and it's North Carolina, and
3 it's D.C., and it's Minnesota, not just a New York
4 and California, Hawaii kind of thing. So it's a
5 really interesting blend of states that are coming
6 together and sharing information in the grid
7 architecture space, and it's a very active area
8 for us.

9 The challenge with transactive is out
10 there a little ways in terms of how it's really
11 going to go, and the work that we're doing is,
12 again, interesting in that we're working with
13 Southern Company, we're working with Ohio, we're
14 working with Washington, the State of Washington
15 and all, so really looking at different constructs
16 of how it might operate, and not just a
17 traditional ISO market arena.

18 And then how do we communicate more
19 broadly again. That comes up -- and we're trying
20 to put more face on our communications, and as
21 we're getting more and more results on the system,
22 and really to make sure that we're interfacing

1 with industry as much as possible.

2 And grid architecture. I'm sorry. Lost
3 my place or something. Yeah. On the grid
4 architecture work, what this box is showing is the
5 grid architecture project, how it relates to other
6 projects within the portfolio so that it's a
7 fundamental building block for what we're doing,
8 and how it can relate to so many activities that
9 are going on from sensing and measurement strategy
10 to advanced control theories, to device grid
11 integration, to support on interoperability.

12 So it's really we're trying to weave all
13 this together into a systems approach, and, you
14 know, tying in all the disciplines we need to do
15 that, the principals, really understand the
16 guidelines, lay that out, help the states decide
17 which principles and activities they need, and how
18 do we continue to work with EPRI, with the smart
19 grid, with NIST, and with others on how all this
20 comes together.

21 And I'm going to turn it over to Kevin
22 at this time.

1 MR. LYNN: We just split this at about
2 seconds ago, so the other thing I would just
3 say about grid architecture which I
4 think is really great, you know, as Bill probably
5 mentioned, we have a number of programs that are
6 kind of working together, and we're trying to pull
7 all those programmatic activities together so
8 we're all seeing them from the same play book.
9 And with grid architecture as well as some of the
10 other things actually in sensing and measurement,
11 we're actually trying to have some of the PRS from
12 these projects come together and sort of make sure
13 that we're all -- whether it's the vehicles
14 program, or the energy storage program, or the
15 buildings program, with regard to grid
16 architecture, let's everybody get on the same
17 page. Let's everybody get briefed on what's the
18 latest in grid architecture so as we build out our
19 grid integration programs, you know, for each one
20 whether it be through solicitations or otherwise,
21 we can all be on the same page and be implementing
22 grid architecture, or sensing and measurement, or

1 interoperability in the same way, in the same
2 fashion.

3 So that's one of the things that we're
4 doing internally, which I think is just great.

5 So sensing and measurement. So these
6 findings are really just sort of the big picture
7 findings that we've got in each of the technical
8 areas. We've got a lot of great feedback from
9 people like Anjan, and Heather, and John on a lot
10 of the other individuals projects, but these are
11 just some of the big, the high-level things, and
12 we haven't even shared them with a the labs yet,
13 so that's probably why we're doing it on a pretty
14 high-level.

15 But sensing and measurement we're really
16 trying to -- you know, one of the -- this is one
17 of the bigger gap areas in our entire portfolio
18 because no one really from any individual program,
19 especially within EERE, has just spoken on
20 sensing. I mean, that's like a subset of
21 buildings, or a subset of our vehicles program.

22 So this was -- this really came out as

1 one of our bigger gap areas, and so really trying
2 to work on the devices, actually, the sensing and
3 measurement strategies, and some of the data
4 analytics, the communications that go along with
5 trying to create 100 percent visibility on our
6 system. What does that look like?

7 So, you know, a couple other points that
8 came across was, hey, you know, you really --
9 communications is part of your MYPP, but you
10 really didn't talk about communications at all.
11 There wasn't a lot of projects that we're really
12 addressing in the projects.

13 One of the things that came up too,
14 which was very interesting, and it was a long
15 conversation at the time, I happened to be sitting
16 in this particular session when this was
17 happening, was the conversation about building out
18 communication elements, so when you get -- what
19 happens -- you know, is that part of what we're
20 working on? You know, we've had some other
21 projects -- during the discussion that have gotten
22 not necessarily the best data, and we might be

1 putting together the best applications, but if
2 we're not doing good data quality analysis, and
3 getting good data to start with, we're going to
4 get a lot of junk on the other end of it just as
5 well, and how much do we need to start thinking
6 about poor data quality on our side to make sure
7 whatever apps we're developing, which they
8 consider the easy part, actually comes out as the
9 -- in the good information.

10 So sensor placement. There were some
11 conversations around this. We're really trying to
12 come up with a sensor placement strategy so you
13 can, depending on what you want to do, or what you
14 want to achieve, you can sort of get the best
15 sensors and put them in the best place, you know,
16 get 100 percent visibility with the least cost and
17 the least distribution.

18 Some of the things that came up as part
19 of the discussion was really about, hey, well, a
20 lot of times even if you have an optimized
21 location for your sensors, no one really puts it
22 there anyway. There's a practical application of

1 where this stuff actually will go, and maybe you
2 should think about that as part of your plan.

3 So sensor development. There's a -- I
4 think you know, people realize -- they acknowledge
5 that we are some very smart people at some of the
6 national labs working on some of these sensors and
7 sensor development, that maybe needed to think a
8 little bit more about what the priority was, and
9 what the context was, and are we working on the
10 highest priority items.

11 And happily we had a lot -- we had been
12 struggling a lot, a little with some of the
13 machine learning efforts, and we've gone back to
14 the well, going back to the well, trying to get it
15 right, and I think we actually finally did get it
16 right. So in the process of being able to move
17 forward in some of our sensing and measurement
18 activities and data analytics.

19 And so this was one -- I think -- the
20 one thing that I think we really -- we -- you
21 know, we understand that we're sort of the energy
22 side of this, but there's a whole lot of different

1 players like Google, like Microsoft are doing a
2 whole lot of really interesting crazy stuff with
3 data analytics, but we need to figure out what's
4 our side from the energy side, and I think, you
5 know, we finally got to pull together some use
6 cases that sort of resonated with all of the
7 different external peer reviewers, so we felt
8 really good. We feel like we can move forward on
9 this particular project, and we can sort of build
10 off of the seed that we've developed, and maybe
11 broaden it out a little bit more as we think more
12 about this particular area.

13 I'm going to move to this next slide.
14 Here we go. So within devices and integrated
15 systems (inaudible) -- this is another area, one
16 of the six areas that we're really trying to
17 increase the amount of grid services we get from a
18 variety of different devices that we put on the
19 system, whether it be energy storage, vehicles,
20 buildings, et cetera.

21 So one of the thing that they called us
22 out on was there was no foundational investments

1 in power electronics and energy storage. So we
2 had a lot of program specific -- being
3 foundational again is when we're all working
4 together co-funding activities together, and
5 program specific is where particular programs are
6 investing their own funds in a particular area.

7 So there's a lot of program specific
8 focus, and whether it was in DG inverters or
9 energy storage, batteries, et cetera, but there
10 was no real foundational look across power
11 electronics or energy storage across the
12 department, and the question was should we be
13 looking at that.

14 And, you know, one could, you know, we
15 need to do a little bit more thinking about this.
16 We do struggle. I've been a number of sides where
17 people ask us, hey, what are you doing in energy
18 storage across the department, and it becomes
19 quite an interesting picking and piecing because
20 there's (inaudible) storage, and fuel cells, and
21 batteries, and all the different stuff that's
22 going on, and you're going to have a great

1 discussion about that tomorrow, I know. But
2 that's one of the things that we need to think
3 about.

4 So the laboratory testing. That work
5 was one of the things we talked a little about was
6 sort of do we need to be building this broader
7 laboratory testing network. We kind of thought
8 maybe we needed to not try to bite off too much
9 and really just focus on developing an open
10 library which our grid components would go into,
11 and I can talk more about that individually.

12 You know, we definitely need to get more
13 engaged from industry on some of the standards and
14 testing work. We've had some really good
15 meetings, but a lot of the peer reviewers
16 mentioned that they hadn't even heard about the
17 meetings. We needed to do better with our
18 communications which was broadly acknowledged
19 across all the areas we worked in, and, you know,
20 concentrate on early stage R&D, and looking to
21 incorporate it into some of existing work.

22 You know, and then the slide I had

1 before, if I can go back to it -- there we go --
2 on interoperability. So this is another project
3 where we're trying to all get on the same page in
4 terms of interoperability across the department,
5 so instead of having individual programs like
6 vehicles or buildings, or storage, I'll try to
7 think about what if that means interoperability to
8 them. We're really trying to reach across all the
9 different programs with a single voice across the
10 department with some of the efforts that we're
11 doing, and really engage with industry and others,
12 and we know that this has always been a tough
13 thing. This isn't the first time that people have
14 been working on this, and we know there's a still
15 a long way to go on some of this.

16 So with security and resilience, you
17 know, basically, some of the high-level things was
18 we need to have more projects. We need to think
19 more about this. This is clearly a high-priority
20 item. We have, basically, one project that's
21 going for three years. Two of our other projects
22 are going to sunset at the end of this year

1 because they're what we call pioneer partnerships.
2 We need to finish those. We're going to finish
3 those up, and we're going to have one project, so
4 we need to think about -- more about what we want
5 to do here.

6 Security needs really to be incorporated
7 in all the different projects that we do. We need
8 to really think about even when we talk about
9 interoperability, in our interoperability
10 projects, we need to think about security.

11 We need to think about more diversity
12 and some of the resiliency topics. We had a
13 couple of projects with -- in Kentucky and New
14 Orleans, and we need to really think about, hey,
15 we're building these resilient cities, or industry
16 campuses, how can those things apply more broadly
17 across the country as we do it, and getting people
18 trained was something that we need to do more --
19 think about a little bit more? This is one of our
20 -- one of our exciting projects. It's actually in
21 New Orleans, but we're trying to think about how
22 to build a more resilient city. We're working

1 with Rockefeller, and this is actually with
2 Entergy, and a variety of different utilities on
3 local thinking about a transactive system,
4 microgrids, how do all those things build together
5 so we can have a more resilient city as a result
6 of any major storms that come through New Orleans.

7 So actually, this is going to come to an
8 end at the end of, I think in July. It's an
9 exciting project. It scored very well, and we're
10 interested in building off the success we had with

11 (inaudible) project. Here we go.
12 And then institutional. You know,
13 we have a lot of great projects,
14 good projects moving in the right
15 direction. Metrics, very important
16 projects, very difficult projects.
17 We have a lot of good feedback for
18 them on that particular one. We
19 need to make sure that we're
20 getting enough feedback from
21 states, consumer advocates, and
22 other stakeholders to make sure

1 that what we're doing is moving in
2 the right direction.

3 We, again, need to communicate what
4 we're doing. Some of the evaluation costs and
5 benefits of the different technologies
6 that(inaudible) incorporate into the grid was
7 getting good feedback, but I think we need to take
8 further steps, and we need to accelerate some of
9 that work, and we need to make sure that we're
10 capturing all the lessons learned from work that
11 we're going in places like New York REV, so we can
12 make sure that we can help other states and other
13 entities.

14 So I think with that, you know, some of
15 the broader lessons learned, we need to make sure
16 we communicate. Continue working with industry.
17 Making sure people understand, you know, have
18 expectations, especially with some of the lower
19 technology readiness level activities if we're
20 trying to do some projects we're looking ten years
21 out, make sure we set the context where everybody
22 understands what we're really trying to focus on.

1 Some of the projects need to be mirrored
2 and refocus, you know, focused a little bit more.
3 And I think we need to have a broader
4 cybersecurity plan. You know, we have a, -- maybe
5 -- and this is sort of across some of our other
6 projects as well. Maybe we focus a little bit on
7 smaller projects with a lot of labs working
8 together, and maybe we need to think about a few
9 bigger, higher- impact projects, and cyber might
10 be one of those areas that we need to think about
11 moving forward.

12 A lot of the, what we call the pioneer
13 partnerships which we're working with states, we
14 had ten projects where we're working with states
15 and other local governments helping with their
16 grid modernization efforts, we need to make sure
17 that we're disseminating some of the lessons
18 learned and experiences, whether it be with New
19 Orleans, or Kentucky, or Alaska, or the New York
20 REV process, California, making sure that we get
21 some of that information out to them.

22 And I think that's what we have. So

1 we'll be happy -- Bill and I will be happy to take
2 questions.

3 CHAIR TIERNEY: Thank you. I'm going to
4 -- you've all spoken again. I have to just go in
5 order then. So, Heather, it's great. I was going
6 to try to find someone who hadn't spoken yet. Go.

7 MS. SANDERS: First of all, I really
8 want to compliment you on the GMLC review. It was
9 so well done. I know it was the first inaugural
10 of it. I really appreciate the organization and
11 the thought that was into it, especially preparing
12 the reviewers.

13 What I found most impressive was the
14 emphasis on communication in English. I have
15 never, ever been to a forum with so many highly
16 technical skilled engineers that were actually
17 able to explain things. It's something I value
18 very highly. Something I spent my whole career
19 trying to make happen, and you did very well, and
20 I really want to compliment you on that emphasis.

21 As I talked with folks in the paper
22 sessions, I also agree more time on that would be

1 great if you could co-locate your paper sessions
2 with other events like ESNA, for example, or
3 DistribuTECH, or something like that, I think it
4 would be fabulous.

5 I appreciated, you know, all the people
6 you put in front. There was no defensiveness. It
7 was, okay, I'm going to try to explain it
8 differently. It was fabulous. So I just -- I
9 have to say that, you know, every day I learn I
10 know less, and that day I learned I knew a lot
11 less, and it was fantastic.

12 My question has to do with the
13 system-to-system concept, architectures, et
14 cetera. I hear it. I know what it means. I have
15 had the benefit of being here as a member of the
16 GridWise Architecture Council, et cetera, but when
17 you go into state regulatory forums, that concept
18 is foreign. The way we evaluate investments is
19 point-by-point. Chris made a very good point
20 earlier.

21 So my question is how do we get an
22 evolved grid architecture adopted and implemented,

1 and what do you see your role as in being able to
2 do this because it is not happening as far as I
3 can see?

4 MR. PARKS: Well, first of all, thank
5 you for the accolades (inaudible), and all the
6 people actually that worked on it.

7 Secondly, on the grid architecture, one
8 thing that came out of it is that you continue to
9 have -- it's a very solid effort. It needs to be
10 communicated in plain English better, and it's one
11 thing we're going to take on. We're meeting with
12 the labs on the week of the 20th, and it's one of
13 our activities. We are having a couple of
14 internal discussions specifically on program
15 interface with grid architecture, so we're hoping
16 about a month from now having a more cohesive,
17 easy story to tell. That's not a simple thing to
18 do. That and metrics both. I think they're some
19 of the hardest things that we're trying to tackle,
20 and we're going to just continue to work on it,
21 but it is a priority for us to do so.

22 MS. SANDERS: So does it ultimately get

1 implemented at the utilities and distribution
2 planning? I mean, how does the grid architecture
3 evolution get implemented?

4 MR. PARKS: So right now, it's being
5 implemented at the front of we're having a lot of
6 dialog with the regulatory world, and as I said,
7 there are ten or 12 that we're working actively on
8 around this space. Those dialogs are really
9 important. Ohio happened actually the same week
10 of the peer review. Jeff (inaudible) was in Ohio.
11 He was called back. They had their planning,
12 their whole effort around the framework that he
13 presented to them. As an example, North Carolina
14 is a recent addition as well. So it's really
15 evolving in real time, and is building on, again,
16 the communication between states as well, so it's
17 -- I think it's just - - it's something that, it's
18 just happening. And we hope to continue to
19 catalyze.

20 MR. LYNN: I think I would just say
21 just, you know, I really appreciated the comment
22 where you said one of first places where you've

1 gone and you've heard very smart technical people
2 present in plain English, which that's great.

3 I think this is still one of those areas
4 where we're maybe just a little too technical, and
5 we could get it down to a little bit more plain
6 English, and I think like Bill said that's a
7 priority for us. It definitely came up in some of
8 the conversations we had after the meeting, and
9 it's definitely a priority we want to make.

10 CHAIR TIERNEY: So Granger, Merwin, and
11 Paul.

12 MR. MORGAN: Actually, I have a very
13 specific bit of advice if you do decide to mount
14 something new in the cyber space. One of the
15 areas that without prejudging our report that's
16 about to come out, one of the areas that I've been
17 not entirely pleased with in terms of what's out
18 there already is what I have called in plain
19 English, and which my technical colleagues have an
20 allergic reaction to, cyber blackstart. That is
21 suppose that somehow I get the system heavily
22 infected, how the hell do I disentangle from all

1 of that stuff, and get the old-style system up and
2 running? I don't think enough people are worried
3 about that. So add that to your list of things
4 that you might contemplate as you move forward.

5 MR. PARKS: Great, Jim. I'm not the
6 best one. Good timing (inaudible).

7 Probably not my best comment, but I will
8 say that people are thinking about it. People are
9 actually looking at some alternative ways to come
10 at it, and that's embedded in the R&D plan that
11 we're putting forward. So stat tuned.

12 MR. BROWN: Merwin Brown, UC Berkeley.
13 Most of my 45 years plus in this business I find
14 myself taking on different missions from time to
15 time, and I've taken on kind of a new one in the
16 last couple of years. Has to do with
17 measurements. It's -- maybe it's not profound to
18 other people in this room, but to me something
19 struck me fairly recently about the significance
20 of measurements.

21 And this is going to your quality of
22 data question. The context in which this remark

1 is made is that the grid has been operated and
2 largely planned with physical models, and I think
3 those days are fast disappearing where that's
4 going to work. We have to go to a system that
5 relies more and more on real-time measurements,
6 and real-time analysis coming to conclusions and
7 making decisions even for systems.

8 So from a data quality point of view, I
9 hope that's in the equation, but that's the kind
10 of data that we're going to need, and that will
11 dictate the quality.

12 There's another aspect of this too. I
13 see us going more and more towards what I call
14 network measuring systems, and the synchrophaser
15 measurement system that transmission is putting in
16 is an example of that. And that has many
17 attributes to it. One, of course, is really to
18 measure an angle rather than estimate it. But
19 perhaps more important, and it goes to this thing
20 again about how do you simulate, or how do you do
21 laboratory type research to find out system
22 effects?

1 Once you get one of these network sensor
2 systems in and working, basically every new thing
3 that happens to that network, to that grid, is now
4 part of a research project. (inaudible) ongoing
5 basis measuring new things happening to that
6 system.

7 So to me, that's profound. And I guess
8 not for the rest of you, but I got excited by that
9 concept. So I just wanted to pass that on to you.

10 MR. PARKS: And Merwin, thanks for that.
11 I think that's increasing. I think what's
12 happening in, you know, example, PNNL having been
13 given access to all the web data, and having the
14 ability to see all that, and then do research
15 based on all of that is an example of things that
16 I think are evolving, and will continue to as we
17 go forward.

18 It's clearly complicated space, access
19 to data, and how it's handled, and everything
20 else, and then we (inaudible) the security, the
21 resiliency issues on top of that, but those
22 discussions are continuing to happen. I think

1 there are some really good activity moving it
2 forward.

3 MR. LYNN: I guess I would just really
4 quickly says is just on the cyber side, I'm
5 clearly not an expert on this, but I think your
6 comment on data quality, and being able to do
7 things in real-time, I mean, the faster -- we have
8 to do things in real time making sure that
9 whatever it is we're doing is based on good data
10 is really important, so we have to make sure that
11 -- I think data quality will be coming up more for
12 us.

13 CHAIR TIERNEY: All right. So, Paul,
14 Paula, Anjan, and Marilyn, and then we'll close
15 out the session. Thank you.

16 MR. CENTOLELLA: Thank you, Sue. So I'm
17 sorry I wasn't able to be at the session, because
18 I was in Ohio, you know, with Jeff

19 (phonetics), and he did a really
20 nice job. My question has to do
21 with what you

22 mentioned, Kevin, a foundational project

1 on power electronics. This strikes me -- the
2 Department has done some very good work on
3 individual power electronic technologies, but, you
4 know, what we continue to see even as we think
5 about architecture, and as you think about
6 planning, and even as we think about market, we
7 look at a system that is comparatively fixed
8 rather than dynamic, and we have relatively little
9 control below that 7.5-minute interval that it
10 takes to dispatch a generator, and what power
11 electronics is giving us is the ability to make
12 various parts of the grid dynamic, and to switch
13 power flows to react at millisecond levels to
14 disturbances whether in voltage, frequency, or
15 other aspects of the grid, and it strikes me that
16 that is fundamentally different from the way we
17 have thought about and operated the power system
18 for much of the last century.

19 And so I'm curious about if you can say
20 more about what your foundational project is, and
21 how that might begin to address that question.

22 MR. LYNN: I don't have an answer to

1 that question. I mean, I agree with everything
2 that you just said, and I agree that -- I know
3 that we've done a variety of different power
4 electronics work when I was in SunShot, you know,
5 we did a bunch of work, and, you know, a big part
6 of -- here's all the value that our power
7 electronics can provide, but no one's paying
8 anybody for it, so nobody cares. You know, we
9 went through that for years. We're still going
10 through it.

11 You know, I think there are some
12 comments on the devices and integrated systems
13 testing that maybe we should be looking at some of
14 the work, you know, could we leverage some of the
15 power electronics works that's going on in energy
16 storage, and with, you know, in the solar world,
17 and in the vehicles work.

18 Obviously, you know, and also AMO has an
19 entire effort with manufacturing,
20 (inaudible), power electronics
21 that's going on in North Carolina
22 State University. There was some

1 interest in doing some applied work
2 there. I just think there's a lot
3 of pieces there. I mean, really
4 where I mean, my thinking was. --
5 I'd like to hear what Bill thought
6 -- there are so many different
7 pieces here that are important in
8 trying to address some of the
9 challenges that you just pulled
10 together. It just feels like, much
11 like energy storage it could be
12 power electronics is one of those
13 places where there's a lot of stuff
14 going on. If we just pull it
15 together, we might be able to get
16 something bigger than just some of
17 those small parts.

18 MR. PARKS: Kevin's right. We're doing
19 work in -- and other partners are-- but he's doing
20 work, and it's too much ones and twos in that, a
21 coordinated thrust. And the same comment I think
22 was made on energy storage, is we've got JCESR

1 doing basic work, but the first five years it
2 concentrated on automotive storage not grid
3 storage. It's starting to pivot on that, and then
4 relate back to the other things that we're doing
5 beyond lithium ion as an example.

6 So in both areas, I think the question
7 that was raised in the QTR, and in other areas is
8 do we have critical mass? Is it well enough
9 orchestrated, and I think it's something that
10 we're continuing to work on as two areas that
11 really could use greater coordination and effort.

12 MR. CENTOLELLA: I look forward to
13 continuing to talk to you about that one that.

14 MS. CARMODY: So thank you for the
15 presentation. I always -- coming from the ground
16 level, working in the state regulatory
17 environment, I always appreciate the information,
18 but it also is an example of getting lots and lots
19 of information, and don't know what to do with it.

20 So I'm going to harken back to kind of
21 Heather's comment about communication back to
22 state regulators, and actually a lot of comments

1 that apparently were made at the peer review
2 process.

3 The need for communication, because I'm
4 there in the trenches with the Maryland state
5 regulators, and I know they, you know, they're
6 grappling with it, their technical staff, our
7 agency participating in lots of very kind of
8 specific things.

9 So my quick question to you is how is
10 the interaction, say, between NARUC, the
11 Association of Regulatory Commissioners, NASUCA is
12 my national agency, NASEO is the state energy
13 office, you've got the air quality agencies, you
14 know, the Conference on State Legislators. I'm
15 trying to figure out -- yeah, and they all operate
16 states, you know, five different kind of
17 groups operating at the state level, but I'm
18 trying to figure out how do you take those
19 critical things -- you know, Heather was talking
20 about grid architecture -- and start on that broad
21 level. You've got 50 states being able to kind of
22 communicate kind of the essential things to --

1 either through those national associations to see
2 if -- it's almost like training a trainer -- so
3 that the information can get pushed out in a
4 rigorous but broad way to all of the states, or do
5 you go state by state and invite all of the kind
6 of (inaudible) groups into those states, because I
7 have to tell you, this -- these kinds of
8 discussions, they may be going on with particular
9 utilities, or in particular maybe technical staff
10 within agencies, but it is really hard to kind of
11 bring that down to that level, number one, to see
12 what's going on with your states, with your
13 utilities, you know, and what folks are thinking
14 about, and what is it about all the stuff that
15 you're doing that you consider most essential that
16 all of us should be, you know, get our folks and
17 regulators to be thinking about?

18 MR. PARKS: So two part answer kind of
19 broadly, and one is we do have long-term historic
20 relationships with NARUC, with NASEO, the NCSL and
21 NGA, and we continue -- we provide some funding to
22 them. We put out publications with NARUC as an

1 example over time (inaudible) transmissions just
2 basically electricity 101 kind of things, as well
3 as specific papers that have come out of the labs.
4 Berkeley has been a leader in that arena. They've
5 done a series of papers just in the last year or
6 so on different aspects of the distribution system
7 evolution, and those kind of things.

8 Having said that, that we have a strong
9 relationship, a strong history with it, the
10 magnitude of requests from the states have really
11 grown in the last couple of years. And what I
12 would say is that we are meeting those today, but
13 we are not meeting them as robustly as we would
14 like. I think we could really, really expand the
15 number of things.

16 And, again, there's so much happening in
17 a quick period of time that we need to really
18 leverage all the resources around how it can be
19 utilized.

20 So I see it continuing. I don't see
21 that going away at all. I think part of what
22 we're thinking about is how can we help make sure

1 that you understand what's going on in those other
2 ten or so states that were really active on grid
3 architecture as an example, and there are other
4 things that we're active with them on.

5 And another thing we're trying to do in
6 all of this, and it came out really as part of the
7 New York REV is we were having one lab support the
8 governor's office, one lab support NYSERDA, and
9 another group, you know, supporting utilities, and
10 coordinating our responses to helping the states
11 is really good and valuable in their process.

12 So it's a continuing struggle to build
13 that, and historically we've done a lot of special
14 events with NARUC, or with NASEO, and that kind of
15 thing. I personally think that all of that
16 courtesy should be expanded, and it becomes more
17 of a critical issue over the next few years.

18 MS. CARMODY: And if I could say, I
19 mean, in NASUCA - the National Association of
20 State Utility Consumer Advocates - we've been
21 asked to -- involved in LBNL reports, which we're
22 very grateful of, and webinars, and in other kinds

1 of information sectors, but they're really kind of
2 key, and still part of it is I think the big
3 picture questions as we tend to focus on very
4 specific issues evaluation, electric grids, you
5 know, electric vehicles, microgrids, but we lose
6 kind of that system, you know, kind of
7 sensibility.

8 But I did want to point out that, you
9 know, we do appreciate, you know, DOE reaching
10 out, you know, to us.

11 MR. LYNN: Couple of quick points. One
12 is I think we're doing a little better. When we
13 first started this, we had three different labs in
14 New York REV. They were all doing something.
15 They were not coordinated. And so as part of this
16 process, we pulled all those pieces together so we
17 had a single piece, and we're trying to make sure
18 that we're getting lessons learned out of projects
19 like that so we can share them broadly with
20 states.

21 But I think one of the things that came
22 out -- and Bill's right. I think, you know, we've

1 worked with NARUC, and NASUCA, and NASEO, and sort
2 of those lines, and together too, but I think, you
3 know, as we get better at this, we can communicate
4 sort of the same, and be consistent across when we
5 communicate with all those different groups
6 together we can sing the same song so everybody is
7 together instead of sort of having a different
8 perspective on what's being -- the information
9 that's being delivered.

10 CHAIR TIERNEY: So Anjan and Marilyn, I
11 will request that you be very brief. We're
12 behind.

13 MR. BOSE: Okay. I don't have a
14 question about GMLC projects itself, but rather a
15 little news item I saw a couple days ago which
16 said that the Secretary has appointed Alison
17 Silverstein to write a report on the grid.

18 Is it related? Are you part of it? How
19 does it fit into the picture of the grid and DOE?

20 MR. PARKS: I noticed that Kevin didn't
21 jump into that one (laughter). Yes, we are both
22 supporting that effort as well as many people

1 within the department to put together a market
2 study of what's happening. That'll -- you know,
3 the due date to the Secretaries is July 23rd -- I
4 mean, June 23rd. I won it by a month. And so
5 we're working pretty diligently. People like
6 David Meyer aren't here today because they're
7 working on that kind of thing. And Alison is the
8 kind of principal editor pulling all these pieces
9 in.

10 The one thing we've done is we used the
11 GMLC lab network to pull in the labs, and to pull
12 in efforts from them, and we've received something
13 between 15 and 18 papers from the labs that are
14 specifically targeted on chapters or activities
15 within the thing, trying to make sure that we're
16 capturing as many viewpoints as possible within
17 the time frame that we

18 (inaudible). So we're actively
19 engaged, GMLC is
20 actively engaged(inaudible) lab to
21 really step up, and the players are working pretty
22 hard.

1 CHAIR TIERNEY: Thank you. Try to keep
2 it short.

3 MS. MARILYN BROWN: I was very excited
4 to see the mention of machine learning, and a
5 whole big data topic in the presentations. At the
6 university, we're really at Georgia Tech, and I
7 know at CMU, and many other places the students
8 are so excited about the role of big data, and
9 helping to achieve sustainability of all variety
10 of sorts.

11 So they start down these various
12 projects. They try to merge different data sets.
13 And they realize that choosing these data sets is
14 fraught with just insurmountable problems. Time
15 stamps don't drive, GPS coordinates not the same.
16 They tried to do something on EVs. You've got EV
17 charging stations from four different vendors, and
18 you don't know what you've got on campus. You
19 really want to try to help, and you scrape data,
20 you know, scrape data from all over the place.
21 The students are incredible at what they can do,
22 but they're so frustrated by the challenges of all

1 of this.

2 And I remember when the smart grid data
3 was made available how valuable that was to
4 universities. Well, now we're in a whole other
5 generation of data, and it would be just to try to
6 add some systemization, or some rules, or
7 something, and to make some of these data,
8 real-time data streams available to other
9 universities and others could give you so much.

10 So just try to think about how you can
11 take it to the next step sharing of data. I know
12 your labs really appreciate it, but the
13 universities are just really hot to get some of
14 this too. What do you think?

15 MR. LYNN: That's a really good point.
16 I think -- we don't have the answer to that. And,
17 you know, we continue to encourage coordination
18 across (inaudible), and I think some of the
19 solutions are going to require some of that data
20 coordination, and I think it's going to have, and
21 it's such a broad (inaudible) that it's going to
22 be somewhat piecemeal or specific to certain kinds

1 of situations for the things you're trying to do.

2 But we see enormous interest, as you do,
3 in it, and we see enormous value in the players
4 that are working the space, but the labs,
5 universities actually within industry, and so we
6 just continue to evolve in that direction. I'm
7 not going to pretend I have the answer --

8 MR. PARKS: I think that recommendation
9 (off mic).

10 CHAIR TIERNEY: Well, let's leave that
11 as the final word. This was a terrific effort
12 that you guys have shepherded, so thank you very
13 much for your -- (applause).

14 We have exactly ten minutes for your
15 break. We're going to start five minutes late
16 because I see our panelists are here. So we'll
17 start at 3:00 precisely.

18 (Off the record at 2:50 p.m.)

19 (Back on the record at 3:00 p.m.)

20 MR. MORGAN: We have a really exciting
21 topic - gas- electric integration. My strong
22 sense is that we'll end up substantially running

1 over our time, but we're not going to be allowed
2 to run over our time.

3 SPEAKER: Excuse me just a second,
4 Granger. First, please take your seat, or take
5 sidebar conversations into the hallway. We're
6 going to get started right now. Go ahead,
7 Granger.

8 MR. MORGAN: And what I'm going to do is
9 also not have discussion after each talk. I'm
10 going to go -- we'll go through all three talks,
11 and when you hear something that you want to
12 comment on, put your flag up. And then at the
13 end, when we're all done, we will systematically
14 back and forth across the two tables hear comments
15 on any or all of the talks, or any observations
16 you care to make about gas-electric integration.
17 My fear is that probably every single one of us is
18 going to want to make a comment about gas-
19 electric integration, especially if you live in
20 the northeast.

21 But with that, I'll ask Sue to come up
22 and give her first talk, and there is a clicker

1 here to advance.

2 CHAIR TIERNEY: Thank you, Granger. You
3 guys will recall that the impetus for this panel
4 was some brief overview that we had at a few
5 sessions back. And the role that I have in
6 today's lineup is to be the primer. I'm the basic
7 person, and then you have two real experts
8 following me, who will drill down into more detail
9 on the topic.

10 So I'm going to talk mainly about what's
11 different, and what's similar about these two
12 industries. Would you raise your hand if you know
13 a whole lot about the gas industry?

14 SPEAKER: (inaudible).

15 CHAIR TIERNEY: Okay. Some of you --
16 are there some people in the room who know nothing
17 about the gas industry? Okay. That's great. Oh,
18 let's see if I can make work the right direction.
19 Maybe no. Oh, yes, I can. No, I can't.

20 So the conventional wisdom right now is
21 that at least for the foreseeable future, and
22 until a very urgent decarbonization agenda occurs,

1 there will be increasing interdependencies between
2 the gas and electric industries.

3 For one thing, the electric industries
4 will become more and more dependent on natural gas
5 for not only a percentage of its generation, but
6 in integrative functions with integrating
7 renewables. Golly. I hope I don't do that every
8 single time I try to advance it.

9 So you probably all recognize that this
10 is the famous chart of the amount of generating
11 capacity that has been added each year over the
12 last 50 or so years by fuel type, and the big
13 yellow bars are the huge amount of natural gas
14 capacity that has come on line since around the
15 year 2000.

16 The red is nuclear. The black is coal.
17 You can see that fleet is pretty aging, but the
18 amount of capacity that is now natural gas, --
19 and, of course, renewable is in blue on this thing
20 -- is the modern capacity that has come onto the
21 system. And so it an overwhelming amount of
22 capability that exists in the gas fleet.

1 And until a couple of years ago, the
2 amount of capacity that came on just after in
3 these huge (inaudible) bars after the year 2000,
4 that capacity remained highly underutilized for a
5 number of years as gas prices were high during
6 that period.

7 And so when gas and coal prices began to
8 change, that underutilized capacity was available
9 already on the grid and could be dispatched up
10 very quickly.

11 This is the electricity generation
12 outlook by EIA, the most recent annual energy
13 outlook. You can see that coal is the diminishing
14 market share in this business-as-usual. This is,
15 remember, an existing policy's outlook. It does
16 not anticipate the implications of changes in
17 policies that are not already existing in the
18 federal and state governments.

19 You see nuclear is flat, and you see
20 natural gas and renewables taking up a larger
21 share between now and the year 2040, again, in
22 this business-as-usual outlook.

1 So electricity is going to depend upon
2 gas, and gas depends upon electricity, and I don't
3 just mean to run the compressor stations on the
4 system itself. But the outlook for the market for
5 natural gas going forward is very much a function
6 of growth on the electric side, and industrial
7 use, and export markets.

8 So this is the same energy outlook, an
9 annual energy outlook that anticipates where new
10 gas sales will come from. You can see residential
11 and commercial at the bottom are pretty small, and
12 -- excuse me -- and they are flat going forward in
13 this business as usual case.

14 Electric power is the growing sector
15 along with industrial use, and industrial use is
16 highly sensitive to price. Of course, electricity
17 is as well. Price in this outlook is expected to
18 be slightly higher going forward than it has been
19 in this really low price environment we've had in
20 the last year.

21 So let me talk about similarities
22 between these two industries. Wow, this is really

1 weird. Sorry. Both of these started about 20
2 years ago, 20 to 30 years ago to unbundle the
3 functions, and in natural gas and electricity, the
4 wires function is separated from the commodity
5 function, as it is largely in wholesale energy
6 markets on the electricity side.

7 The commodity supply in both of these
8 two industries is market-based under most
9 circumstances, with the transportation function on
10 the interstate system at tariff cost of service
11 prices. Both of them had those transportation
12 services priced by the FERC for the most part when
13 they are provided for other third-parties, rather
14 as part of bundles service to consumers.

15 Both of the industries have a state
16 regulated local distribution company function, and
17 so everywhere where there's natural gas for retail
18 consumers it's state regulated. Most of them have
19 the majority of physical assets owned by private
20 companies.

21 Maybe someone more skilled than I can do
22 this.

1 SPEAKER: (Off mic).

2 CHAIR TIERNEY: Oh, great. I was told
3 that there was. Both of them have systems that
4 cross the country, and both of them have really
5 different sub-national markets with a lot of
6 differentiated features.

7 So here's the physical footprint of the
8 two industries. For natural gas, I'll show you
9 the picture, but the physical footprint of the
10 interstate transmission grid basically reflects
11 the fact that from the beginning of the industry,
12 the gas was distant from consumers, and so you had
13 the construction of an interstate pipeline that
14 became federally regulated. So if you want to
15 cite natural gas facilities, and pipelines you go
16 to FERC, and the citing of natural gas facilities
17 is federally preempted.

18 So you see that here in terms of the
19 traditional source of natural gas down in the Gulf
20 Coast, and Texas, and Oklahoma, and moving that
21 gas up into consumer markets in various northern
22 parts and western parts of the United States.

1 And you see with this picture the
2 increase in shale gas production in different
3 parts of the country, and the top of that screen
4 is the Marcellus and the Utica Basins in Ohio,
5 Pennsylvania, Appalachian regions.

6 So that geographic location of where gas
7 is increasingly coming on line is affecting the
8 distribution of the pipeline system of natural
9 gas, and you see that here with a lot of new and
10 planned expansions in the Marcellus area, moving
11 out of Ohio, out of West Virginia, out of
12 Pennsylvania into other gas-consuming markets.

13 Now, that's different than electricity.
14 Recall that electricity grew up from a century ago
15 with power plants, little power plants physically
16 located to consumers, and the states control
17 siting of transmission for the electric system,
18 and that history is quite tied to the fact that
19 that's just totally different than we have natural
20 gas.

21 So the location and the physical
22 developments of these two systems ended up with

1 very different regulatory and legal structures for
2 affording the development process of the assets
3 themselves.

4 So, you know, the picture, it just shows
5 the different locations of power plants, many of
6 which are clustered relatively close to load
7 centers, or in the coal country in places close to
8 where coal could be supplied.

9 But the tradition in electricity was
10 from the beginning that you moved the fuel to the
11 load, and then you built the power plants there
12 rather than transmitting from mine-out stations
13 where, of course, that does exist, but it is not
14 the norm.

15 So the electricity grid is more tied to
16 the consumer centers in some sense than the
17 natural gas grid, although as I've pulled out
18 these maps, they look kind of similar. Okay, Sue,
19 let's go.

20 So differences. Everything now toward
21 the end of this are going to be differences in
22 these two systems. Electricity is a network, and I

1 think of the pipeline system as more like
2 laterals, and that has important implications. So
3 electricity you know it's physically connected
4 within an interconnection, the three
5 interconnections and power flows across a highly
6 interconnected network of physical facilities.

7 But in natural gas, what you have is
8 companies own individual pipeline systems, and
9 they don't have a mesh network type of
10 configuration. You are going to buy service
11 delivered on a physical set of assets that are
12 connected to each other with occasional drop off
13 points, but if you're not -- if are a power plans
14 and happen to be located next to one pipeline and
15 not another, you're going to take your service off
16 of one pipeline that's not gonna source its supply
17 from a lot of different pipeline locations.

18 Okay. So you know the interconnections.
19 You don't need to see that. So I've already
20 mentioned that natural gas is developed along
21 pipeline, and to give you an example of that -- I
22 am so inept. Okay. These are just two examples

1 of the point. If the middle picture is the full
2 array, and it looks just like the electric system,
3 it's actually made up of these individual
4 laterals.

5 On the left, you see an example of
6 Dominion Energy's pipeline system, so if you're on
7 Dominion System you're flowing up through
8 Dominion, basically, until you can get a tap off.
9 By contrast, some shippers may use the Texas
10 Eastern shift system which is in parallel to, but
11 physically separated from the other one.

12 So that's the case for that system that
13 looks like it's just like the electric grid. It
14 isn't. They are very different.

15 Gosh, I hope you guys have better luck
16 with this than I do.

17 So storage. We're having a whole day on
18 storage tomorrow. The storage approaches are
19 quite different in the two systems. So this is a
20 picture of the storage locations for natural gas.
21 These are underground storage for the most part.
22 It's in salt domes, or, you know, abandoned mines

1 and a variety of other places where there are
2 large physical supplies of natural gas compressed
3 underground, and it really provides a finite
4 amount of take out of the fuel.

5 But it also allows for storage of fuel
6 with really long time frames. Within a season,
7 you can then draw down the fuel supply. We know
8 that's really different than electricity. So
9 electricity we do have some big storage, and this
10 is a picture of pumped storage, so that's a
11 situation where you know the grid operator has the
12 ability to call upon pumped storage, but typically
13 that is on a daily basis, an intra-day basis, not
14 a long seasonal basis like you have on natural
15 gas.

16 And the emerging technologies that we
17 know about for storage on the electric grid will
18 go from the nanosecond basically of frequency to
19 longer term, but we don't have a lot of this
20 seasonal, intra-season storage on the electric
21 side, which is going to be a challenging attribute
22 associated with increasing intermittency of

1 different kinds of fuels with different patterns
2 of supply by season, of course, within days and so
3 forth.

4 So the commodity market are very
5 different.

6 CHAIR TIERNEY: So natural gas.
7 Everything on the production side is essentially
8 unregulated for the past few decades. So the
9 production and cleaning of natural gas, for
10 example, is unregulated by the federal energy
11 regulatory commission, or any other entity. There
12 is true commodity competitive pricing that exists,
13 and demand is highly -- excuse me -- demand is
14 highly sensitive to price. That did work better
15 if I push really hard.

16 Electricity. Of course, production is
17 highly regulated even in places where there are
18 market based rates that Bob would tell us that a
19 market design operated and administered by an RTO
20 is highly regulated by FERC. So there's a very
21 different structure, and, of course, within the
22 context of a vertically integrated electric

1 utility system such as Southern Company, you have
2 a different form of regulation for the generation
3 side, and demand is sensitive to price, but
4 nowhere like it is on the natural gas side.

5 So there are lots of other differences
6 across the industry, and these are going to sound
7 kind of random, but they affect the markets for
8 the two systems.

9 A universal service. Natural gas does
10 not have universal service. You could live in
11 some location where you have no physical supply,
12 or you can actually be a person who wants natural
13 gas service, but unless you build the lateral, or
14 there is available -- there is the expectation
15 that the utility is going to build a lateral to
16 you, that's only going to happen if it actually
17 doesn't raise everybody's else's rates.

18 So it is a different model on the gas
19 side for what areas of the country are served, and
20 what customers literally are served, and there is
21 no obligation to build or plan for new customers
22 in the same way, or course, that there is in

1 electricity.

2 And a natural gas delivery company has
3 an obligation to serve its current customers, but
4 not new ones. So that's an important distinction.

5 Another difference. The demand outlook.
6 So natural gas is growing, unlike at the moment
7 the electric industry, in terms of demand. There
8 was a period when natural gas was pretty flat, and
9 that was when prices were pretty high as recently
10 as a decade ago, and local distribution system
11 service for natural gas does tend to be pretty
12 flat. That's because the growth is the LNG export
13 market that doesn't go through the LDC. Growth in
14 the power generation market, and for the most part
15 around the United States power plants take off the
16 high pressure system rather than go through the
17 low pressure distribution system, and industrial
18 customers take a direct tap off of the main
19 pipelines as well.

20 So you see this difference between LDC
21 markets being flat, and the overall market for
22 natural gas driving pipeline -- interstate

1 pipeline additions, or high pressure pipelines,
2 but not necessarily -- the market doesn't
3 necessarily see that locally.

4 Electricity demand is pretty flat
5 everywhere whether it's wholesale or retail.
6 There are, of course, some parts of the country
7 that are experiencing growth, but unless there is
8 a major new period and phase of electrifying
9 transportation, industrial use, and buildings that
10 now heat with natural gas or propane, then
11 electricity demand is pretty flat.

12 So that's a big if what I said. Most of
13 the deep decarbonization studies indicate that
14 electrification is a pathway to lowering the
15 carbon footprint of the economy, but to do that
16 you have to lower the footprint of the electric
17 system at the same time you are electrifying other
18 sectors, and doing that, of course, affects the
19 market for natural gas. So all of these things
20 are a little interconnected.

21 Another difference is that the speed and
22 timing, and pace of things really differs in these

1 two markets. Natural gas moves 15 to 20 miles per
2 hours, and electricity is measured in, again,
3 minute fractions of a second in terms of making
4 sure that they system operates.

5 There is a lot of ability on a pipeline
6 system to change pressure, and inject into
7 storage, and pull out of storage in order to speed
8 up the movement of natural gas, but, in essence,
9 somebody up in New England who needs gas tomorrow,
10 that gas already has to have been in the system
11 for many, many days in order to get ready for
12 market to have deliveries occur when needed.

13 There's one really important element of
14 the differences between these, and that is the
15 presence or lack thereof of industry standards for
16 reliability. So in natural gas, there is no NERC.
17 There is no NERC or anything like it for assuring
18 that the system as a whole operates according to
19 certain standards.

20 Now, that's not saying there are not
21 safety standards. That's not saying there are not
22 operating standards and procedures. Yes, or

1 course there are, but there is no mandatory
2 industry-wide reliability organization that pulls
3 in the planning functions for long-term resource
4 adequacy, as well as the operational security
5 issues. So there's -- it's just very different on
6 natural gas than electricity.

7 And the way that those standards tend to
8 operate on the gas side is to me more akin to the
9 way it used to be quite a while ago on the
10 electric side. So the gas standards evolve for
11 the industry as a whole when there is a major
12 cross-industry policy issue that FERC has to
13 decide and may introduce. There is the North
14 American Energy Standards Board which is the
15 standard setting organization for both electricity
16 and gas that develops through a collaborative
17 industry process to try to address with a voting
18 process by the members of the different industries
19 what standards will be adopted. And sometimes
20 when the industry can't get its act together to
21 vote something in, that's when FERC steps in to
22 adopt an industry-wide policy.

1 But the pipeline companies, for example,
2 have had their own business practices, their own
3 business policies that have to do with what time
4 you might be able to call up supply; their
5 response time; whether they are actually
6 electronic in terms of their response to customer
7 nominations of moving gas; or whether those are by
8 phone. So there is a wide variety of actual
9 practices across the gas industry that vary
10 tremendously, according to what the owner of a
11 system adopts.

12 And as you know, since 2005, after the
13 famous 2003 black- out, Congress enacted the
14 framework for mandatory standards. Of course,
15 there are a lot of industry-wide, voluntary
16 agreements to share services, and mutual
17 assistance process across the electric industry.

18 States do hold for the most part
19 resource (inaudible) roles in the electric
20 industry with FERC adopting that role in organized
21 wholesale markets on the east coast especially.

22 But these are very different functional

1 ways in which the industry operates, and an
2 example is you think about the control centers of
3 a grid operator. 24/7 the screens are all up.
4 Everybody is operating just every single second.

5 The gas industry there are questions
6 about when they should start their day, and
7 occasionally the gas industry members will say,
8 well, well, we can't start our gas day at 4 a.m.
9 That means our guys would have to get up early and
10 go out to then do something on the production
11 side. It's just a really different, different type
12 of system.

13 And the increasing interdependencies of
14 the two systems is increasing the conversations
15 between those two cultures in ways that require
16 continuing effort to make sure that the
17 integration continues to evolve.

18 Okay. So implications for us on the
19 electricity side. Bob may talk about this with
20 New England, but in the electric industry, we see
21 a variety of ways in which utilities, so electric
22 generators, who are interested in nominating gas

1 for tomorrow, and making sure that there is
2 adequate capacity on the system, there are
3 different incentives in the markets for some
4 companies to do that and not others.

5 So if you are vertically integrated, you
6 may be able to put into your rates the firm gas
7 transportation service that may be required to
8 make sure that new gas pipeline delivery capacity
9 is put in place for your use. That may not be the
10 case on the electric side, and in fact, was not
11 the case for many years in vertically -- excuse me
12 -- in some of the wholesale markets where merchant
13 generators have not had financial incentives to
14 operate under firm transportation agreements for
15 natural gas. Bob will describe how the market is
16 evolving to try to address that issue.

17 I guess I just talked about that.
18 Additionally, one of the issues that I think is a
19 clear one is a chicken and egg timing problem, or
20 a challenge for which the market structures are
21 continuing to evolve on the electric and gas
22 sides. So in some regions again, chicken and egg.

1 If you are in an organized wholesale
2 market, or even if you're vertically integrated
3 and you're the balancing authority for your
4 system, you need to know how much gas you can get
5 if you're going to be dispatched tomorrow. So
6 you've got to know that you can get gas so that
7 you can put your bid in, or you can be ready to be
8 dispatched in the next day's market.

9 And if you're an organized wholesale
10 market, you're actually going to structure your
11 offer price depending whether you can get gas
12 delivered for a particular price. But in some --
13 in some of those regions, the generators may not
14 actually know whether they can get gas by the time
15 they actually have to nominate and put a bid into
16 the supply.

17 So this is a chicken and egg problems
18 that is operating in real terms right now that I
19 know the (inaudible) are trying to address, NAESB
20 is trying to address, FERC is trying to address,
21 but I think it will continue to evolve as you
22 think about a system in which gas moves at 15 to,

1 you know, 10 to 15 miles an hour, and you are
2 looking for gas to be the swing of integrating
3 highly intermittent fuels, and balancing that
4 system.

5 So the dovetailing of those two things,
6 and how they function in this real time and day
7 ahead market is something that will continue to
8 evolve.

9 So final facts. My only final facts are
10 one of the great things about the electric
11 industry -- I'm a cheerleader right now for the
12 electric industry on this side of it -- is that
13 everybody whose job it is to deliver reliable
14 service whether it's Pasadena, and you're going to
15 be there around the clock, 24/7, or PG&E, SCE, or
16 ISO New England, the more you are part of the fuel
17 delivery business on the electric side, or
18 whatever it is, the industry has continued to
19 solve these problems. I didn't even mentioned
20 you, Mark. Sorry, Mark. You have a minor role to
21 play in that. These are not surprising issues for
22 the cops on the beat on the electric reliability

1 side, and there is so much work to anticipate the
2 changing transitions that are underway in the
3 industry. So people are seeing the issues, trying
4 to solve them, trying to address them, but there
5 still continue to be market evolutions that need
6 to occur in order to keep up.

7 And my last point is that's gonna just
8 continue to be the case. It's going to get more
9 complicated in the future. We don't know about
10 the pace or timing in which we are going to be
11 relying on natural gas in the say that I've just
12 described, or whether or not it's going to be
13 playing a more diminished role some decades
14 forward. Lot of different challenges to figure
15 out. And so continuing to stay ahead of that
16 changing environment is, you know, inherently
17 challenging. Lots of good minds are on it. I'm
18 glad DOE's work is all about that. But work has
19 to happen on both the gas side and the electric
20 side as part of this.

21 And actually, I will make one editorial
22 comment. One more final one. My -- I chaired the

1 NAESB gas-electrical integration process a year
2 ago, and two years ago, and three years ago. And
3 I encourage everyone to be as active as they can
4 to communicating with the natural gas industry
5 about how complicated these issues are. And that
6 both sides of the industry sectors need to be
7 working on a changing structure for the industry
8 and a changing set of dynamics for the industry.
9 And that's it.

10 MR. MORGAN: Thank you, Sue.

11 (Applause). So as said before,
12 some of you weren't in the room,
13 we're not going to have Q&A after
14 each talk. Put your card up if you
15 hear anything over the course of
16 the talks that you want to raise,
17 and once your card -- I mean, at
18 the end of the three, I will simply
19 go to all the cards that have gone
20 up and not to any others.

21 And so Bob's now tell us a bit from the
22 perspective of ISO New England.

1 MR. ETHIER: Good afternoon, everyone.
2 Appreciate the opportunity to be here. Sue did a
3 really nice job of sort of giving the big picture
4 sort of issues going on in the gas-electrical
5 issue -- industries.

6 I'm here to sort of give you more of a
7 case study, what's happening in New England and
8 why that's important. I think New England is in
9 some ways the canary in a coal mine and all this.
10 As you'll see, we are highly dependent on natural
11 gas and getting more so, and we have very limited
12 natural gas infrastructure. That's sort of the
13 backdrop of all this. And as a result, we've had
14 to do a number of things to try to improve our
15 situation with working with the gas industry, and
16 how our markets give incentives for folks to do
17 the right things on the electric side, and better
18 utilize all the gas infrastructure that we have.

19 So I will do my best to explain why New
20 England matters. What it is we've learned. And
21 what we're doing going forward to try to improve
22 the coordination level between gas and electric.

1 So with that. So the ISO, we're
2 regulated by the FERC, which currently only has
3 two commissioners so we're not doing a lot of
4 regulation at the current moment, and we're the
5 reliability coordinator for New England under the
6 North American Electrical Reliability Corporation.
7 We're independent of all of the companies in our
8 footprint.

9 We do three main things, and each of
10 these things is pretty directly affected by the
11 gas-electric coordination I'm going to talk about.
12 We oversee the day-to-day operation of the power
13 grids, so as Sue mentioned, we have a -- basically
14 looks like an air traffic control center that's
15 staffed 24/7 by six to eight people, and it
16 operates the grid minute-to-minute,
17 second-to-second, hour- to-hour.

18 We also planned the system, so we
19 planned the New England transmission grid, and --
20 including interconnections, and we also planned
21 new interconnections from new power plants on the
22 grid.

1 And the final thing we do, and, of
2 course, the most important because I'm an
3 economist, is run the regional wholesale
4 electricity markets.

5 And obviously I'm kidding that that's
6 the most important thing we do, but that does seem
7 to suck up the lion's share of the oxygen in New
8 England when you're talking about the electric
9 grid because the markets are the newest aspect,
10 and the markets have a big role to play both in
11 the operations and the new investment in
12 infrastructure, and in the planning of the grid.
13 So the markets have quickly gotten us sort of a
14 center role in how the grid works, and how the
15 grid evolves over time.

16 So increasing reliance on natural gas.
17 This is maybe my most used slide. What you have
18 on the left in the blue is fuel use in 2000. What
19 you have on the right in orange is fuel use in --
20 or fuel use in -- or field production --
21 electricity production from that fuel in 2016.
22 What you see is oil was 22 percent of our

1 electricity production in 2000. Coal was 18
2 percent. They're now 1 percent and 2 percent, and
3 that's only going down because on May 31st, the
4 largest coal plant in New England shut down for
5 good. So that coal number is going to only be
6 lower in the future than it is right now.

7 So what took up the slack? Almost a
8 hundred percent natural gas. Sure, we've got a
9 touch more renewables, but largely it's natural
10 gas that's taking up the slack, and we don't see
11 that changing anytime soon.

12 And the reason that we don't see that
13 changing anytime soon is for this graph, which is
14 very similar to one that Sue showed you with the
15 additions of capacity by fuel type. This is for
16 New England only capacity isn't by fuel type, the
17 only one that matters is this big blue one which
18 is natural gas.

19 Sure, we're getting some other -- we're
20 getting some other additions down here, but the
21 lion's share is clearly natural gas. And this is
22 -- we go to 2019. So this is largely historical,

1 and from what I can tell, it's going to be the
2 same going forward. This is a list of all new
3 large-scale production facilities that are
4 expected to come online in New England. All
5 natural gas are dual fuel capable with natural gas
6 as the primary resource. So lots of gas
7 historically. Lots of natural gas going forward.

8 One of the issues we face is we are at
9 the end -- literally at the end of the pipeline.
10 So we are not -- we've talked to our follow ISOs.
11 We've talked to PJM. We talked to MISO. We
12 talked to SPP, and they're like gas
13 infrastructure? We have more gas infrastructure
14 than we know what to do with. We have, you know,
15 that's not universally true, but generally we have
16 a lot of pipelines crisscrossing their territory,
17 and for the most part at least on a widespread
18 scale, pipeline limitations are not their
19 problems. That is not the case in New England.

20 The New England pipeline network was
21 built to largely handle home heating and what
22 limited industrial uses that we have in New

1 England. It is now being leaned on, as you can
2 tell, very heavily to run the electricity grid.
3 The pipeline expansion has not in any way kept
4 pace with the increase in natural gas usage by the
5 gas-fired generators in New England.

6 So we are leaning on a pipeline system
7 that hasn't gotten updated. Luckily, it had some
8 spare capacity historically that gas generators
9 have been using, but we are starting to bump into
10 the limits of those pipelines that we have in New
11 England.

12 So this is a little bit of a digression,
13 but one thing -- but what I want to show here is
14 in the winter of 2014-15, this shows you the
15 fossil fuel mix in New England which is here
16 you've got your natural gas, green is coal, red is
17 oil. So remember that annual average I showed you
18 that was 1 percent oil, 2 percent coal? Well,
19 when does that -- when did those 1 and 2 percents
20 of generation happen? They happened in the
21 wintertime when our pipelines get constrained. So
22 while coal and oil make up a very small share of

1 total energy usage, it happen at very critical
2 times, specifically it happened in the wintertime
3 when we have very cold temperatures, and our
4 natural gas pipelines get constrained, and all of
5 a sudden coal and oil are an economic merit order,
6 and we couldn't -- we have a hard time getting
7 more gas even if we wanted to.

8 So that's when the coal and oil comes
9 online. That's what we're going to miss when it
10 retires, and that's what we need to solve for
11 going forward is what do we do when we don't have
12 this coal and oil to lean on for handful of days?
13 It makes economic sense to retire these resources
14 right now because coal and oil units require -- in
15 general because they're older unit they require a
16 lot of maintenance. They require a lot of
17 staffing, so they're expensive to keep around for
18 a handful of days every winter, but we have to
19 fill in this gap because nobody wants to be
20 shedding load when the average high temperature in
21 New England is 12 degrees.

22 MR. ETHIER: This slide shows you all

1 the units that we are losing in New England,
2 nuclear, coal, and oil make up the entirety of the
3 list. I'm an economist so I show constraints with
4 prices not with quantities.

5 So what this graph shows are prices both
6 on the electric and the gas side starting December
7 2010 and going through December 2016. Where are
8 all the high prices? They're not in the summer
9 like they were when I first started working at ISO
10 New England. They're now all in the winter, and
11 as you can see from the blue line, they're driven
12 by natural gas.

13 So the high prices in New England are
14 driven by natural gas. The high prices on the gas
15 side, which when we first started seeing them back
16 here, and especially here, astounded people, are
17 driven by the constraints on the gas system, so
18 price is highly, highly correlated with a tight
19 gas system in New England as you would expect.

20 So natural gas, increasingly important
21 in New England, increasingly important global
22 commodity, one interesting thing about liquefied

1 natural gas is the system isn't that flexible. So
2 Sue talked about how pipeline gas moves at 15 to
3 20 miles an hour. Well, LNG moves at the speed of
4 a tanker which is actually relatively fast but the
5 distances that they have to travel are much
6 longer.

7 So we are highly dependent on very
8 timely deliveries of liquefied natural gas via
9 tanker, oceangoing vessel in the winter in New
10 England. That's been really an eye opener for our
11 operators. Our director of operations now has an
12 app on his phone that allows him to track all of
13 the LNG's shipment in the Atlantic Ocean to make
14 sure that they're on time and they're going to get
15 to either New England or New Brunswick in time to
16 meet our needs for electricity.

17 A little worrisome that he relies on an
18 app for this but that's just sort of how the world
19 works today. So and finally, you know, we have a
20 whole new risk on the system which is severe
21 weather can delay the arrival of these ships.

22 So some lessons learned. I sort of gave

1 you a few LNG lessons learned on the last slide.
2 A whole bunch more that we've learned recently.
3 Gas, and I've touched a lot of them, the gas
4 pipelines get severely constrained during cold
5 weather periods which lead us to rely on coal and
6 oil. A lot of those are starting to retire. So
7 we need to make sure we fill those gaps.

8 One thing we've also learned relying on
9 these oil resources very intensely for very short
10 periods of time, is actually the oil delivery
11 system in New England is maybe under-stressed at
12 times. It takes lots and lots of trucks to fire
13 an oil-fired resource for any period of time.
14 It's one thing to run a peaker for a couple of
15 hours here, a couple of hours there. It's another
16 thing to say I want to run your peaker for the
17 next three days solely on oil. That's a lot of
18 tanker trucks going through neighborhoods and
19 being delivered.

20 So another important thing we are
21 looking at the gas supplies chain, as I mentioned,
22 is highly dependent on just in time LNG, and

1 delivery to the three LNG facilities that are in
2 New England that have become crucial. It's not
3 that LNG is nice to have and we can feed ourselves
4 from the pipelines to the west. It's entirely
5 necessary that we get LNG to meet our peak winter
6 loads. We cannot meet the peak winter loads
7 without some LNG being back-fed into the system.

8 Another thing we've learned is New
9 England is a very difficult place to build a power
10 plant. You talk to the developers who build in
11 multiple regions and they are universally say the
12 hardest thing about operating in New England is
13 not our markets. It's the permitting process and
14 getting things built because there's just a lot
15 more layers to go through and each layer takes
16 longer in New England, at least that's what's
17 represented to us.

18 And dual fuel capability is becoming
19 harder to put in which a real problem for us
20 because when we run the economic numbers, dual
21 fuel is the cheapest solution to New England's
22 natural gas dependency for very short periods of

1 cold weather. Far cheaper than any other option
2 that we've looked at.

3 Canadian hydropower. So I haven't
4 really touched on that but we have some tie lines
5 coming in from Canada. We rely heavily on those
6 to meet our peak winter needs. The problem is our
7 peaks happen when Canada's peaks happen
8 oftentimes. And sometimes they curtail their
9 sales to us because they need hydro power for
10 their own needs as you would expect.

11 And finally, the region is vulnerable to
12 large -- loss of large non-gas fired generators,
13 these days largely the nuclear units. So what are
14 we doing about it? We're doing a lot of things.
15 We are -- have developed a lot of new situational
16 awareness tools. We scrape data every day from
17 the pipelines. We compare scheduled gas to the
18 schedules of the individual gas fired generators.
19 We communicate with the pipelines and the
20 generators when their constrained operation is
21 expected.

22 That is when we know the gas pipelines

1 are going to be constrained and we are going to be
2 under high system load. And trust me our
3 operators would like to think none of this is
4 necessary. Their view and which I fully support
5 is the gas fired generators should manage it and
6 we should be able to stay out of it.

7 I don't think we feel that we're at the
8 point that we can do that yet. So maybe someday
9 in the future we can but right now we feel the
10 need to get ourselves in the middle to make sure
11 that there's as free as flow of information
12 amongst all the parties as is possible.

13 We have stepped up our communication
14 with pipeline operators who, frankly initially,
15 didn't really care to hear from us very much. But
16 over time I think that relationship has improved.
17 We share data about maintenance coordination both
18 on our side and on their side. We share expected
19 dispatch which has required special changes to our
20 information policy and we just keep in touch with
21 them to make sure that any sort of hiccups on
22 their side are reflected in our operating plans on

1 our side.

2 We've had a winter reliability program
3 which is primarily served to make sure that
4 there's adequate oil in the tanks in our -- for
5 our oil-fired facilities in New England. And that
6 has been successful although in the long run we
7 hope we can do away with that because as you'll
8 see on this slide, we have changed our energy
9 markets and our capacity market to provide better
10 incentives for operations during times of extreme
11 system stress.

12 We have implemented on the energy market
13 side, you can see, we've implemented hourly offers
14 which allow generators to better reflect their
15 true cost of operating. So we ran into situations
16 where folks had daily offers in but their offer in
17 a given hour to operate was actually above their
18 daily offer so that took away their incentive to
19 run. So they can better reflect their true costs
20 in the market now. We now have sub-hourly
21 settlement so instead of settling a generator at
22 an hourly average price; we do it at the

1 five-minute level.

2 So if we have a five-minute price spike
3 and a peaker comes on to hit that, they get paid
4 appropriately for hitting that price spike. We
5 also have increased our scarcity pricing. So now
6 when we go short of reserves, we can have a price
7 adder, not just the energy price, but an adder to
8 the energy price of \$20 up to \$2,800. That's on
9 top of an energy offer that can be as high as
10 \$1,000. So we could have energy prices of over
11 \$3,800 per megawatt hour during times of very high
12 stress.

13 You think that would be a big enough
14 incentive but wait, there's more. We have
15 completely revamped our capacity market
16 compensation structure so that it now very much
17 depends on your performance during times of system
18 scarcity and shortage. And the dollar amounts in
19 the capacity market are even bigger on a per hour
20 basis than they are in the energy market.

21 So we in three more years will be either
22 paying or clawing back from generators with a

1 capacity supply obligation up to \$5,400 a megawatt
2 hour on top of the energy price. So all told
3 you're looking at roughly \$9,000 a megawatt hour
4 in the energy market for times of system shortage.
5 So if it's a cold winter day we're short of
6 reserves, generators could be facing an incentive
7 of \$9,000 a megawatt hour to deliver that energy
8 that we asked them to deliver. If they deliver
9 more than we asked for, they get paid that, and if
10 they deliver less than we asked for they get
11 charged that essentially.

12 So huge incentives. This is Texas style
13 or Texas level energy market incentives that are
14 going to be applied in New England in, I won't say
15 wholly, but at least partially motivated by the
16 gas-electric dependence that we see in New England
17 and the stresses that we see in the system. So
18 what we've done now is we've told the generators
19 we put the money on the table. We expect you to
20 go make the investments and sign the contracts to
21 deliver when it's time for you to deliver. And
22 this hasn't all sort of been in place yet. Our

1 capacity market runs three years in advance so
2 it'll be next June when all this stuff really sort
3 of hits the street.

4 But our expectation is this is going to
5 go a long way towards helping resolve some of the
6 operational issues that we have seen in the past
7 and in a sense some infrastructure investment of
8 various types going forward. So and it wouldn't
9 be complete, we're an ISO- any reaction to a
10 problem wouldn't be complete without us doing some
11 studies.

12 And so we are currently conducting just
13 the latest in a series of studies on the
14 gas-electric system and fuel security. That will
15 be out this fall. It's going to look at a lot of
16 different scenarios about the future and have a
17 lot of different metrics for how short we're
18 likely to be and how often and I can get into more
19 of that if you want during the Q&A but the study's
20 not done yet. I think the one thing that I will
21 say at this point that we sort of knew going in
22 but the study is seeming to validate is that well,

1 on the electric system we are very careful to plan
2 and operate to N-2 standards. We would have a
3 hard time withstanding an N-1 problem on the gas
4 side.

5 So we invest all this money to build new
6 transmission lines so that in the event that a
7 transmission line that's 99 percent operational
8 goes out of service, we've got a backup that's
9 also 99 percent operational. We don't do the same
10 thing on the gas side. Yet, our system is
11 entirely dependent on the gas system to run
12 effectively. So with that, thank you very much.

13 MR. MORGAN: Thanks, Bob. That was
14 great. And now finally, Alex, and remember to put
15 your card up if you want to add questions or
16 comments.

17 MR. RUDKEVICH: Thank you. Thank you
18 for inviting me and I also want to thank two
19 previous speakers because they pretty much did all
20 the work and I don't need to explain why we're
21 doing what we are doing.

22 So this is about the project that is

1 funded by ARPA-E. The project started a little
2 more than a year ago. We started working on it in
3 April of 2016. It's a part of the ARPA-E 2015
4 open solicitation. And the project, as you can
5 see, it's a team effort. So the leading
6 organization is my company the small business in
7 Massachusetts called Newton Energy Group.

8 Then we have a heavy lifting
9 organization with is Los Alamos National Lab. We
10 have another small business, Polaris, which is a
11 software company, Boston University, and AIMMS
12 which, again, provides some optimization language
13 tools. And we have technical expertise coming
14 from Kinder Morgan on gas side and from PJM on the
15 electric side.

16 Now which one is the, oh, this one.
17 Okay. No, not sure, oh, okay. Very important,
18 the disclaimer that, you know, we as individuals
19 for what we are saying, the organizations,
20 especially those that are not really involved in
21 the study but mostly support and technically take
22 no responsibility for whatever I'm going to say

1 today.

2 Okay. Now am I pressing the right
3 button? Okay, I'm not sure. Which one is the --
4 actually, okay, yeah, here we go. So this is the
5 formal project title about this project and there
6 is a website on the ARPA-E site or the page which
7 describes it and in somewhat more details.

8 Now the objective of the project is
9 actually to try to solve the problems that were
10 pretty well described by Susan and by Bob. It's
11 essentially improve and we look at this and we see
12 first thing that we need to solve, we need to
13 solve the operational problem. We need to solve
14 what's going on, on an intraday basis. If we can
15 solve that that going from bottom up we can solve
16 everything.

17 The same way that how the electricity
18 systems were deregulated and the pricing was
19 introduced that you have to really solve the real
20 time. Once you solve the real time you can build
21 it up from that point everywhere.

22 So the pro -- so essentially it has

1 components. We're working on algorithms. We're
2 working on software but we're also working on
3 associated market design because we understand
4 that none of this will work unless we put together
5 the right incentives for the market participants
6 to actually have this implement.

7 So the three elements are the modules
8 and the software for simulating how the pipelines
9 work and optimizing pipeline operation. And I'll
10 talk later about this. Also the simulating the
11 current business and operational process on the
12 electric side, and also we need to integrate it
13 into one system.

14 The other part is the market design and
15 development of the underlying theory of granular
16 price and mechanisms for natural gas that will be
17 necessary to support that. And the third part is
18 the conducting the simulations using realistic
19 data to actually test different market design
20 options.

21 So the organizations that are involved
22 in Newton Energy Group, we are mostly a system

1 integrator here. We provide the cloud-based
2 platform to host all the simulations, collecting
3 data and also we're in charge of
4 commercialization. And we also work on the market
5 design and dynamic pricing.

6 Los Alamos really are providers of the
7 breakthrough. They really solved the problem of
8 how can you optimize a pipeline operation
9 dynamically, real, transient optimization of
10 pipeline operation in a time that does really make
11 sense. So once that is possible, everything else
12 is just building on top of this.

13 And the rest is, again, components, the
14 electric system models; the Boston University
15 provides the inputs on market design and
16 coordination algorithms. And we have support from
17 external organizations.

18 Now somehow, okay, let me see. Is this
19 just the delay or; okay. This is the maturational
20 piece and I think I will be repeating everything
21 that was said. I would just add one element which
22 is if you look in the intraday and maybe day ahead

1 structure; the price of natural gas drives the
2 price of electricity. That we know.

3 But there is the other way. The
4 electric generation is actually marginal consumer
5 of natural gas. And it is the electric generation
6 that drives the price of gas. So which Bob
7 pointed out on his share. So essentially it's
8 once you have a scarcity on a pipeline side, it
9 spreads all over the system. And the consumers
10 will be hit very bad so solving that is really
11 critical. And you really have to work on both
12 systems at the same time.

13 So that's the maturation and what we are
14 trying to solve. Now the solution, and I'll start
15 with what -- how we see the solution over there
16 and then I'll go into underlying, you know, theory
17 and R&D in the gas-balancing market. And I'll
18 just talk about what it means.

19 So if we look, this is the outline of
20 the electric day and the gas day. So and the
21 electric day is modeled here on PJM. The time is
22 corresponding to PJM. The gas day is essentially

1 we have the time elimination, the evening
2 elimination and three intraday elimination cycles.
3 So what happens?

4 First before the generating companies
5 have to bid into the electric market there is a
6 bilateral, very vibrant, very active trading
7 activity that is going on. And people settle on
8 prices and the asset managers say, yes, we can
9 deliver it for you. The price probably will be
10 this or that. There's no guarantee.

11 There's no guarantee so the electric
12 generator goes and bids into the day ahead market.
13 They may be scheduled to run tomorrow and then
14 they have to figure out actually can get gas at
15 the price they think they can get. Now there is
16 also another component of that that's not every
17 electric and gas fired generator is actually
18 scheduled in the day ahead market. Quick start
19 units are scheduled in real time. And where they
20 are scheduled in real time there is no way for
21 them even to arrange for gas on day ahead because
22 they don't know if they're going to run tomorrow

1 or not.

2 So we are missing something. We are
3 missing an opportunity to let people actually
4 transact at the place where they need to. So
5 essentially if we look from the point of okay, we
6 schedule the -- the day ahead market on the gas it
7 works pretty well. We schedule delivery for
8 tomorrow. Then there are many nation cycles in
9 the pipeline says yes we take this. We confirm
10 your elimination and in the evening cycle nobody
11 is even bumpable (sic) after that.

12 Everything that's confirmed is virtually
13 guaranteed. But the implicit assumption that you
14 will be taking gas in equal quantities every hour
15 when everybody knows this is not going to happen?
16 Now shouldn't we, at that point, say you know
17 what? Why don't we allow people to trade, the
18 differences between what was scheduled day ahead
19 and what they actually need?

20 And if we allow them to trade it on an
21 hour-by-hour basis, we'll have a price discovery
22 mechanism and we'll actually solve the problem.

1 Now to trade that we need to create what we call a
2 gas-balancing market. And the way we see it, it
3 will be pipeline specific. We really don't need
4 -- don't see the need to create, you know, a big
5 RTO structure that would bundle all pipelines
6 together.

7 The second, it will have voluntary
8 participation. Essentially, if you're happy with
9 the way things are, you don't have to do anything.
10 If you want to trade your deviations from the
11 ratable quantity because you're concerned about
12 that, then you can participate. It will honor all
13 the transportation rights and contracts and what
14 it will do, as I said, it will enable trades
15 through hourly imbalances.

16 But what's important, because we can put
17 the optimization system that was developed and
18 conceived by the Los Alamos Lab, we can pretty
19 much guarantee that the transaction, if they're
20 cleared, they will be physically implemented. So
21 it will be supported by the operation of
22 compressors on the pipeline that the deliveries

1 that were and receipts that were scheduled could
2 actually be done.

3 Now one thing is important to keep in
4 mind. And we were talking about how slowly gas
5 moves. Yes. It moves slowly in an intermonth,
6 day-by-day basis. Intraday, the (pressure wave)
7 moves with the speed of sound. So if you've done
8 something at one point in the pipeline you can
9 actually make a very big change across the pipe.
10 And that plays a very important role in the way
11 the physics of this is done and that's what
12 underlies the pricing mechanism, too.

13 So at the end, we'll provide the
14 industry with transparent pricing signals and that
15 could actually inform various kinds of
16 decision-making. And the utilization of the gas
17 and the power infrastructure will be more
18 efficient.

19 Now essentially what we -- the way we
20 see it is as an example, at the end of the evening
21 cycle we can start a forward market for -- which
22 would cover the rest of today's gas and the entire

1 next gas day. The first hour the settlement would
2 be exposed but at the same time simultaneously for
3 every future hour there would be an (X
4 anti-settlement). So we settle the schedule of
5 the deviations and we give the value for every
6 place in the pipeline system. What actual value
7 this gas has at that point in time and at that
8 location?

9 And then comes the next hour and we
10 repeat this process. And it goes from one hour to
11 another hour to another hour. And each time you
12 basically allow people to change their positions
13 and once the position change, you re-optimize the
14 pipeline operation dynamically for the rest of the
15 optimization period. And with each of this strip,
16 you get a strip of prices. We call the locational
17 trade values because prices are something that
18 form the actual day ahead.

19 Let's not confuse one with another. So
20 that's the idea. What it will do, our reschedules
21 for receipts and deliveries are either cleared on
22 the market or there is a self-schedules. We get

1 the hourly locational trade value of gas for every
2 node on the pipeline and all the cleared schedules
3 are settled at these values. When this is done,
4 what it brings?

5 The -- essentially once the power plant
6 knows forward these values that support the day
7 ahead and real-time market behavior. So they know
8 at their location what the value of gas that
9 inform how to bid it. And that actually can
10 guarantee the delivery at the price.

11 The gas -- purchases for the gas at
12 faster power plants is simplified because again,
13 you've got the hour-by-hour structure. Now what
14 happens if you see the constraint on the pipeline
15 that drives the price at that location for gas up
16 which once you submit the corresponding bid to the
17 electric system, the electric system re-dispatches
18 the fleet and relieves the constraint.

19 So essentially you made these two
20 systems work helping each other. And finally, you
21 get a very transparent pricing signal to the
22 electric generators because they know if you did

1 not schedule and you didn't get a long-term firm
2 transportation contract, you will be exposed to a
3 very high, and very volatile price risk.

4 So you can now make an informed decision
5 on how much of the firm transportation coverage
6 you need and basically you have a transparent
7 market in which you can actually sell the capacity
8 that you are not using intraday which doesn't
9 exist today. On the pipeline side, again, it
10 relieves pipeline constraints through two things.
11 You have a price sensitive optimization of
12 compressors and you have the electric industry
13 that is helping you.

14 It also helped pipeline customers make
15 very informed investment decisions and for
16 pipeline owners, they can now very precisely
17 identify the constrained elements. They can
18 assess the economic benefits of relieving these
19 constraints and justify investments before annual
20 (inaudible). So that's what the benefits would be
21 on the pipeline side.

22 Now what means is happened? Two things.

1 The transient pipeline optimization and the LTV of
2 natural gas. So the transit optimization, this is
3 essentially - it's a heavy math. It's partial
4 differential equations. On top of that, the
5 optimization tools that Los Alamos managed to put
6 together and it works. And it gives the dynamic
7 operation of compressor optimized. And you
8 essentially manage the economically optimal gas
9 purchases and sales and the use of the line pack
10 and the use of storage.

11 The methods and algorithms are scalable.
12 You can optimize large pipeline network and the
13 system seems to be solved in a matter of minutes.
14 And we give economic signals that are granular in
15 time, granular in space, and very importantly,
16 they are consistent with the physics and with the
17 engineering constraints on the pipeline. So
18 conceptually where it comes from, again, we look
19 at this as a two-sided auction which is conducted
20 on the network. You put all the constraints in
21 place. Your participants are buyers and sellers
22 with bids and offers to buy and sell gas.

1 And the auctioneer is essentially as if
2 it's controlled in the pipeline operation. It
3 solves it and it guarantees the physical
4 feasibility and it gives the valuation signals.

5 So this is the example of the, you know,
6 the system in place looking at the data that Los
7 Alamos Lab put together for Transco Pipelines on
8 five and six. So we're looking at a very
9 significant piece of pipeline, over 1,600 miles,
10 compressors and the optimization that
11 was run for it for 24 hours took approximately 5
12 minutes.

13 The results, essentially you get
14 time-dependent pressurization for every node. You
15 get gas flow through every pipe and through every
16 compressor stations. You get compressor ratios,
17 (inaudible) pressure agents and horsepower use for
18 each compressor. So all of the physical
19 information you get out of this optimization.

20 And on top of that, you get the value.
21 And each color, each line of different color
22 basically show you the dynamic of the value of gas

1 in the pipeline system hour by hour and that's
2 what we are missing, because here's where we see
3 that for some locations the spread is very
4 significant. Once you communicate that and then
5 there's essentially locations where power plants
6 are. And once you communicate that to the
7 electrical system, it will re-dispatch according.
8 And it -- to the extent you can relieve
9 constraints on the gas pipeline you will -- I
10 mean, of course if you have a global shortage of
11 gas, no re-dispatch would solve it. But in many
12 cases it will -- this will help.

13 So the summary is that thanks to the
14 wonderful ARPA-E program, we have the capability
15 to develop this, think it through, and hopefully
16 put it into work. And that gives a lot of
17 innovation brought together because we've got the
18 optimized intraday pipeline operation that could
19 be possible. The gas-electric coordination that
20 is really needed, novel market design, novel price
21 formation mechanism, and the important part for
22 the industry, we can actually guarantee delivery

1 at the price.

2 So this is really important. We've got
3 to do it. Thank you.

4 MR. MORGAN: Thank you. Very
5 interesting. I have a bunch of questions but I'm
6 going to resist the urge. I should, however, give
7 the panel an opportunity to ask each other
8 questions after which I'm going to take questions
9 and comments two at a time. Do any of you want to
10 ask or say anything in terms, yeah, go ahead?

11 MR. ETHIER: The only thing I would add
12 is I should have mentioned this. Sue talked about
13 the chicken and egg problem. And Alex talked
14 about coordinating with uncertain gas prices and
15 uncertain electricity prices. One of the things
16 we at ISO New England have talked about is we
17 currently have a real-time market and the day
18 ahead market. But also have a two day ahead and
19 maybe even a three day ahead market that would
20 ease that transition and sort of help you resolve
21 the chicken and egg problem over time by getting
22 preliminary schedules three days in advance.

1 And then gradually have those become
2 more and more accurate as all the system inputs
3 become more accurate. So that may be as good as
4 we can do on that one because there's always going
5 to be this inherent, you know, you can't do two
6 things at once necessarily, but just wanted to add
7 that to the discussion.

8 MR. MORGAN: Okay, why don't we first --

9 CHAIR TIERNEY: Actually, can I just add
10 one thing?

11 MR. MORGAN: Yeah, go ahead.

12 CHAIR TIERNEY: You guys probably know
13 that one of the things, the phenomenon that's
14 happening at FERC meetings is that there are
15 active controversial protests. And they are
16 largely around FERC's willingness to site and
17 approve natural gas pipelines. And that in
18 combination with questions about whether new
19 pipelines could be introducing new opportunities
20 for stranded costs in the future in a world in
21 which there is not as much demand for natural gas
22 to move across a pipeline system, the opportunity

1 that these gentlemen have described to increase
2 the utilization of the asset base on the gas side
3 I think is a very compelling aspect of what
4 they're talking about.

5 Making the -- whatever it is that we've
6 already got in the ground workable for a system
7 that really needs more gas, I think is great.

8 MR. MORGAN: So let's hear from Carl and
9 Merwin and then we'll get some responses.

10 MR. ZICHELLA: First of all, thank you
11 guys. I can see why Sue was so excited about this
12 panel. It was really, really excellent from your
13 introductions to right on down. I have a question
14 for both Bob and Alex.

15 Bob, I realize that it's not here yet,
16 but I was wondering when the new transmission is
17 done for the hydropower resources in New England.
18 I'm just wondering how that factors into your
19 equation. New England clean power link has been
20 approved by the State Department. Probably won't
21 be in service until 2019 or something like that.
22 I'm just curious what you -- what that means to

1 you in terms of maybe relieving some of the
2 pressure on this realizing that wintertime peaking
3 means you don't get as much electricity from
4 Canada as you might otherwise.

5 And then for Alex, so you can think
6 about it, I'm just wondering who runs this gas
7 market? It may be a pretty rudimentary question
8 but it seems like, you know, we have this network
9 of RTOs that run our markets for us on the
10 electricity side. And in order to be able to make
11 this work and to settle it hour by hour and to
12 deal with the trades, I'm just wondering who does
13 that and how do you envision that working?

14 So if you guys don't mind hitting those
15 two points that would be great.

16 MR. MORGAN: Okay. Let's get Merwin's
17 on the table as well and then we'll go ahead.

18 MR. ZICHELLA: Okay.

19 MR. BROWN: This is Merwin Brown. Two
20 questions that come from a great deal of ignorance
21 which is not unusual for me but one of them
22 relates to physical operation of the gas system

1 coupled with electric. Alex's comments raised the
2 question. The second one has to do with increased
3 capacity in the existing pipelines.

4 So the first question was you talked
5 about this in terms of market impacts and how
6 markets can be used to optimize the deployment of
7 natural gas through the pipelines. But given this
8 pressure reaction problem with very quick
9 operating combustion turbine type systems, if you
10 have enough of them and you're trying to get 1,300
11 megawatts ramping out of them, could you run into
12 the situation where you physically, regardless of
13 what the market thinks, may not be able to deliver
14 that gas and have flameouts of the turbines? And
15 there's the other question, what happens when
16 these turbines shut off all of a sudden when solar
17 plants come back on all of a sudden? So that's
18 one question.

19 And the second question is a number of
20 years ago there was quite a bit of work done on
21 pipe relining particularly I believe in Europe and
22 Japan and maybe elsewhere. That would allow

1 raising the pressure of the existing pipeline
2 systems using things like Kevlar type lining. And
3 I know that's expensive but it's got to be a lot
4 cheaper than building another pipeline.

5 Is there any thought going on that about
6 the ability to increase the pressure of the
7 existing systems and therefore the flow-through?

8 MR. ETHIER: Well, how about I take one
9 and a half of those questions. The one I'll take
10 in its entirety is the new Canadian hydropower
11 one. Certainly, we think it can be helpful. But
12 we're -- there's a little bit of a wait-and-see
13 attitude as well because if they just say we will
14 sell you opportunity energy when the price is high
15 and when we have capacity available, those times I
16 pointed out in the winter when we're relying on
17 oil and coal, those are exactly the times that
18 typically the Canadians need the power for
19 themselves and we're unlikely to get more help.

20 So it might help the other 342 days a
21 year, but for the remaining 23 days a year, we're
22 going to be in the same boat we're in today. So

1 that's the concern. Now if they'd say we'll sell
2 you capacity, too, and we'll sell it to you all
3 winter because we've invested in our generation
4 side as well, that could be hugely helpful.

5 So that's one. The half is the turbine
6 flameout issue and I'll just reflect what we've
7 heard from the pipelines. The pipelines are happy
8 to shut off our gas generators if they don't have
9 firm delivery or if they're overdrawing. And they
10 will tell the generators in advance but they will
11 shut off the valves at the laterals if the
12 generators are overdrawing their allotment. So
13 they will do that to protect their residential
14 customers which they should do because the costs
15 on that side are extremely high of relighting all
16 those pilot lights.

17 But our hope is that with all the
18 communication that we have now and the increased
19 awareness of the generator tab, it won't come to
20 that. That might mean we have problems to deal
21 with but at least we'll see those problems coming
22 and they won't be, oh, suddenly this generator

1 tripped offline and it's because the gas side shut
2 them off. Hopefully, we'll have a little notice
3 that that's happening.

4 MR. MORGAN: Right, but I think Merwin
5 maybe also was raising the issue of if I can pack
6 the line a bit more, I have more local capacity.
7 And I mean, I presume that's what you were raising
8 with respect to --

9 MR. BROWN: Well, that's the other half
10 I think Bob wasn't answering. It was the pipe
11 relining pressure --

12 MR. MORGAN: Yeah, okay.

13 MR. ETHIER: Yeah, my half, the half I'm
14 not answering is whatever I didn't get to is --

15 MR. MORGAN: Yeah.

16 MR. ETHIER: -- in that half.

17 MR. MORGAN: Yeah, Alex?

18 MR. RUDKEVICH: Okay, thanks. Well,
19 okay, answering the first question. Actually
20 there is a market that operates in a way that is
21 similar in some way that we were describing which
22 is the Australia Province or Victoria Market.

1 That is actually runs more like an auction-based
2 mechanism.

3 And but I think that it runs this even
4 in a day ahead structure. We don't insist on
5 that. We don't really want to necessarily start
6 saying let's change the entire market structure.
7 Our point is like let's add a market where none
8 exists. And that is kind of the afterthought, the
9 aftermarket, but where we really need this
10 hour-by-hour is illusion transparency and
11 evaluation.

12 And if we have that, well, the question
13 that becomes on the one hand a technological
14 question, can you handle 1,300 megawatt ramp? And
15 whether increasing the pressure that the pipe can
16 take would help would actually very quickly get an
17 economically sound answer because, one, you've got
18 the value on that. You know actually if it's
19 worthwhile to invest in it or it's not because you
20 see what -- how much money people are willing to
21 pay for that.

22 And in terms of the, you know, can it

1 handle the 1,300 ramp or it can't, well, we'll
2 find it out. But not only we'll find it out,
3 again, we'll put it all a value to it.

4 MR. MORGAN: Okay. Let's hear Jeff and
5 then John.

6 MR. MORRIS: Thank you. I guess I have
7 a kind of lead in to a question. I always get a
8 little bit concerned when I see maps that don't
9 have Canada on them because --

10 CHAIR TIERNEY: You're next to it.

11 MR. MORRIS: -- you know, we have such
12 an integrated energy infrastructure on the Pacific
13 Coast, you know, 80 percent of the gas that is
14 consumed comes out of Western Canada. And, you
15 know, one of the things that led, in my opinion,
16 to the California energy crisis was not -- a lot
17 of the electricity forecasters not seeing the
18 opening up of a west to east pipeline in Canada
19 levelizing the cost of gas, and not having gas
20 plants built out.

21 So where I'm heading with this is I
22 think, you know, there's this construct of the

1 Pacific Coast that have seen states that have RPS
2 standards and performance standards for electric
3 generation, meaning natural gas or better as far
4 as CO2 emissions go. And so there's this
5 construct that's forced all the utilities down to
6 do, you know, peaker loads because they're not
7 regulated underneath those two regulatory schemes.

8 And so we've kind of compounded this
9 problem that it's hard to go out and subscribe for
10 pipeline capacity for peaker plants, you know,
11 because where I'm heading to with this is that one
12 of the things I know that the Northwest Gas
13 Association and PNOC did was look at some of the
14 metrics around micro LNG for peaker plants versus
15 going to a market design. Does it make more sense
16 to make that capex investment than to have to
17 subscribe for capacity?

18 You might only need, you know, seven
19 days a year as an alternative. So I guess that's
20 my question is did you look at that capex tradeoff
21 in infrastructure investment?

22 And then secondly, too, I think, too,

1 sometimes that, you know, because we don't require
2 a thermal standard, an efficiency standard around
3 thermal loads like they do for heating loads in
4 California around cogen and so forth, that, you
5 know, when there's a winter event, you know, we
6 don't have that ancillary electricity production
7 from requiring that type of cogen or combined
8 cycle turbines as opposed to peaking turbines that
9 would, again, do an inter-distribution solution
10 versus to have to go to the -- a market to solve
11 the problems and really treat the symptoms and not
12 solve the problems I guess.

13 MR. ETHIER: On the issue of have we
14 looked at the capex for various firming up of
15 fuels the answer is yes, we looked at that a few
16 years ago and that's was sort of the basis for my
17 statement that dual fuel capability was by far the
18 cheapest and pipeline, you know, paying for
19 incremental pipe was hugely expensive even for a
20 combined cycle resource on a per megawatt hour
21 basis.

22 If you thought about doing for a peaker

1 it would be astronomical. So we did that a few
2 years ago. Incident -- coincidentally, Sue's firm
3 is doing a study for us right now sort of updating
4 that and looking at some of the newer solutions,
5 the micro LNG and I think there's also a methane
6 solution that a few folks are looking at out there
7 now and running the numbers on those things. And
8 the thing they're also adding to that is firm
9 contracts with LNG facilities to make sure they
10 have LNG to meet the needs.

11 And the pipelines are pretty good about
12 if the LNG facility is injecting right now saying,
13 okay, you can start drawing right now even though
14 the facility is a couple hundred miles away
15 because -- partly because of the geography of New
16 England. The LNG facilities are back-feeding the
17 pipes so it works very effectively. But, you
18 know, that study is not done yet.

19 But it's something we're actively
20 looking at because we want to make sure our market
21 -- we want to get a sense of what our market
22 incentives will drive in terms of outcomes on the

1 supply side.

2 MR. MORGAN: So John, you were going to
3 get a shot in here. I'm sorry.

4 MR. ADAMS: Alex, I just want to be sure
5 I understand. Is the vision that you'd be able to
6 trade in your imbalance gas market on this
7 pipeline both future hours and current hour? And
8 if I got that right then the future hour imbalance
9 price each hour you rerun will change, right?

10 MR. RUDKEVICH: That is correct. And
11 that is true, yes. We will, envision that we
12 will, be trading the forward current hour and
13 future hours and each hour you will revisit that
14 the price will change for the -- so the same hour
15 may have multiple prices depending when the
16 decision was made for that hour.

17 MR. ADAMS: Right. Very complex
18 settlement statement.

19 MR. RUDKEVICH: It may be a complex
20 settlement statement but it affects you only to
21 the extent that you change your position from one
22 hour to another.

1 MR. ADAMS: Right.

2 MR. RUDKEVICH: If you basically took
3 your position and you're not changing -- in an
4 hour in which you took it you got your price and
5 it's guaranteed.

6 MR. ADAMS: Do you envision having to
7 keep all the data to regenerate those prices? I'm
8 just -- ISOs get into this all time. Where do you
9 come up with those prices from? Just a thought.
10 You don't have to answer it.

11 CHAIR TIERNEY: Granger, can I just add
12 a comment on - -

13 MR. MORGAN: Yeah, please.

14 CHAIR TIERNEY: -- the capital costs or
15 the economics of different ways to solve the
16 problem? Satellite LNG versus pipeline addition
17 versus dual fuel or something else.

18 Let me just give you a tale of a real
19 life story in Massachusetts where there is a
20 proposal to build a peaking unit. It was on Bob's
21 chart. The proposal was to have that peak --
22 gas-fired peaker have dual fuel capability for a

1 certain limited amount of run hours. The
2 intervenors in the state energy facility siting
3 case did not want to have that oil fire generation
4 because of carbon emissions from oil.

5 And there was a discussion of whether or
6 not there could be an onsite LNG satellite storage
7 instead of dual fuel capability. I was the
8 witness at the siting board facility proceeding
9 and could not imagine the politics of siting an
10 LNG, a satellite LNG. If Bob thinks it's hard to
11 build a peaker, start building those satellite
12 LNGs. So there is this coming context of siting
13 facilities that and potentially locking in new
14 assets that a lot of people are interested in not
15 having built, ever be built.

16 So there's ending up these just, at
17 least on the East Coast, really heated debate
18 about what are these attributes and that's on top
19 of the economics.

20 MR. MORGAN: Okay. We're going to go
21 Mark and Jane.

22 MR. LAUBY:: Well, thank you and, you

1 know, that underlies my comments right there, Sue,
2 is what NERC is really interested in is when gas
3 does not become available. And what are some what
4 we call single point of disruptions, we are
5 running a study and we'll be releasing something
6 in August around, you know, it all started with
7 the Aliso Canyon on availability.

8 And of course, when you talk to the gas
9 industry it's like don't worry. Be happy. No,
10 it's no problems at all. The only time that ever
11 happens if regulators get involved but, of course,
12 it was a failure. It was a failure of safety.
13 People getting sick and making the storage
14 facility unavailable which was an important part
15 of operations. And on the short term we were
16 fortunate that, in fact, it didn't have a very hot
17 summer.

18 But we also are concerned not only about
19 storage facilities but then also natural gas
20 pipelines which, of course, we're assured will be
21 fixed very quickly and will never be a problem but
22 can be a problem. And so -- and you touched a

1 little bit on it, too, Bob, when you were talking
2 about what happens when a nuclear plant goes down.
3 Spot prices, eww. I mean, those units will start
4 picking up. They're going to make up for that
5 loss of 1,000 megawatts somehow unless, of course,
6 they get shut off because there's not enough gas.

7 The pipeline itself does not have enough
8 pressure built in. How do we plan for that and
9 how do we operate for that? In fact, NERC
10 standards actually call for folks to have planning
11 protocols in place to look at pipeline failures
12 and, you know, firm is not a panacea because if
13 you've got it firm and the gas pipeline is not
14 available, it's a force majeure, adios, I'm sorry
15 that was a problem.

16 So it starts presenting itself more and
17 more as an energy problem which I know that you're
18 dealing with also, Bob, and ISO New England.
19 We've been chatting with Gordon and the gang
20 there. But you did mention something which I
21 found intriguing and I'd like you to expand on it
22 a little bit more. The difficulty of the silver

1 bullet which is the dual fuel capability and
2 having problems with that, is that around
3 logistics, space, or getting to Sue's issues, she
4 rightly mentions the problem with just building
5 facilities overall?

6 MR. MORGAN: Yeah. So we'll go to go to
7 Janice and then I think you'll hear that partly
8 the answer is people don't want a lot of oil
9 stored next to them but go ahead, come on, Janice.

10 MS. LIN: Sorry.

11 MR. MORGAN: I got your name wrong, I'm
12 sorry.

13 MS. LIN: It's Janice, thank you. So
14 actually I had related question to Mark which is,
15 you know, when we -- it seems like across the
16 country we're getting more and more into natural
17 gas. And I'm just wondering if you all -- this is
18 my general question, can comment on like what
19 happens when we don't have natural gas because of
20 the methane leakage at Aliso Canyon, very recent
21 case in point. That's an underground methane
22 storage facility in southern California that was

1 the sole source of gas for 18 power plants in the
2 LA Basin.

3 I think in 2011, New Mexico had this
4 like super deep freeze and somehow the gas
5 pipelines or something went wrong and there was a
6 gas shortage. So I'm just curious about that big
7 picture.

8 And then my more specific questions for
9 all of you is building on what Merwin said earlier
10 about how can we improve the utilization of our
11 existing assets? And one way is to improve
12 utilization of the pipeline itself through the - -
13 this new market. Line it with that material you
14 were talking about, but what about improving
15 utilization on the demand side through the
16 generating plants themselves?

17 My good friend here, Heather just
18 deployed say, for example, energy storage and an
19 existing LMS-6000. So rather than store it in
20 gas, can you store it in electricity and get
21 better utilization? But that kind of depends on
22 the daily cycle of the need and I'm wondering if

1 you can -- you said 23 days. But what happens
2 sort of in the course of a day and is it something
3 that energy -- electricity storage could help
4 with?

5 MR. ETHIER: Well, let me try to address
6 at least a couple of the things that have been
7 brought up. First on the dual fuel issue. My
8 take on it is it's -- a small part of it is local
9 siting that people don't necessarily want anything
10 that makes a power plant in their neighborhood
11 dirtier. But the bigger issue, at least in New
12 England, seems to be more they don't like oil
13 generally.

14 Oil's just dirtier and even though a
15 7,000 heat rate light oil unit is going to be far,
16 far less polluting than the 10,000 plus heat rate
17 heavy oil units that they're displacing, our
18 system is not very good. Our system broadly, not
19 the ISO system, but the broad system is not very
20 good at making those tradeoffs, even when to the
21 dispassionate observer they make a heck of a lot
22 of sense because they're win-win.

1 So it's really around the politics and
2 the siting. It's not the space. It's not the
3 infrastructure investment. It costs money but
4 we're putting a heck of a lot of money on the
5 table and the generators are -- that are able to
6 seem very interested in making the investment. So
7 that's the first issue.

8 On the issue of backups, what if we
9 don't have gas, I guess is part of your question.
10 Interestingly, well, if we didn't have any gas it
11 would be a bad day at the office but --

12 CHAIR TIERNEY: You couldn't go home.

13 MR. ETHIER: Or wouldn't go to work, one
14 of the two. But one interesting thing is
15 renewables actually help with that even though
16 they're not dispatchable. Gas because gas can be
17 stored so readily in the pipes, anything that
18 displaces gas use within, let's say within an
19 operating day is helpful when you have a gas
20 crisis.

21 You know, there do come upper limits on
22 the maximum amount you can deliver in any short

1 period of time but, you know, adding a 1,000
2 megawatt wind farm that runs flat out for five
3 hours but not for the rest of the day actually
4 does help the gas situation in a complex way but
5 it actually does. So that's, you know, I know
6 only a piece of your question but that's at least
7 one thing we have discovered and sort of
8 recognized as renewables sort of flood into our
9 market.

10 MR. MORGAN: Okay, anything else? Yeah.

11 MR. RUDKEVICH: I would add to that, I
12 think it's an excellent point because when we have
13 well-integrated gas and electric system, to the
14 extent that, I mean, gas is essentially -- is a
15 storable and compressible media. So the storage
16 that we may be missing or not having on the
17 electric side could be actually by displacement
18 obtained on the gas side when we need it.

19 And the tradeoff between whether it's a
20 better gas storage or electric storage, well, that
21 what people can find out. We can't decide ahead
22 of time like what is the optimal configuration.

1 It will always depend on the current condition but
2 I think that's an excellent point that if we have
3 a well-coordinated intraday gas and electric
4 system, we can take advantage of this storability
5 of gas inside the pipeline.

6 MR. MORGAN: So we have three more cards
7 up and Madam Chairman has granted us another five
8 minutes. So why don't we do these three?

9 CHAIR TIERNEY: You have to ask Carl.
10 The diurnal. And one follow up in regards to
11 diurnal. I missed the part of the question but a
12 follow up on that, on the -- from Janice's
13 question. Sorry.

14 MS. LANEY BROWN: So I am just curious
15 on the 23 days.

16 CHAIR TIERNEY: Oh.

17 MS. LANEY BROWN: Within the day what is
18 the shortage? Is it certain hours of the day or
19 is it for all 23 of those days 24/7?

20 MR. ETHIER: Oh, you're -- okay. So
21 it's typically for a handful of hours, the peak
22 hours in a day that we'll have shortages because

1 you run out -- you get to the point where you
2 don't have any more gas to run gas-fired
3 generators right at that period in time because
4 you've -- there's -- if you burn more gas then you
5 wouldn't have any more for later in the day that
6 sort of thing so.

7 MR. MORGAN: All right so let's just
8 quickly come up along the line without any
9 responses and then we'll wrap up.

10 MS. MARILYN BROWN: Okay. Two quick
11 questions. I had noted in Alex's presentation
12 that there was a comment in terms of articulation
13 and value. That the design that you're working on
14 helps articulate value to regulators and I'm just
15 interested in how you envision that might change
16 the conversation or how that might impact, you
17 know, the discussion with regulators. That's the
18 first part.

19 And then the second part, in Sue's
20 presentation she talked about kind of this crisis
21 or, you know, the significant blackout in electric
22 industry drove a focused and regulation

1 reliability. I'm curious if you can envision
2 something akin to that happening with the gas.

3 MR. MORGAN: Yeah, or is the gas
4 industry aware that that could happen that if they
5 -- yeah. And that could certainly get a lot of
6 regulatory interest.

7 MS. MARILYN BROWN: Yeah.

8 MR. MORGAN: Moving up, Gordon, do you
9 -- is your card up? No. Chris, last one.

10 MR. SHELTON: Hi, one -- two question.
11 One, both are for Bob, how are the changes that
12 you said you're making are in motion, how are
13 those getting exposed to the load side? And if at
14 all in what ways? And because that seems like an
15 opportunity based on what we're seeing in other
16 markets. And the -- and it solves the permitting
17 problem, so same amount of money, less permitting
18 potentially.

19 The second question is what is the
20 import, what is your sort of daily import
21 capability in the non-peak hours during the
22 scarcity seasons on transmission?

1 MR. MORGAN: Go ahead.

2 CHAIR TIERNEY: We thought there was one
3 more question.

4 MR. MORGAN: No. No, that's it.

5 MR. RUDKEVICH: Okay. I can start with
6 the locational trade value question. So as I
7 understand the question was how is it going to
8 help in a regulatory context. Well, I mean is --
9 let's say if you need to justify an investment to
10 the regulator typically you come up with a
11 cost-benefit study. And the costs are typically
12 understood. But sometimes quantifying the
13 benefits is difficult and when you have the value
14 on what you deliver which is very granular, you
15 can actually much better justify the benefits.

16 So for example, it's a lot of studies on
17 electric side when people look at the, you know,
18 the benefits of say, putting in a new transmission
19 line in place. And that is often done with the
20 nodal price in models in place, I mean, the
21 analogies here symbol.

22 MR. MORGAN: But I think the corollary

1 to her question, Sue and Bob may have a thought as
2 the extent to which the gas industry is aware of
3 the fact that if you ever did get a major outage
4 as a result of a gas shortage, Congress is not
5 going to sit around. I mean, there'll be an
6 action. It'll almost certainly be regulatory and
7 so I would have thought that was an incentive to
8 be a little more cooperative in trying to resolve
9 these issues.

10 CHAIR TIERNEY: So I have a response
11 from my NAESB experience where, again, the process
12 at the standards board is that people in industry
13 segments vote on whether or not they want to adopt
14 a standard. And some of the discussion about this
15 gas-electric issue revealed to me that there were
16 very different senses of urgency across the divide
17 of the two industries.

18 I believe I posed the question to the
19 group exactly like you described which is it going
20 to take actually a major disruption to get people
21 to --

22 MR. MORGAN: A lot of people's pipes are

1 going to have to freeze.

2 CHAIR TIERNEY: Yeah, to light a fire,
3 so to speak under the groups. And I actually
4 don't -- so the -- there were assurances that
5 that's not going to happen. I was less sure of
6 that.

7 But I don't know how it would play out
8 at the moment in this era of polarized politics in
9 Congress around fuels. You could imagine one
10 response would be to adopt a different set of
11 government regulations or energy standards
12 process. But you could also imagine people saying
13 yeah, we told you so. We should not have gotten
14 rid of our coal plants.

15 So I really don't know what -- how it
16 would play out at the moment. It is just such a
17 crazy controversial setting around which fuel is
18 better or worse and who knows where we go.

19 MR. MORGAN: So lastly, any response to
20 Chris's question?

21 MR. ETHIER: Sure. I'll do the easy one
22 first which is what's our daily electric import

1 capability and I think it was you were asking
2 about electric side.

3 MR. SHELTON: The unused during these
4 constrained times --

5 MR. ETHIER: Oh. Zero to some would be
6 the answer. And it really depends on the weather
7 in Canada. So if the weather in Canada is not
8 sort of on a relative scale worse than ours, or
9 it's somewhat better which happens, then the
10 Canadians are more than happy to sell us
11 electricity at \$400 a megawatt hour. They love to
12 do that and twice on Sundays.

13 MR. SHELTON: Yeah. I guess what I was
14 thinking about is as it relates to Janice's
15 question, you know, is there any opportunity to
16 offset, like you said, if you had this five-block
17 renewable it would -- could be valuable. I was
18 just looking to the transmission system to do that
19 --

20 MR. ETHIER: Yeah.

21 MR. SHELTON: -- in a, you know, vaguely
22 --

1 MR. ETHIER: It's utilized pretty fully.
2 I mean the market does a very good job of
3 squeezing every last megawatt out of Canada when
4 it's available. Are there certain times when it
5 would be helpful if they had a few more generators
6 available? Yes. It's a pretty small number of
7 hours a year though.

8 MR. SHELTON: So I know we're out of
9 time but I guess we can talk after but could you
10 uneconomically dispatch resources so that you have
11 more gas later?

12 MR. ETHIER: Okay --

13 CHAIR TIERNEY: He's going to ponder
14 that.

15 MR. ETHIER: Yeah. My initial instinct
16 is no because a lot of the Canadian system is
17 hitting its limits when they're not selling it to
18 us because they are all flat out on their end.
19 Otherwise they're more than happy to sell it to
20 us. So that's my initial response.

21 And then the slightly more challenging
22 question was -- the slightly more challenging

1 question was, you know, how are the gas-electric
2 changes, and I assume you mean the pricing changes
3 that we made, are they being exposed on the load
4 side? And the answer is not very well. We still
5 have peanut buttered rates and things like that so
6 we may hit \$9,000 megawatt hour. There are very
7 few on the load side that actually face that
8 price. So that is definitely something that could
9 be improved and the ISO consistently states we
10 would love to see real-time pricing and the
11 regulators consistently don't seem to be as
12 interested as we would like them to be so.

13 MR. MORGAN: So with that a final round
14 of thank and then we're going to resume at 4:50.

15 (Off the record.)

16 CHAIR TIERNEY: Hi, Paul.

17 MR. CENTOLELLA: Hi.

18 CHAIR TIERNEY: Go ahead.

19 MR. CENTOLELLA: Okay. Well, that was
20 clearly a fantastic last panel and everyone I know
21 wants to keep talking about it, but I'm going to
22 interrupt us and bring us back to Smart Grid

1 Subcommittee and we have a paper that's up for a
2 vote in this meeting. So I am going to, you know,
3 briefly talk about what the Subcommittee has been
4 doing and then dig into the paper and we have both
5 a slide summary of it and the paper is also
6 available. We can put it up if anyone has
7 specific things that they want to look at in it.

8 So overview of the Subcommittee, first
9 of all, for those of you who may be new in the
10 room, this is a statutory Subcommittee of the EAC.
11 It was created in the Energy Independence and
12 Security Act of 2007 with specific
13 responsibilities to advise DOE around smart grid
14 and various issues related to that.

15 What we have been trying to do related
16 to where we're going in this discussion is over
17 the last little over a year, bring together for
18 the full EAC and for our committee a series of
19 panels and speakers and, you know, and looks at
20 this question of how do we begin to value and
21 integrate DER from a variety of perspectives
22 looking both with some good external experts, and

1 I'll talk a little bit about a few of those that
2 we had early on to remind people, together with
3 also looking at what's going on within DOE both
4 within the Grid Modernization Initiative and more
5 broadly which form the basis for the paper that
6 I'll be talking about here shortly.

7 So we started this off a year ago March
8 with a very good panel. Heather was on the panel
9 talking about how you actually begin to do this in
10 the real world and we had three other speakers
11 which, you know, which really began to kick off
12 this discussion. First of all, Bill Kallock from
13 Integral Analytics who is -- that is a firm that
14 does a lot of planning for DER for leading
15 utilities, talked about doing this kind of layered
16 planning looking forward about exactly where and
17 when on a distribution grid DER would be valuable.

18 We also had Michael Caramanis, a
19 colleague of Alex and mine at TCR, who talked
20 about a report that I coauthored with Michael and
21 others on the report looking at how you begin to
22 value in the context of the kind of platform

1 market that, you know, has been discussed in New
2 York REV. You know, distribution energy --
3 distributed energy resources within a distribution
4 system.

5 So can you calculate real and reactive
6 DLMPs and does it matter? And it turns out that
7 at least in some circumstances it does matter and
8 can matter a lot. And so you know, this was done
9 for an illustrative sort of suburban kind of grid.
10 I show you some numbers here and it really does
11 matter in terms of the value of different
12 distributed energy resources. And it values also
13 -- it matters also because this is a distribution
14 level market that has to operate to some degree on
15 a kind of independent, not totally independent
16 because it's linked to it, but you're not actually
17 going to be able to dispatch every single home
18 with flexible generation, every single distributed
19 generator. You've got to think about these kinds
20 of distributed markets to make this work.

21 And finally, we had on that panel a
22 professor from Georgia Tech going back to our

1 earlier discussion of power electronics, who
2 talked really about the role of power electronics
3 in the distribution system. The graphs here are
4 graphs for what you can do -- what the actual
5 voltage profile of a secondary distribution line
6 looks like, something we don't typically look at
7 because we don't actually monitor it. And it's
8 much more ragged than our models would suggest.
9 And then what happens when you actually put some
10 very fast power electronics on that secondary
11 distribution circuit which enables you to flatten
12 that voltage profile. Essentially get five to
13 seven percent demand in energy savings by using
14 advanced power electronics as well as potentially
15 significantly increase potentially up to 100
16 percent or more of the distributed PV or other
17 distributed resources that can go on the circuit
18 and actually begin to support voltage in the bulk
19 power system.

20 So these are the kinds of things that
21 began to shape our discussion of thinking what
22 does it mean to begin to value and integrate

1 distributed energy resources in the power grid.

2 So what we did was we developed a paper. We
3 started with some basic facts about distributed
4 energy resources. They are here today and they
5 are growing.

6 We already have and this is largely EIA
7 data, 14 million customers that are already
8 supplying power back into the power grid. We have
9 about eight percent of our total generating
10 capacity in the US that is combined heat and
11 power. We have nearly doubled the amount of small
12 distributed PV from 2014 to 2017. A majority of
13 that is residential rooftop PV.

14 We have some 16 million customers that
15 are either participating in demand response
16 programs or on some form of time-varying rates.
17 We have -- so the figure I have is a couple of
18 years old but about three percent of residential
19 customers have backup generators and that's been
20 growing at double-digit growth rates each year.

21 We have -- there's the last figure I
22 have was over 500,000 electric vehicles but if we

1 use them smartly in terms of their charging cycles
2 would also become a form of distributed storage or
3 distributed energy resources. And we're seeing
4 these advanced power electronics come in and
5 really begin to change the way we think about the
6 distribution system.

7 And each of these, it's not just, you
8 know, rooftop PV, it's not just storage system.
9 Each of these is a form of distributed energy
10 resource that needs to be integrated in the way we
11 value the power system.

12 So if I can get this to work again,
13 there we go. So we have here in the paper a set
14 of findings and recommendations that basically fit
15 into four areas. The first is in terms of
16 valuation and market integration. So we have and
17 we didn't get -- unfortunately we did not get ours
18 down to the four-pagers that Anjan did but we did
19 put in an executive summary and a brief summary of
20 findings and recommendations at the end. And
21 that's largely where what I'm going to talk about
22 comes from.

1 So one of our findings was the need to
2 develop tools to support more efficient markets
3 with more granular price signals and to integrate
4 DER into those markets and coordinate also the
5 valuation of DER with FERC and with state
6 regulators. So one of the real premises of what
7 we're finding is that the value of distributed
8 energy resources is very time-dependent; it's very
9 dependent on system circuit location, the
10 electrical product. It is real? It is reactive
11 power? It is reserves?

12 And even- in some cases-
13 customer-specific in terms of its value. This is
14 something that is being looked at by states across
15 the country in different geographic locations from
16 different political perspectives and it's an
17 important issue for them. We today do not do a
18 great job of integrating distributed energy
19 resources at a market level.

20 As you heard Bob talk about in the last
21 panel, when we settle in wholesale markets the
22 settlements that go to retail suppliers that might

1 otherwise give them an incentive to work with
2 their customers to efficiently integrate and
3 operate DER, they're peanut buttered on a load
4 zone and an hourly basis so that much of the
5 signal that might lead to more efficient
6 integration doesn't happen.

7 So we thought that there were two
8 important objectives for the department here. One
9 was to develop increasingly detailed, accurate,
10 and transparent methods and tools for valuing DER
11 in the context of planning and the consideration
12 of DER as an alternative to more conventional
13 distribution investments.

14 The second was to begin to develop
15 increasingly granular market models so that we
16 could begin to see DER actually play in a market
17 context as we go forward and not have to -- and in
18 effect be able to extend our competition policies
19 deeper into the power system. So that led to
20 recommendations on additional R&D from methods and
21 tools to ensure the appropriate time, location,
22 and product-specific valuation of DER, and system

1 planning and operations, and on improved market
2 models as well as continuing to work with
3 regulatory authorities to look at policies and
4 rate structures that would advance more efficient
5 integration of DER.

6 So that was one area that we addressed.
7 A second area is in terms of planning and
8 operations. And in here we looked at the fact
9 that we thought that DOE has a unique and
10 important role to play in the development of
11 methods and tools that relate to planning and
12 operations of the grid. We recognize that the
13 power grid, much as Anjan talked about earlier,
14 involves ultra-large scale complexity. And DER
15 only make it more distributed, more dynamic, more
16 challenging to plan and operate.

17 So this is going to require some
18 fundamental changes in the way we plan and operate
19 the grid. It's going to require some way to
20 understand something we don't understand today.
21 What is the appropriate role of centralized unit
22 commitment and dispatch together with more

1 distributed markets together with these very
2 fast-acting power electronics and things that
3 happen at a much quicker level at more distributed
4 places on the grid?

5 Today we know something about each of
6 those things. We know very little about what's
7 the appropriate balance and how they should work
8 together. And we think that's a very important
9 initiative that DOE needs to take on because
10 essentially this is a -- if you're looking at this
11 as a vendor, this is a very small and highly
12 regulated market so that while the return to the
13 economy might be high from doing this well, the
14 return to a vendor for actually developing the
15 analytics and the software is likely to be quite
16 small.

17 So we think that there's continuing R&D
18 on tools, computational methods, more dynamic and
19 distributed models for the grid, simulation tools,
20 all of this related to research on how you do it
21 and how you begin to balance this interaction of
22 centralized markets, distributed markets, and

1 power electronics to make this work as an
2 important priority for DOE going forward.

3 The next area is just one of really
4 reaffirming that there is a role for the
5 department with respect to both basic and with
6 respect to what we call goal-directed applied R&D.
7 And we think DOE has played a positive role in
8 both of these areas both through the Office of
9 Science and through some forward-looking applied
10 R&D that's important for modernizing the grid.
11 And this is an area where we think DOE in terms of
12 grid modernization and the integration of DER has
13 a unique role to play.

14 And we identify valuable programs both
15 through the Grid Modernization Initiative that you
16 heard about earlier but there are other things,
17 the cybersecurity and critical infrastructure
18 program. Some of the report -- work that goes on
19 in OE related to standards development, some of
20 the projects like the one you heard from Alex that
21 are funded by ARPA-E that particularly in those
22 areas that related to the grid-focused research.

1 There's been some really good work that's come out
2 of there.

3 We recommended continued support for
4 this Multi-year Program Plan related to grid
5 modernization. We don't mean to exclude other
6 things by saying that but we think that's an
7 example of looking forward to where the needs are
8 and directing a portfolio of research that is
9 designed to meet some objectives that we need to
10 meet in the near term.

11 Finally, we think there's an area here
12 in terms of DOE using its convening authority to
13 coordinate between entities and stakeholders to
14 provide science-based information and to provide
15 technical assistance. We heard a little bit about
16 this earlier. The operation and oversight of the
17 grid is divided between federal and state
18 authorities, between over 3,000 utilities, 7 RTOs,
19 and many other stakeholders and entities that have
20 a role.

21 This kind of division actually has
22 value. I mean there's -- I'm not suggesting that

1 there ought to be one model for everybody in the
2 grid. Having some differentiation promotes
3 experimentation and opportunities to figure out
4 how to integrate new technology while reflecting
5 appropriately local perspectives. But DOE has an
6 important role to play in coordination and
7 providing access to critical information that not
8 everyone will have equal capability of accessing.

9 So in this area we thought it was
10 important that there be a sharing of information
11 on the frameworks that are already under
12 development in many places and that in thinking
13 about this, it needs to involve both a consumer
14 and a utility perspective of how to make this
15 happen if we're going to get to some consensus
16 about how to go forward.

17 So those are the basic elements of our
18 report. We have some ongoing work we started at
19 our last meeting with a panel on the internet of
20 things. We will continue to work in that area,
21 continuing to examine the cybersecurity concerns,
22 looking at potential applications and benefits.

1 I'm sure we will also look at interoperability
2 standards, something mentioned earlier today. And
3 we have had an initial discussion, and I suspect
4 we'll pick that up perhaps even at our breakfast
5 tomorrow morning before the start about where we
6 might go about thinking about infrastructure
7 investment in the grid.

8 So that's where we are. That's at least
9 tentatively where we're going. And I'm open for
10 questions about the paper or anything else.

11 MS. CURRIE: First of all, I want to
12 congratulate you and your Committee, Subcommittee,
13 on this report. I think you did a very good job
14 articulating some of the issues that we need to
15 focus on and also I just think it's written in a
16 way that's easily understood.

17 Two comments, one is I think that so
18 many times smart grid DERs are considered
19 synonymous with smart meters by a lot of the
20 public. And I think anything that we can do and
21 that DOE can do to make people see a broader
22 understanding of what smart technology means in

1 the electric industry is valuable.

2 The second thing that I want to comment
3 and congratulate you on is the point about trying
4 to value distributed energy resources from the
5 consumer perspective because I think that, again,
6 it's very important for all of us as we look at
7 how we integrate these resources and value them
8 and price them particularly is to be able to give
9 consumers a sense that they are getting something.
10 Because, you know, I think from my utility
11 experience when you have to go and argue for the
12 investment in the form of a rate increase, now the
13 first thing people want to know is well, what is
14 this doing for me?

15 And that sometimes is not a question
16 that is answered quickly, easily, and succinctly.
17 And the more you sputter around in these kinds of
18 forums where you talk about raising rates and you
19 can't clearly say what the consumer is getting,
20 the more your credibility erodes. So again, I
21 think it's very important for us to keep a focus
22 on what is the consumer getting out of all of the

1 millions of dollars that will be spent to bring
2 this kind of technology, change, and functionality
3 to our industry.

4 MR. CENTOLELLA: Thank you, Phyllis, and
5 I want to say thank you to all of the members of
6 the Subcommittee that worked on this because this
7 really had input from a lot of people and I
8 appreciate that.

9 Mark?

10 MR. LAUBY:: Thank you. And I would
11 also like to congratulate the group. I thought it
12 was well-written. A couple of things that come to
13 my mind and I think you're touching on it here and
14 that is that one of the key value equations is the
15 closer you get the resources to the customers, the
16 more reliable it's going to be if you can manage
17 it and control it, right? And so when I thought
18 about that and I thought about the high speed
19 issue which scares the living daylights out of me
20 because of what happened recently (inaudible) when
21 we found out that inverters were instantaneously
22 calculating frequency as opposed to being

1 time-varying, but slow down a little please and
2 get the right -- get the frequency right would be
3 my message there.

4 But there's been some work done in
5 Germany, I'm sure you're aware of it, where they
6 actually have DSOs where they're managing some of
7 this, is -- have you -- has that kind of come into
8 your thinking here and what areas perhaps we need
9 to really look at advancement and what things we
10 can borrow?

11 MR. CENTOLELLA: So I mean it's
12 interesting and I think it kind of touches a
13 little bit on the discussion that we had this
14 morning where we were talking about the interface
15 between the bulk power system and the distribution
16 system. And so there are now a variety of models
17 out there beginning to think about that. Is the
18 traditional distribution utility simply
19 calculating what the hosting capacity for these
20 things is? Is it trying to value it? Is it
21 creating a platform to help facilitate
22 transactions and services?

1 And ultimately, you get to the question
2 of is there a transactive piece of this? And so
3 we followed a little bit, for example, there are
4 some examples in Europe where you actually have to
5 peer-to-peer markets that are emerging with this
6 distributed technology and I think if we get to
7 that question here it will both operational
8 questions. But it will also raise very
9 significant jurisdictional questions because you
10 now have markets that may be used to operate the
11 distribution system that involve both retail and
12 wholesale transactions. And I'm not sure who has
13 authority over that and that may be a question
14 that DOE can help FERC and the states figure out
15 but I don't know the answer right now. And when I
16 -- I have asked that question to a FERC
17 commissioner before and the answer I got was it's
18 a quilt.

19 So if anybody knows what that means
20 please let me know. Jeff, I -- do you have your
21 card up?

22 MR. MORRIS: Thank you. I'm wondering I

1 think what we struggle with in the State House is
2 sometimes this question is having a good idea of
3 where the precipice is for when these values
4 should be propagated up to centralized markets,
5 propagated out to system benefits, or propagated
6 behind the meter like that as a service or
7 decentralized market. Do you think that part of
8 this concept is that identifying where that
9 precipice is for that decision?

10 MR. CENTOLELLA: So I think there are
11 two questions here. One is I do think regardless
12 of where we go, we really have to do the research
13 to understand what the appropriate balance is
14 between centralized markets, local markets, and
15 faster-acting equipment. That's part of the
16 question.

17 When you get down to asking how deep
18 into a system do you propagate these values,
19 that's a question that you can actually model and
20 you can decide is the difference of going the
21 extra step significant enough that you want to
22 make the expenditure to actually settle at a lower

1 point in the grid. Now I guess what one of the
2 things I would say is that there clearly are
3 places today, and I don't know whether it's
4 everywhere, but there clearly are places today
5 where simply settling on a load zone and hourly
6 basis seems to have real costs.

7 There's at least one RTO zone I'm
8 familiar with where the differential on a peak day
9 between different load nodes for hourly average
10 prices is over \$1,000 a megawatt hour. That seems
11 to be an example of where one would clearly think
12 one ought to go at least to the load zone, load
13 node point and maybe go beyond that both in time
14 and locational granularity. But that's the kind
15 of thing that we're sort of stuck with our
16 historical way of doing this and we ought to be
17 asking how far we should go.

18 CHAIR TIERNEY: Maybe one more question
19 from Laney? Is this card up?

20 MS. LANEY BROWN: Yeah. It's actually
21 brief and it was more just a validation I think of
22 what we heard today in regards to the GMLC report

1 out that there's an increased need for support on
2 regulatory and state and I think we have that,
3 that we sort of have queued that up. So I just
4 thought it was an interesting note that I think
5 continues to validate one of the recommendations
6 we put forward.

7 CHAIR TIERNEY: Last question I'll take.

8 MS. MARILYN BROWN: So we -- when you
9 were in Atlanta last month I had posed a question.
10 I wonder if you thought about it some more. We
11 were discussing the ability of -- to demand
12 response on the demand side of the meter to be
13 able to help balance demand. And we were talking
14 about the role of electric utilities and providing
15 potentially internet services and the investments
16 that might be needed in fiber optics in orders to
17 bring quality internet Wi-Fi access to places that
18 right now can't really support distributed
19 demand-side resources.

20 And I wonder if you've had a -- you know
21 we've got a line there about or we've got a
22 bullet, a whole bullet, about infrastructure

1 investments.

2 MR. CENTOLELLA: Yeah. So that's our
3 future work --

4 MS. MARILYN BROWN: And I know we didn't
5 weave anything, we did not weave anything about
6 this into our current paper.

7 MR. CENTOLELLA: No, it's --

8 MS. MARILYN BROWN: It's too, you know,
9 out there but it is a real problem. I was talking
10 with Southern Company yesterday about the problem
11 it's not just rural America. That's what TVA is
12 looking at: rural poverty and small towns that
13 can't get internet and therefore, it can't
14 participate in any of this. It's also the city of
15 Birmingham. It's got so much poverty that they,
16 you know, traditional Wi-Fi suppliers won't touch
17 it.

18 So they won't go there. So how do we
19 help the microgrids of the future run if they
20 don't have this kind of fiber optic backbone?

21 MR. CENTOLELLA: So I guess my short
22 answer knowing that this is, you know, we're

1 really running against time is that different
2 network requirements, there are different network
3 for different services. And so one has to think
4 about what it is that one is trying to accomplish
5 and then make the case. And so we can have
6 further discussion about that but not every
7 network is -- needs to be fiber and have the
8 ability to deliver high bandwidth low latency.
9 But that's a much longer discussion.

10 CHAIR TIERNEY: And now that's the last
11 question. Dr. Morgan?

12 MR. MORGAN: So I'll vote to approve
13 this as it is but will you consider in five
14 continuing and expanding support for regulatory
15 authorities blah, blah, blah, that advanced
16 innovation and economically efficient inte -- I'm
17 worried about promoting innovation in this space.
18 I mean and regulatory changes could have a big
19 impact there. I mean, if I for example relax
20 exclusive service territories even a little bit so
21 that I could have innovative microgrids down under
22 the distribution system, you know, then a whole

1 lot of private sector people could get involved
2 and start innovating as long as only a regulated
3 -- so it's up to you.

4 I mean if this is too late to
5 contemplate -- what?

6 MR. CENTOLELLA: So I think he's talking
7 recommendation number five --

8 CHAIR TIERNEY: Hold on, hold on, you
9 guys. This poor gentleman has to figure out the
10 tramped upon words. So one at a time.

11 MR. CENTOLELLA: So could we get the pdf
12 up?

13 MR. MORGAN: Yeah, in five that advance,
14 I mean, in the second line of five that advance
15 innovation and economically efficient integration.
16 Very --

17 MR. CENTOLELLA: I would consider it
18 friendly. Any reaction from the rest of --

19 MR. MORGAN: Yeah, it would be friendly
20 and if it's --

21 MR. CENTOLELLA: -- the Subcommittee? I
22 --

1 MR. MORGAN: -- if -- and I'm not going
2 to vote no even if it doesn't get put in.

3 MR. CENTOLELLA: Okay. I would consider
4 it a friendly amendment. Can we go down to
5 recommendation number five, it's about a little
6 further down the page?

7 MR. MORGAN: Right to the near -- it's
8 at the bottom.

9 MR. CENTOLELLA: There, you've got it.

10 MR. MORGAN: Right.

11 MR. CENTOLELLA: So advance --

12 MR. MORGAN: Advance innovation and --

13 MR. CENTOLELLA: -- innovation and
14 economically efficient integration? And I'm
15 thinking I will take that as a friendly amendment
16 unless anybody objects. And if not, maybe we can
17 have a motion.

18 MR. MORGAN: Thank you.

19 CHAIR TIERNEY: So is there a motion to
20 approve amended?

21 MR. MORGAN: So moved.

22 MR. CENTOLELLA: All set.

1 CHAIR TIERNEY: I hate to ask if there's
2 any further discussion. All those in favor? Aye?

3 SPEAKER: Aye.

4 CHAIR TIERNEY: Opposed? Great job on
5 this. Really great job.

6 MR. CENTOLELLA: Thank you.

7 CHAIR TIERNEY: We have next up the
8 Energy Storage Subcommittee for another work
9 product.

10 MR. BROWN: Thank you. Let's jump right
11 into this and again, I'll run into trouble using
12 this probably. Okay, these -- I want to just
13 briefly cover the Energy Storage Subcommittee's
14 2017-2018 activities and plans.

15 First of all, there's been a slight
16 change in our structure administration in that
17 Chris Shelton who's been our vice chair for the
18 Subcommittee for a number of years, his job and
19 his schedule is such that it was difficult for him
20 to fulfill that particular position but he has. I
21 want to say he's been contributing an awful lot to
22 the Committee but this is sort of a scheduling

1 issue. And so he was willing to step down and the
2 -- I held some kind -- I went through a process
3 and picked Ramteen Sioshansi as the new vice
4 chair. So just make that for the record.

5 We have finished the high-penetration
6 energy storage work product that Chris was the one
7 who initiated and led the effort on this. I might
8 add there were a lot of contributors in this
9 particular effort. A lot of people put a lot of
10 time into it. But Chris is going to discuss this
11 in just a moment because we're bringing it to the
12 group here for a vote.

13 And then some new work products we're
14 working on, one of them is the thermal storage one
15 that on opportunities and challenges that Ake's
16 going to work on and this one has come about
17 because you may recall a couple of meetings ago
18 in, I think it was our five-year plan, but one of
19 the reports we put out we brought in the scope of
20 energy storage to go beyond electricity-in
21 electricity-out storage to look at other things.
22 And the first big one we're going to tackle there

1 is to identify what's meant by thermal storage and
2 how it would interact with the grid and affect the
3 grid.

4 And if we have time, I'm going to go
5 into a little more detail about some of these.
6 The next one, another work product that we want to
7 start work on is called rate, tariff, and
8 regulatory design for energy storage: lessons
9 learned. This one Ramteen has volunteered to take
10 on with help from Tom Sloan who is a previous
11 member of this Committee who has a really strong
12 interest in looking at this. The bottom line is
13 that energy storage is trying to be deployed in a
14 number of different circumstances, some regulated,
15 some competitive markets, et cetera. And this has
16 led to barriers, frankly, to energy storage
17 deployment because the confusion in this area and
18 a lack of consistency.

19 And so what this is to look at what's
20 being done in dealing with that so far to see if
21 there's lessons learned and then things that we
22 can pass on to DOE in the way of recommendations.

1 And then tomorrow we're going to be
2 doing a lot of work on this third work product
3 which is energy storage role in modernizing the
4 electric grids' security and I use this term in
5 quotes because it's really a mouthful of things
6 such as reliability, resiliency, and security
7 wrapped up into that. And again, if we have time
8 in this session I'll go a little bit more into
9 that but that's tomorrow is what that's going to
10 be all about.

11 And then finally, the biannual energy
12 storage assessment report that we have to put out
13 as suggested by its title every two years is due
14 in September 2018 and Ramteen has agreed to lead
15 that effort. So with that, I want to turn the
16 podium over here to Chris to discuss -- describe
17 to you the report that you have, the white paper
18 you should have, on high-penetration energy
19 storage work product and conduct discussion
20 leading to a vote.

21 MR. SHELTON: Can we pull up the other
22 presentation or is it -- it may be present here?

1 Okay, no, it's a separate one. So we started on
2 this quite a while ago and we had, if you recall,
3 we had a panel on this subject. We had folks from
4 the whole, you know, quite a spectrum to come and
5 talk about high penetration of energy storage.

6 This started with the realization of the
7 situation that we're in in the industry where
8 energy storage is showing up and it's showing up
9 in a lot of different flavors and forms. And
10 there's a realization that this thing might
11 actually be for real and start to scale into the
12 industry. And that reminded me and others as we
13 talked about it of the early days of when
14 renewables were being introduced maybe 15 years
15 ago as renewables started to seriously scale and
16 solar - - wind had already to scale and solar was
17 starting to scale.

18 All of the studies and work that had
19 been, great work that was done by NREL and others
20 to say let's imagine the future with a lot of
21 renewables. And so all this is an effort to take
22 that and say let's take an analogous approach to

1 say what would happen if there were a lot of
2 storage in the system. So it's just allow
3 ourselves to think that that could possibly
4 happen. And this is not a question of whether it
5 happens.

6 So what's unique about this effort is
7 it's not a question of whether it happens. It's
8 question of how it happened, right? So you make
9 that assumption that it happened and then you just
10 say what does it look like. And it was Merwin's
11 suggestion that we use scenarios to do this. It's
12 very effective when you have uncertain futures and
13 this is Merwin's analogy as well.

14 What if we catch the bus of storage?
15 What are we going to do with it? It's kind of
16 like the dog catching the bus story. So it was
17 Merwin's idea to use scenarios and what this does
18 is it allows people to have different points of
19 view but still engage on the topic.

20 So we set out to do our -- the framework
21 of our suggestions and our paper to DOE using this
22 model of different futures, different scenarios.

1 And so I'm not going to go read through these but
2 essentially what we have is what we worked on to
3 come up with these scenarios, and we had several
4 working sessions over the past year with two
5 primary dimensions that would be of interest.

6 And these started to resonate because we
7 found examples that match this diversity already
8 present in what's happening with energy storage.
9 So I'll give you those examples. So the
10 horizontal axis that's driving our scenarios is
11 the policy versus market intensity of the activity
12 that's ongoing. And the vertical dimension is the
13 integration level of that with the planning and
14 operations process of the electric system.

15 So it's either tightly integrated on the
16 top or loosely integrated on the bottom. So when
17 you put this lens on you get some really
18 interesting conclusions and I'll go into those in
19 a minute. So we ended up with these four
20 scenarios and they have very different outcomes
21 for the electric system in terms of reliability
22 and economic efficiency, right?

1 So if you end up in different corners of
2 this you could see a lot of activity in our
3 economy not drive reliability, right? So it may
4 be satisfying some consumer somewhere but not
5 driving the reliability of the electric system at
6 the same time.

7 So that was the lens that we started to
8 look at this through. We have the key
9 assumptions. I think I already covered all of
10 these. The last one I want to highlight here,
11 this was not an implication on reliability. We
12 assume an acceptable level of electric reliability
13 in all cases. It wasn't horrible things are going
14 to happen which would have been more analogous to
15 the renewable case. This was an optimization
16 consideration not a reliability- primary
17 consideration.

18 So we ended up with, and we've named
19 these, this was a difficult process of naming
20 these but the upper right is for all intents and
21 purposes where a large swathe of our electric
22 system is today. We call that status quo evolved.

1 That's tightly integrated and primarily market
2 driven. We do have pockets of the country that
3 are not like this just to be clear.

4 The upper left is some future where you
5 have this tightly integrated, completely policy
6 driven system, right? It's just completely
7 top-down controlled rollout, less market drive
8 there.

9 The lower left is a case where some
10 policy of some kind for whatever reason drove a
11 drive toward more energy storage. But it wasn't
12 integrated into the planning and it didn't, you
13 know, there was no real benefit to the system in
14 terms of its economic efficiency and reliability
15 that you would have seen in the upper left or the
16 upper right.

17 And then the last one is what we call
18 the internet of energy. It's more like the
19 internet itself. It just sort of organically
20 grows and some -- it's designed for reliability.
21 It just grows. It's not planned. It just
22 happens, right? So those are possible futures and

1 what's fascinating, I mentioned this a moment ago,
2 these actually are happening. So if anyone's
3 familiar with the self-generator incentive program
4 in California which square is that in? It's this
5 one, right? It was policy driven in the state of
6 California. Huge incentives paid out to install
7 it. Lots of storage got deployed, no visibility
8 or control whatsoever of that equipment and no
9 requirements for that.

10 So this can happen in these different
11 ways. The upper right would be like a PJM demand
12 side environment. The lower right is kind of
13 where electric vehicles are. They're just getting
14 deployed. They're not integrated into anything,
15 right?

16 So I use those examples not to prescribe
17 anything but just to kind of illuminate these are
18 the things that we explore in the paper. So we
19 were excited with this resonance. We thought it
20 really shows that there is a lot of opportunity to
21 research this. And I wanted to highlight also
22 that it sort of, you know, all of the papers we're

1 approving today are all directly related, right?
2 They're all different forms or different angles of
3 the same question.

4 So some key conclusions that there are
5 significant impacts, we could -- you could have
6 significant growth in variable renewables -- these
7 are common things across the scenarios as well.
8 High penetration of storage establishes a critical
9 need to clearly define who holds responsibility
10 for planning and reliability, some of the things I
11 just talked about.

12 It reduces the need for flexible
13 generation, obviously. So there are -- some of
14 these are some obvious conclusions. We also did a
15 lengthy consideration by stakeholder group which
16 we've also included in an appendix at the end of
17 the paper. So rather than read through these I
18 just want to make sure we cover if there are any
19 questions. So make sure everyone understands what
20 we're trying to do. And answer any questions
21 about that and then go from there.

22 CHAIR TIERNEY: Laney, is your card up?

1 Granger's trying to get his card up so you can be
2 called.

3 MR. MORGAN: I'm sorry. I wanted to
4 just get some clarification under the policymakers
5 and regulators on page 5. It says examine
6 conflict resolution between defector and
7 disenfranchised customers. That's in quadrant
8 three. I presume that includes the issues of
9 social equity and related issues if, I mean, if
10 I'm reading it correctly then you don't need to
11 elaborate.

12 MR. SHELTON: I'm trying to get to the
13 exact line here.

14 MR. MORGAN: Oh, well, it's -- I can
15 just read it again. It's under policymakers and
16 regulators. And one of the items is examine
17 conflict resolution between defector and
18 disenfranchised consumers. I'm not sure I would
19 have used the phrase conflict resolution but I'm
20 not proposing you change anything. I just want to
21 make sure that, in fact, what you have envisioned
22 there is the erosion of social equity and access

1 to electricity.

2 MR. SHELTON: Right, I think maybe we --
3 I don't know if we want to try to do a real-time
4 edit if --

5 MR. MORGAN: No, no, I'm not proposing
6 that.

7 MR. SHELTON: Hopefully, there aren't
8 too many others because we --

9 MR. MORGAN: I just want to make sure
10 that's what you --

11 MR. SHELTON: -- but it -- so I think it
12 would be some -- I think we're essentially saying
13 examine disparity or something, right, rather
14 than, I mean, it's implied that we're saying here
15 that there's conflict. There's conflict in
16 objectives probably so I don't know if we add a
17 word there or --

18 MR. MORGAN: Yeah, but we have a -- in
19 the electricity space at least we have a national
20 objective of universal access.

21 MS. LIN: So that recommendation was in
22 reference to scenario three.

1 MR. MORGAN: Yes, I understand.

2 MS. LIN: Which could also be the agreed
3 defection scenario. And so the assumption was in
4 that scenario that under a very high penetration
5 storage scenario that at some point it would get
6 cheap enough that certain subsets of consumers
7 could leave the grid. And --

8 MR. SHELTON: And the policymakers can't
9 control that.

10 MR. MORGAN: Consequences for
11 (inaudible).

12 MR. SHELTON: Right? The key thing is
13 that --

14 MR. MORGAN: -- the low end people who
15 can't play.

16 CHAIR TIERNEY: Guys? I'm speaking up
17 for the stenographer. Please don't talk on top of
18 each other.

19 MS. LIN: And so the assumption was that
20 there would still be a requirement to provide
21 universal service and that a lot of that universal
22 service would fall to the municipality creating a

1 lot of conflict as you see there. So it's -- the
2 idea was how do you, if in the event that that
3 happens, how do you adjudicate and mitigate those
4 impacts.

5 MR. MORGAN: Okay, understood. And I'm
6 not proposing any change.

7 MR. SHELTON: Okay. We could add the
8 word potential and then it would make it a little
9 softer if that --

10 CHAIR TIERNEY: So Heather, then Mark,
11 then Gordon.

12 MS. SANDERS: My question is about I
13 don't even know how to frame this. Okay. Let me
14 try. There are recommendations in here that go
15 across all the scenarios and I think that's clear
16 to DOE that that's something we're recommending to
17 take on. And I think that you already have things
18 in play that may be doing that.

19 The question I have or, yeah, the paper
20 makes no judgment about the goodness or badness of
21 any of these outcomes. I don't know if that's
22 something we should take on but it seems like

1 there's implications to each of those things. I
2 read in a little bit about some of the badness
3 with grid defection potentially in terms of
4 efficiency and optimization, et cetera. But if
5 it's too cheap to measure maybe it's okay.

6 I'm just wondering is there a follow-on
7 piece of work that kind of assesses the goodness
8 and badness and then how these come to terms? So
9 I'm a big roadmap person. So I'm a big fan of how
10 did you get to this point? I realize that wasn't
11 the point of this but I'm wondering if there's a
12 follow-on that says what causes me to end up in
13 this future and then as I back up what are the
14 signposts and then when do I take on these
15 recommendations for one, two, three, four scenario
16 that are specific. Does that make sense?

17 MR. SHELTON: Right, yes. I think it
18 was not our scope. It's not generally the scope
19 of the EAC to make the value judgments. So we
20 didn't take that on. So but that's the benefit of
21 DOE doing it and engaging the stakeholders in the
22 process, right? So --

1 MR. LAUBY:: I wanted to congratulate
2 the group. I really think that this is an
3 interesting way and it's a very good way to take a
4 look at future scenarios, future possibilities.
5 Yeah, you can do pros and cons and you don't
6 really have to care about how you got there. The
7 question is what does it look like? What are the
8 challenges? I think we're going to see even more
9 storage facilities or batteries and different type
10 of storage technologies coming on the system
11 especially as we use more gas.

12 We saw what happened in California with
13 the Aliso Canyon. And I know that how we got
14 there is not important but I think you're -- it
15 takes us to a very realistic place --

16 MR. SHELTON: Right.

17 MR. LAUBY:: -- and not many multiple --

18 MR. SHELTON: That was the intention was
19 to move beyond the what if.

20 MR. LAUBY:: And so anyway, I'm excited
21 about the paper and I look forward to approving
22 it.

1 MR. FELLER: Even though we're not going
2 to make a value judgment about which scenario is
3 the ideal scenario, at least not now, although I
4 would hope we get a chance as a follow up to
5 debate the different scenarios even if there's a
6 world likely to happen which has multiple
7 scenarios happening simultaneously. I do think it
8 would really be helpful at some stage, this is the
9 comment about what comes next after we approve
10 this, that states and utilities may be interested
11 in some tool, like a report card, that says this
12 is how we're doing on our roadmap in getting to
13 scenario one, two, three, or four because we've
14 chosen that.

15 We've discussed and debated what a world
16 of high penetration of energy storage looks like
17 and we think the ideal scenario for us at this
18 utility or us in this community or us at this
19 state level is one, two, three, or four. A
20 roadmap helps define some of the steps but doesn't
21 necessarily help me like a scorecard might as I'm
22 going through those steps to see my progress.

1 I don't know whether that's going to be
2 one of those options on the list of next steps
3 after this for our group or for DOE and staff.
4 But if I had a magic wand I'd love to see that
5 especially if I was working at the state PUC or at
6 the utility level.

7 MR. SHELTON: I think the challenge is
8 that we -- it's -- there's a jurisdictional issue
9 across federal to state, state to state, and
10 federal to federal. You've got federal on federal
11 issues. You've got state to federal and state to
12 state. So it's always challenging when we do
13 these to try to bridge all of those divides
14 simultaneously. We did talk about that in the
15 process.

16 CHAIR TIERNEY: Carl has the last
17 comment.

18 MR. ZICHELLA: What power. I wanted to
19 just mention this doesn't have to be sort of a
20 value judgment about where we end up. This can be
21 somewhat of an exercise in tracking. At the
22 Western Electricity Coordinating Council we do

1 scenario planning also and what we do every month
2 is we review developments that track along the
3 scenarios that we've done. And we try to figure
4 out where are we headed? Which of the scenarios
5 is the one that's actually materializing?

6 MR. SHELTON: Right.

7 MR. ZICHELLA: As you pointed out,
8 Chris, all four of them are in play right now.
9 But this is an embryonic point in the development
10 of electricity storage and just as it was with
11 solar energy, you look at the supply curves for
12 solar, just ten years ago, and you come to a
13 completely different conclusion about solar energy
14 than you would come to today.

15 And so I would say perhaps we may want
16 to think about a recommendation to do trend
17 tracking about scenarios, thank you, Janice. To
18 do sort of figure out which of the scenarios is
19 actually coming to be because right now there's a
20 lot of experimentation and it's not clear. So I
21 just suggest that because it --

22 MR. SHELTON: So I think we could add

1 that as a bullet.

2 MR. ZICHELLA: Yeah, I think it would be
3 a very, very helpful recommendation to do that.

4 MR. SHELTON: So we can add that as a
5 recommendation.

6 MR. ZICHELLA: I think they probably
7 would anyway but the fact of the matter is, I
8 found it at WECC to be extremely helpful in trying
9 to make some judgments about what the electrical
10 system is going to look like overall including
11 storage but not limited to it.

12 CHAIR TIERNEY: So would anyone be
13 willing to enter a motion to approve this paper?

14 MR. LAUBY:: Yes.

15 CHAIR TIERNEY: Second?

16 MR. FELLER: Second.

17 MR. SHELTON: Does the motion include
18 this modification?

19 CHAIR TIERNEY: Yes.

20 MR. SHELTON: Okay.

21 CHAIR TIERNEY: Thank you. I should --
22 I assume.

1 MR. SHELTON: I just want to be clear.

2 CHAIR TIERNEY: Great. All those in
3 favor?

4 SPEAKER: Aye.

5 CHAIR TIERNEY: Opposed? You guys did a
6 terrific job on a very insightful paper. Thank
7 you very much.

8 MR. BROWN: Thank you, Chris. I'm not
9 going to finish the presentation but just make a
10 few -- wrap up a few loose ends here. For the
11 record, by the way, it was -- Heather pointed out
12 that many of the recommendations, observations,
13 conclusions we reached were those that were robust
14 to the scenarios and went across. And from a
15 strategic point of view, particularly from the way
16 Carl was talking about, you don't have to know
17 what scenario or care what scenario comes about if
18 you can see whatever you do to prepare for it, it
19 works.

20 But the other thing we look for and we
21 really didn't find very much of which is those
22 things that may show up in one scenario that are

1 have very high consequences but not likely to
2 happen in the other scenarios. Then someone like
3 DOE would have to make a decision do we do
4 research to address that outcome perhaps because
5 the outcome is so bad even though it's a low
6 probability so to speak.

7 So that's another purpose of these
8 scenarios. Regarding picking on that certainly,
9 you know, the -- that's certainly something this
10 group could do or anyone can do. But I again want
11 to point out that was not our intent. These
12 scenarios just happened so to speak by combining
13 those axes, what those two axes did, the crossing
14 in their various quadrants. This is the story
15 that came out.

16 And so it wasn't value judgment involved
17 at all. It wasn't this is something we want to
18 happen. It was what the authors came up with.

19 Now having said that, I want to make a
20 comment that I think prepares us for tomorrow.
21 And that is one of the things that came out in
22 this, if you looked at the report carefully, is

1 that renewable generation in a lot of this, maybe
2 all of the scenarios was a reason for deployment
3 of energy storage. Not necessarily the only one
4 but it was a substantial one.

5 And the question is that due to
6 something that's inherent in what's going on and
7 what we think is going to go on into the future,
8 et cetera. In other words, it's almost an
9 assumption that didn't get captured as an
10 assumption. Or is it just happens to be a mindset
11 that's prevalent right now among us or those in
12 the authors. And therefore we kind of had
13 blinders on as to other reasons that energy
14 storage may go forth and I think that's what
15 tomorrow's going to be somewhat about.

16 It's looking at now the role of energy
17 storage and resiliency, security, and reliability.
18 There's a lot of words given to that but I don't
19 think a lot of thought and what I might call
20 (inaudible) research, in other words where you do
21 a lot of thought and speculation on what does that
22 really mean and how important is it? How

1 important is energy storage?

2 So maybe after tomorrow we'll have a new
3 mindset or a broader mindset. So with that
4 comment and I'll quit and I just want to thank
5 everyone in this Subcommittee who put all this
6 work in on this product as well as past products
7 and the products that are to be.

8 Janice I want to thank for tomorrow in
9 advance because I -- she's put an awful lot into
10 making this happen. And I guess that's it. Thank
11 you.

12 MR. SHELTON: Merwin, I want to
13 emphasize again -- I want to emphasize one last
14 time this was a highly collaborative work product
15 so I appreciate the comments you made about that
16 it's a good product. But it was the entire
17 Committee practically worked on it in one form or
18 another. It basically was like a hot potato at
19 one point because a lot of us were tied up and so
20 I'm sure a lot of the work product ends up that
21 way. It ended up being a good finished product so
22 thanks.

1 MR. BROWN: And I guess it was another
2 experiment using scenario planning in one of these
3 processes. We didn't know it would work.

4 CHAIR TIERNEY: Well, as John comes up I
5 think it's really interesting that the three
6 documents that were approved today are all very
7 different but all highly related. And it's a
8 terrific amount of effort that the Committees put
9 in.

10 MR. ADAMS: Last man before dinner.
11 I'll be very quick. Power Delivery Subcommittee,
12 John Adams. Heather is our Vice Chair and Heather
13 is doing all the work on this project, I'm so
14 pleased to say.

15 What we're working on is the
16 transmission distribution interface and what this
17 is about is what you all heard about is we've got
18 a lot of distributed energy resources showing up.
19 I loved Chris' explanation on storage. It's
20 showing up.

21 So that's what we've got happening.
22 It's showing up and Paul had a lot of wonderful

1 statistics, thank you, for on how much of it is
2 showing up. So the question is and at least at
3 ERCOT, I'm very -- I'm with the ISO. So as this
4 resource is showing up on the distribution system,
5 we have no visibility into the distribution
6 system. We have no control activities on
7 distribution resources.

8 So as it showing up there is a question
9 about well, okay, at the interface what is going
10 to happen in the future? So that is the question
11 we're trying to address is, well, what is going to
12 happen? Does the interface need to evolve? Do we
13 need to develop more communications?

14 And then the other question is okay, I'm
15 from ERCOT. I'll talk about what we don't have in
16 Texas. But who can talk about what we don't have
17 in California or what we don't have in PJM or what
18 we don't have in Southern Company? So I think the
19 interfaces are potentially different around the
20 country.

21 So we thought it was an interesting
22 question to ask, all right, how is this interface

1 going to evolve? What do we expect to happen in
2 the different business and regulatory situations
3 across the country?

4 So that is the question we are looking
5 at. Our objective, we had a meeting just before
6 this meeting, is to bring awareness to the DOE and
7 other parties of the need to evolve this
8 interface. I think it would be great to have some
9 type of best practice ideas that may be applicable
10 across the country or they may all be different.
11 What are the research gaps, who are the players,
12 where are the seams?

13 I brought to this the idea that oh, the
14 seam's at the transmission distribution
15 transformer and discovered that oh, other people
16 have other ideas. Maybe that's not where the seam
17 is. So where is the seam? What are the policy
18 tools? What are the interactions? What's the
19 connection between the federal and state
20 regulation?

21 These are the question we're trying to
22 ask. So what are our plans? Well, let's assemble

1 a team, assemble reference materials. We plan to
2 copy the Energy Storage Subcommittee's successes so
3 we're copying those. We have conducted interviews
4 across the country with experts. So that is our
5 form of flattery is that, hey, it works, let's
6 copy it.

7 We developed a paper outline, schedule,
8 and perform interviews. Plan to draft a T&D
9 interface paper with findings and recommendations.
10 We did talk about since then that didn't get on
11 this slide is we probably ought to consult with
12 Department of Energy personnel on hey, how does
13 this fit with what you can do. So some
14 consultation in the middle of this, submit it for
15 review and we hope to present to the EAC target
16 next June.

17 And I am no longer between you and
18 dinner if you don't ask any questions.

19 CHAIR TIERNEY: Well, I'll just make a
20 comment. I think this is a really exciting
21 project that you guys are working on so thank you
22 for teeing it up.

1 MR. ADAMS: Thank you.

2 CHAIR TIERNEY: Other comments? You're
3 afraid I'll yell at you.

4 MR. ADAMS: I love being the last one
5 before dinner. It's great.

6 CHAIR TIERNEY: John, thank you for your
7 great report.

8 MR. ADAMS: Thank you.

9 CHAIR TIERNEY: Awesome. And in the
10 three minutes that remain I want to thank Katie
11 for staying with us. It's really nice, really
12 glad that you were able to do that. This was a
13 great discussion and tomorrow Janice, as Merwin
14 said, Merwin has also put a lot of time into this
15 project for tomorrow. And we begin at 8:00 and
16 it's a packed agenda so I hope you're able to come
17 on time.

18 MS. LIN: And we're going to have
19 coffee.

20 CHAIR TIERNEY: Thanks to Janice.

21 MS. LIN: My treat, donation.

22 MR. CENTOLELLA: And for anyone who

1 wants to join the Smart Grid Subcommittee we will
2 have breakfast at 7:00 in the restaurant at the
3 Westin.

4 CHAIR TIERNEY: Excellent. And for
5 anyone who is available this evening there is also
6 dinner at 6:00 in the restaurant. And I
7 apologize. I have to go to a different function
8 tonight because I would love to join you. With
9 that, thank you very much and safe travels across
10 the street. See you tomorrow.

11 (Whereupon, the PROCEEDINGS were
12 adjourned.)

13 * * * * *

14

15

16

17

18

19

20

21

22

1 CERTIFICATE OF NOTARY PUBLIC

2 COMMONWEALTH OF VIRGINIA

3 I, Carleton J. Anderson, III, notary
4 public in and for the Commonwealth of Virginia, do
5 hereby certify that the forgoing PROCEEDING was
6 duly recorded and thereafter reduced to print under
7 my direction; that the witnesses were sworn to tell
8 the truth under penalty of perjury; that said
9 transcript is a true record of the testimony given
10 by witnesses; that I am neither counsel for,
11 related to, nor employed by any of the parties to
12 the action in which this proceeding was called;
13 and, furthermore, that I am not a relative or
14 employee of any attorney or counsel employed by the
15 parties hereto, nor financially or otherwise
16 interested in the outcome of this action.

17

18 (Signature and Seal on File)

19 Notary Public, in and for the Commonwealth of
20 Virginia

21 My Commission Expires: November 30, 2020

22 Notary Public Number 351998

