

117th Meeting
of the
NATIONAL PETROLEUM COUNCIL

WEDNESDAY, JULY 18, 2007

9:00 a.m.

Salons E and F

JW Marriott

1331 Pennsylvania Avenue, N.W.

Washington, D.C. 20006

Tele: 202-393-6100

A G E N D A

- I. **Call to Order and Introductory Remarks**
Lee R. Raymond, National Petroleum Council
- II. **Consideration of the Proposed Final Report of
The NPC Committee on Global Oil and Gas**
Lee R. Raymond, Chair, NPC Committee on
Global Oil and Gas
- III. **Remarks by the Honorable Samuel W. Bodman,
Secretary of Energy**
- IV. **Administrative Matters**
 - A. Report of the NPC Finance Committee
Claiborne P. Deming, Chair, NPC Finance
Committee
 - B. Report of the NPC Nominating Committee
Ray L. Hunt, Chair, NPC Nominating
Committee
- V. **Discussion of Other Business Properly Brought
Before the National Petroleum Council**
- VI. **Memorial Tribute to Frederick R. Mayer**
Robert L. Parker, Sr.
- VII. **Adjournment**

P R O C E E D I N G S

(Time Noted: 9:09 a.m.)

1
2
3 MR. RAYMOND: Good morning, ladies and
4 gentlemen. Will the 117th meeting of the National
5 Petroleum Council please come to order. I welcome to
6 all of you, members of the council, honored guests, and
7 members of the press and the public. We have what I
8 hope will be an informative session scheduled for
9 today.

10 For the members of the council with us today,
11 if there is no objection, I will dispense with the
12 calling of the roll. The check-in will serve as our
13 official attendance record. Any member or observer for
14 a member who has not checked in, please do so before
15 you leave to ensure we have an accurate record of
16 today's attendance.

17 We also have what has become familiar to many
18 of us, but is a relatively new feature for an NPC
19 meeting, an audience joining us via the web cast. The
20 Internet audience will be able to follow along with our
21 presentation today and will be able to download the
22 draft report at the end of the meeting. The web cast
23 is in response to the national interest in global oil
24 and gas and partly to allow NPC members who are unable
25 to attend today's meeting the opportunity to hear the

1 presentations and discussions live.

2 I know that a number of members are listening
3 and I extend to them a special welcome.

4 Our primary business this morning is to
5 review the work of the NPC Committee on Global Oil and
6 Gas, discuss their findings and recommendations and
7 vote on adoption of their proposed final report as the
8 report of the Council. For this purpose, we have
9 assembled the leadership of the study effort at our
10 head table. I would like to introduce to you for the
11 record the participants. On my immediate right is the
12 Council's co-chair, the Honorable Samuel Bodman,
13 Secretary of Energy. Mr. Secretary, we are pleased
14 that you are here with us this morning for the Global
15 Committee's presentation and we look forward to hearing
16 your remarks later this morning.

17 Next is the Honorable Clay Sell, Deputy
18 Secretary of Energy and the Committee's Government Co-
19 chair.

20 Next to Clay is John Humre, Vice Chair for
21 Geopolitics and Policy.

22 Next to John is Dan Yergin, Vice Chair for
23 Demand.

24 And on my far right is Marshall Nichols, the
25 Council's Executive Director.

1 Two vice chairs of the Global Committee are
2 absent; Dave O'Riley our Vice Chair for Supply returned
3 ill from an overseas trip, and Andrew Gould, Vice Chair
4 of Technology has his board meeting today. These
5 gentlemen worked extensively on the project and are as
6 disappointed as we that they are not able to be with us
7 here today.

8 At the table on my left are representatives
9 from the study's coordinating subcommittee. They are
10 the people who have done the work and they have worked
11 almost non-stop for a year and a half to make this day
12 possible. Alan Kelly chairs the coordinating
13 subcommittee and Jim Slutz serves as the subcommittee's
14 government co-chair.

15 Next, for demand, is Jim Burkhard, Don Paul
16 for Supply, Ed Chow for Geopolitics and Policy and for
17 Technology, Rod Nelson.

18 We now turn to the consideration of the
19 proposed final report of the NPC Committee on Global
20 Oil and Gas. Many members of the Council provided
21 their outstanding leadership as well as significant
22 commitments of their personal time and their
23 organization's resources in response to the Secretary's
24 request for this important study. And to those of you
25 who responded to my personal request to make people

1 available and commitment of time for the study, my
2 personal thanks to all of you for your support.

3 On behalf of the Committee I am most
4 pleased this morning to present the results of
5 this comprehensive study to the membership for
6 your consideration and action. Alan Kelly will
7 lead off the presentation. Alan.

8 MR. KELLY: Thank you, Lee, and good
9 morning, ladies and gentlemen, and thank you
10 for joining us this morning as key members of
11 the National Petroleum Council's Study's
12 Leadership Team present a summary of the 2007
13 report: Facing the Hard Truths About Energy.

14 I would also like to welcome all those
15 joining us via web cast.

16 On behalf of our team, I want to start
17 by thanking all the Global Committee members,
18 government co-chairs, colleagues of the NPC,
19 and the hundreds of participants who have
20 supported this massive undertaking over the
21 past 18 months.

22 Lee has already introduced the team on
23 the stage. Also in the room are the key
24 contributors from our leadership team. Adam
25 Sieminski, David Bellman, Scott Hoyte, David

1 Seaton, Guy Caruso, and I hope Terry Callahan
2 and Bill Sharpe, whom I haven't seen yet. My
3 thanks to you and to the other leaders not
4 present today who have put so much time and
5 effort into this project.

6 The American people, indeed people all
7 around the world, are very concerned about
8 energy, its availability, reliability, cost,
9 and environmental impact. In the United States
10 energy is also the subject of urgent policy
11 discussions. But energy is a complex subject
12 touching every part of daily life and the
13 overall economy, involving a wide variety of
14 technologies and deeply affecting many aspects
15 of international relations. And the facts
16 about energy are not widely understood.

17 Within this context the NPC has
18 completed a study which we hope will inform and
19 shape the energy debate, enhance widespread
20 understanding about the scale and significance
21 of the industry's activities and propose sound,
22 balanced strategies to meet today's challenges
23 and to benefit future generations.

24 The study document is weighty. It
25 really is weighty. There is a lot of meat in

1 this. And we hope that many of you have read
2 or will read it in its entirety including the
3 additional topic papers available on CDROM.

4 Our objective this morning is to
5 provide you with a very brief summary of what
6 we've done. We hope that this will stimulate
7 you to explore further.

8 The study origins date back to June
9 2005 when the Secretary of Energy, Sam Bodman,
10 delivered an insightful speech to this annual
11 NPC gathering. He outlined his views on the
12 considerable challenges facing the oil and gas
13 sector, noting that perspectives on the future
14 vary widely. At the conclusion of his remarks
15 Secretary Bodman said, and I quote, "There are
16 numerous areas where the NPC's expertise might
17 be brought to bear."

18 The NPC has responded to the challenge
19 and thanks to the efforts of many talented and
20 diligent people, has completed a report that we
21 believe provides a comprehensive view to 2030
22 of the energy future and we hope will be of
23 long-lasting value to the nation.

24 We have divided this team-based
25 presentation into three parts. First I'll

1 describe the approach taken by the group
2 explaining what makes this study different.
3 The team on stage will then explain what we
4 learned on the journey sharing our principle
5 findings which we have called "The Hard
6 Truths." These findings recognize the global
7 nature of the energy industry, the enormous
8 scale of our activities, and the very long
9 timelines involved in affecting material
10 changes across the supply chain.

11 Finally, the team will zoom-in on the
12 United States to explain our proposed
13 integrated set of cost strategies that we
14 believe are critical for the country to pursue.

15 The impetus of the global oil and gas
16 study began with a letter sent by Secretary
17 Bodman to the NPC in October of 2005. In that
18 letter the Secretary suggested three questions
19 that we might consider. What does the future
20 hold for oil and natural gas supply around the
21 world? Can additional supplies be brought on
22 line, on time, and at a reasonable price to
23 meet future demand without jeopardizing
24 economic growth? And what strategies on the
25 supply side and demand side would the Council

1 recommend the United States pursue to ensure
2 greater economic stability and prosperity?

3 We considered these questions deeply in
4 designing upfront an organization and
5 methodology to handle energy subjects that are
6 at once highly specialized but also
7 interdependent. Two separate teams were set up
8 to assess demand and supply. A third team
9 focused on technology. And a fourth team,
10 geopolitics and policy, considered what might
11 be called above-ground issues.

12 No analysis of the future of oil and
13 gas would be complete without consideration of
14 the potential alternatives to oil and gas,
15 biomass, other renewables, nuclear, coal. So
16 we organized expert resources to address such
17 topics through subgroups. In preparing our
18 findings and recommendations we were at pains
19 to consider all options through economic,
20 environmental and security lenses creating a
21 balanced set of outcomes not always obvious in
22 other parallel studies.

23 The efforts undertaken to gather
24 information and develop conclusions were truly
25 open and transparent with ideas recycled

1 continuously across and among diverse teams and
2 finally integrated into the report we present
3 to you for approval today.

4 Participation in the study has been
5 broad, over 350 participants have been engaged
6 from within the National Petroleum Council and
7 beyond. We were frankly overwhelmed by the
8 time and efforts offered voluntarily by so many
9 diverse organizations. Such is the general
10 interest in rising to the challenges ahead.
11 You will note about two-thirds of the
12 participants come from outside the oil and gas
13 industry bringing different and expert
14 perspectives. In addition we reached out to
15 over 1,000 third parties involved in the energy
16 sector for their ideas and opinions. There has
17 been an intense interest in this study and we
18 greatly appreciate the efforts of so many
19 talented people.

20 There are three reasons why we think
21 this study is different from many others.
22 First, we completed an in-depth analysis of all
23 the relevant data we could find with over 100
24 studies incorporated, including both public and
25 aggregated proprietary outlooks of demand and

1 supply. Let me stress that we did not attempt
2 to provide another forecast of demand or supply
3 or price. As you will see, our goal has been
4 to test the assumptions behind a wide range of
5 projections to understand why perspectives vary
6 so widely. And then from a position of
7 knowledge to suggest energy strategies that
8 might succeed for the nation.

9 I've already referred to the second
10 difference about this study, our team of 350
11 participants who come from backgrounds in all
12 aspects of energy including efficiency,
13 economics, geopolitics and the environment.
14 This was an amazingly talented group of people.

15 What also makes this study different is
16 the unique importance of our technology
17 assessment which span the energy spectrum to
18 consider in-depth the potential impact of new
19 and emerging technologies.

20 Let me dive into technology a little
21 deeper and show the range of subjects
22 considered. It's a long list covering topics
23 ranging from carbon capture and sequestration
24 to deep-water exploration to biomass fuels to
25 transportation efficiency. We asked more than

1 120 subject-matter experts in the technology
2 task group to investigate and come to agreement
3 on time horizons, research budgets, human
4 resource requirements, and deployment in each
5 specialist area. This task was achieved and
6 topic papers covering the outstanding work of
7 the technology teams are available on CDROM and
8 will be released with the full approved report.

9 So the approach to the study enabled us
10 to include a broad group of people assisting
11 our understanding of the complex energy world
12 summarized now in a set of findings. The
13 findings we have called, "The Hard Truths About
14 Energy."

15 There are six hard truths and the team
16 leaders on the stage will explain each. You
17 will hear about the hard truths relating to
18 demand; to supply; to energy sources; energy
19 security; the work force; and carbon emissions.

20 So let me begin by turning to the
21 demand task group lead, Jim Burkhard to talk
22 about the first hard truth.

23 MR. BURKHARD: Thank you, Alan. The
24 hard truth about demand is that even with the
25 development of biofuels and other nonfossil

1 fuel sources of energy, oil, gas, and coal will
2 remain indispensable to meeting projected
3 future demand growth.

4 The member countries of the
5 Organization for Economic Cooperation and
6 Development, the OECD, have historically been
7 identified as developed countries. Countries
8 outside of the OECD, the non-OECD countries,
9 have historically been identified as developing
10 countries. Whether those labels are still
11 appropriate is a question, but in any case they
12 do provide useful grouping when looking at
13 energy demand trends. The blue shaded
14 countries are OECD members, the yellow shaded
15 areas are non-OECD countries. We use this
16 color scheme in this presentation as
17 appropriate.

18 Income and population are two of the
19 most important variables that determine energy
20 demand. As prosperity rises and hence as
21 income rises, so does demand for energy. In
22 the years to 2030 global GDP is projected to
23 double with the highest percentage growth and
24 much of the absolute growth occurring in non-
25 OECD regions.

1 And as incomes rise so does demand for
2 energy. The reference case projections for
3 world energy demand show roughly a 50-60
4 percent increase in demand from 2005 to 2030.
5 Very soon, and for the first time in history,
6 non-OECD energy demand will exceed OECD energy
7 demand. This has geopolitical implications as
8 well which you will hear about in a few
9 minutes.

10 There is a wide range of expectations
11 about future energy demand levels. These
12 outlooks are from the United States Energy
13 Information Administration and the
14 International Energy Agency which is a
15 cooperative grouping of most OECD members.
16 These projections show significant long-term
17 growth in energy demand. Even at the low end
18 of these projections there is still a 34
19 percent increase in global energy demand to
20 2030. In volume terms that represents a gain
21 in global demand that is in excess of what the
22 U.S. currently consumes. So even at the low
23 end significant growth.

24 For some more context about what this
25 means in terms of energy demand, if you look at

1 oil and take a mid-range case for oil, in 2030
2 the world could be consuming about 57,000
3 gallons of oil per second.

4 This is the IEA reference case outlook
5 which is generally indicative of most of the
6 outlooks that we reviewed. We have seen
7 significant growth in non-fossil fuel energy
8 sources and more is projected. But because of
9 the total growth in global energy demand fossil
10 fuels will have to play a significant role
11 through 2030. This is the hard truth about
12 demand that fossil fuels are indispensable to
13 satisfy demand as global prosperity and incomes
14 increase.

15 Now, let's turn to Don Paul to hear
16 about supply.

17 MR. PAUL: Thank you, Jim.

18 The hard truth about supply is that the
19 world is not running out of energy resources,
20 but there are accumulating risks in continuing
21 expansion of oil and natural gas production
22 from the conventional sources relied upon
23 historically.

24 These risks, in the view of the study,
25 create significant challenges to meeting

1 projected total energy demand. I would like to
2 touch on three aspects of this that sit behind
3 this hard truth.

4 The first has to do with understanding
5 the resource base. There is much debate and
6 controversy about that today, but nonetheless
7 in the long term the natural resource base
8 ultimately derives the availability of
9 production and supply.

10 What you see in front of you is a range
11 of projections evolved over history based on
12 the U.S. Geological Survey of fossil ultimate
13 recoverable resources for oil. These tend to
14 be conventional views and its important to
15 understand that over time a couple of key
16 observations. One, while there's a diversity
17 of views, they tend to increase over time.
18 This is due to both changes in methodology but
19 certainly increases in geological knowledge and
20 data as well as advances in technology. As you
21 look at this ultimate recoverable resource,
22 about a trillion barrels of it has been
23 produced to date. These estimates naturally
24 have a broad range of variability due to both
25 geological uncertainty but importantly as well

1 to the lack of concrete data and information on
2 a global scale. These represent from
3 approximately a factor of two difference
4 between the high and the low end estimates of
5 what this conventional recoverable resource
6 base might be. This kind of range of resource
7 base is reflected often in some of the
8 projected forecasts of how this resource gets
9 converted into reserves in production.

10 Additionally for 2000 the USGS added a
11 view of unconventional resources.
12 Unconventional resources here shown in blue
13 have even greater levels of uncertainty but
14 include diversities such as tar sands and oil
15 shales which obviously expand the overall
16 resource base although they clearly represent
17 challenges. What's not shown here and what was
18 included in the study was a view of how one
19 would consider coal as a resource potentially
20 to be converted to liquid fuels and biomass
21 which was an individual study commissioned and
22 represents a new and perhaps significant source
23 of liquid fuel production in the future.

24 Indeed, as Secretary Bodman said, views
25 vary widely. What's represented in the plot is

1 a range of views -- a broad range of views of
2 the forecasted production in 2030, this is
3 total liquids production on a global scale. It
4 ranges almost 50 million barrels from top to
5 bottom, around 80 million barrels at the bottom
6 in the most conservative cases all the way to
7 the most aggressive cases to a little more than
8 130 million barrels. Why is this?

9 The key of the study and the approach
10 of the study was not as Alan Kelly said to
11 produce another dot, but rather to get behind
12 this range of forecasts and understand what are
13 the assumptions that drove the outcomes. And
14 in that begin to understand what are the key
15 drivers that would position us to address the
16 risk that might be seen in these projections.

17 There were three data sets collected.
18 And among the many used in this study, first
19 and foremost were probably what we would call
20 the integrated, standard datasets produced by
21 the EIA and the IEA; integrated in the sense
22 that supply and demand are connected together
23 in those. And in fact the EIA reference case
24 is shown here where the value in 2030 of
25 approximately 116 million barrels a day is

1 actually a supply number tied to the demand
2 numbers that Jim talked about a moment ago.

3 The second group of data was a very
4 broad cast. We cast the net very broadly to
5 collect information from all sources and treat
6 them fully and respectfully in the study and
7 included what many have referred to as the
8 "peak oil community." What you see in blue
9 here is actually from the Association for the
10 Study of Peak Oil. These represented the most
11 conservative representations of the forecast.

12 In addition we collected uniquely some
13 proprietary data. Now, proprietary data was
14 collected through a very careful controlled
15 process which removed any identification or
16 reference to specific inputs by individual
17 organizations. These had two major components
18 to them. One were the international oil
19 companies who naturally had a direct interest
20 in forecasting from a planning perspective as
21 well as a wide range of consulting groups.

22 You see in the center in the yellow dot
23 the IOC average. This is the average of the
24 International Oil Companies. I believe it's
25 significant, and the study shows it significant

1 that this number falls below the referenced
2 number. It may be hard to tell from the scale
3 but this is about 10 million barrels a day. Or
4 to put that in perspective about equivalent to
5 the current production of Saudi Arabia.

6 What underlies this distribution? It's
7 a range of things. Number one, assumptions
8 about the decline rates in the existing
9 production base. Assumptions in assessments of
10 the risk associated with the current reserve
11 estimates and their conversion to production.

12 Third, assumptions about technology and
13 the role it will play to enhance recovery from
14 existing fields.

15 Fourth, the rate and timing of major
16 investments including new discoveries in the
17 development of those discoveries.

18 And fifth, importantly, and I'll touch
19 on it later, the role that unconventional
20 fuels, fuels from non-traditional and
21 conventional oil, play in meeting the overall
22 liquid production that we see in the future.

23 As you can see with this other point
24 that was just added, the recent report from the
25 IEA on meeting current projections to 2012

1 falls in the midrange of projections. The
2 projections, of course, are much narrower since
3 this is a 2012 near-term forecast.

4 What we see from that is generally
5 reflected in the forecast with respect to gas.

6 A broad range of forecasts, however, the story
7 is slightly different. All lie above the
8 yellow line which is the historical trend of
9 growth for gas usage on a global basis. Mid-
10 rang forecasts come in at around 450 billion
11 cubic feet per day.

12 Unlike the case with oil, gas is less
13 developed on a global scale. Our understanding
14 of the range of these forecasts and the
15 resource base indicates that we can meet these
16 growth range to 2030 but two key aspects
17 emerge.

18 number one, to meet these mid-range
19 forecasts we will consume approximately 50
20 percent of the existing reserve base. The
21 implication for that is, a significant amount
22 of additional finding and development needs to
23 take place to replace those reserves.

24 The second issue which will come up
25 again later, you will see, and an issue that

1 emerged broadly in the study, is the fact that
2 the amount of infrastructure that must be added
3 on a global basis, pipelines, LNG, et cetera,
4 is significant and massive, in fact, to meet
5 this level of growth in this time frame.

6 What we, the team, sees then is an
7 accumulating set of risks both above ground and
8 below ground that indicate to us that there are
9 going to be significant challenges to meeting
10 projected energy demand particularly and
11 especially from conventional oil and gas
12 resources.

13 This leads us to a second hard truth
14 about energy sources. In order to mitigate
15 these risks, expansion of all economic energy
16 sources will be required. These include coal,
17 nuclear, biomass and other renewables, as well
18 as unconventional oil and natural gas. All of
19 these sources face significant challenges,
20 safety, environmental and political, economic
21 and in particular infrastructure requirements
22 that are necessary to connect the resource and
23 deliver energy to the end user.

24 Let me touch a bit on these issues.
25 This is a -- you've seen this data before. Jim

1 showed it, this is another representation. But
2 what it really says is, whether it's petroleum,
3 gas, coal, or other sources of energy, we are
4 going to need them all. Given the anticipated
5 and projected demand rates no one segment can
6 be missing in order to meet them. So we are
7 going to need all of them.

8 I would like to touch on one specific
9 aspect of these and that has to do with liquid
10 fuel production from unconventional sources.

11 The EIA forecasts in their reference
12 case approximately 9.5 million barrels a day
13 from what they call "unconventional liquids."
14 You can see them listed here. One of the
15 distinguishing differences between the EIA and
16 the IEA forecasts is the amount of
17 unconventional liquids produced. Indeed one of
18 the significant differences across the entire
19 spectrum of forecasts that we see is the
20 differences in their views about the timing and
21 level of the development of these
22 unconventional fuels.

23 We have conducted in the course of this
24 study a number of detailed topic papers, as
25 Alan pointed out, particularly with respect to

1 all of these elements including biofuels and
2 coal to liquids.

3 A final point, again, a point that came
4 up in many aspects of the supply and demand
5 studies is that what infrastructure -- and this
6 is infrastructure at large which includes
7 transportation, storage, manufacturing, and
8 conversion. All of these elements are
9 necessary to understand how supply and demand
10 will connect. And, in fact, in many cases how
11 supply will get into the market and how the
12 demand markets will access them.

13 A comprehensive study was conducted
14 with respect to this infrastructure. What we
15 discovered in that study was in fact that
16 infrastructure generally is not accounted for
17 in a direction fashion in many of these
18 forecasts. Those forecasts, of course, which
19 do not connect supply and demand in many cases
20 assume nothing directly about infrastructure,
21 but even the integrated forecasts generally
22 assume that infrastructure will show up.

23 What's implied by a combination of
24 significant growth and supply needed to meet
25 the demand projections, the shifts in those

1 demand centers as you will hear more about, but
2 in particular with the growth of unconventional
3 resources, much of which requires new
4 infrastructure, all of these together point to
5 a massive investment in the system forecasted
6 by some such as the IEA to exceed \$20 trillion
7 that will need to take place over the next
8 several years. So what while we see
9 opportunities and we see resources, the hard
10 truth is the challenges ahead of us to meet, to
11 provide -- to meet the demand and provide the
12 supply that we need in the future are going to
13 be daunting.

14 MR. CHOW: The hard truth that we came
15 to on energy security is energy independence
16 should not be confused with strengthening
17 energy security. The concept of energy
18 independence is not realistic in the
19 foreseeable future. Whereas U.S. energy
20 security can be enhanced by moderating demand,
21 expanding and diversifying domestic energy
22 supplies and strengthening global energy trade
23 and investment. There can be no U.S. energy
24 security without global energy security.

25 Many of the risks to energy security

1 are above ground. For example, the geographic
2 distribution of resources. As conventional oil
3 production in traditional areas such as in
4 North America continue to decline available
5 resources will be increasingly concentrated in
6 regions like the middle east and the former
7 Soviet Union. That's not only where
8 incremental argument come from emerging
9 economies as Jim showed earlier, conventional
10 oil production will also shift increasingly to
11 a few major oil producing countries.

12 If we add unconventional resources such
13 as oil sands, bitrimin or oil shale to the
14 picture, the situation improves for North and
15 South America. However, increasing
16 unconventional production at scale requires
17 long lead times and carries their own
18 challenges including environmental ones.

19 Shifting demand and supply patterns
20 will lead to shifting flows of oil and gas. If
21 we compare oil flows today to what they might
22 look like by 2030, a lot more long-haul cargos
23 will be shipped out of the Persian Gulf, Russia
24 and the Caspian region. The shift in demand
25 and supply also raises the question of whether

1 the ruse of the international oil game will
2 change or indeed may have already started to
3 change with market-driven trade and investment
4 no longer a lock key, universally held
5 objective.

6 Issues like resource nationalism that
7 limit access for development by the
8 international industry has taken on renewed
9 importance. The contrast is even more dramatic
10 in the case of gas with a big jump in long-
11 haul, interregional gas flows. If we look at
12 what future liquefied natural gas flows might
13 look like, tanker movements will be increased
14 greatly from producing areas to the U.S. and
15 major consumers in East Asia. This is another
16 illustration of the challenges over building
17 massive new infrastructure for liquefaction,
18 transportation, receiving and regasification
19 for expanded LNG trade to take place.

20 More than half of the international oil
21 movements today go through half a dozen choke
22 points. This vulnerability will likely
23 increase over time. Without demand moderation
24 and increasing domestic liquids production, net
25 U.S. imports will continue to grow as it has in

1 the last 30 years.

2 Now we turn to the issues related to
3 our capacity for meeting these future energy
4 needs.

5 MR. NELSON: Thank you, Ed.

6 It's a hard truth that a majority of
7 the U.S. energy sector work force including
8 skilled scientists and engineers is eligible to
9 retire within the next decade. The work force
10 must be replenished and trained. The oil
11 industry experienced a hiring surge in the late
12 '70s and early '80s followed by an extended
13 period of decline resulting in the peak you see
14 on this graph of age distribution at around 50
15 years.

16 An influx in the last couple of years
17 of new talent has not made up for decades of
18 depressed activity. And we have a demographic
19 result of over half of the work force 45 years
20 of age or older and eligible for retirement
21 within the next decade. In the industry we
22 refer to this as the "big crew change." The
23 work force must be replenished. But this
24 challenge is exacerbated by an overall shortage
25 of science and engineering graduates,

1 particularly women and minorities, the industry
2 image and competition from other industries.
3 This issue is not exclusive to the U.S. This
4 map depicts one calculation of the net deficit
5 or surplus of geosciences graduates by country
6 for the next ten years. Those countries in
7 green have either limited data or are near
8 balance.

9 The U.S. could fill its deficit by
10 importing talent. But we will be in
11 competition with other countries who face
12 similar needs. And immigration policies would
13 have to be revisited.

14 Our last hard truth relates to carbon
15 emissions. Policies aimed at curbing carbon
16 dioxide emissions will alter the energy mix,
17 increase energy-related costs and require
18 reductions in demand growth. Carbon dioxide
19 emissions from continuing use of fossil fuels
20 are a growing concern. We took a pragmatic
21 approach to carbon management including
22 technical, environmental, and regulatory
23 considerations with the help of a very
24 distinguished team of diverse experts from
25 within and outside the oil and gas industry.

1 Several factors combine to make this a long-
2 term global challenge including the fact that
3 atmospheric CO₂ concentrations are cumulative,
4 long-lasting, and don't conform to geographic
5 boundaries due to rapid mixing in the
6 atmosphere. The scale and complexity of the
7 challenge to meaningfully reduce carbon
8 emissions is daunting. Let me try to put it in
9 perspective for you.

10 The U.S. currently emits about six
11 billion tons of CO₂ per year. To put it at a
12 personal scale, that's a 115 pounds per person
13 per day or 20 times the solid waste production
14 of an average person. In terms of
15 sequestration volumes or storing those volumes
16 in the subsurface securely a one gigawatt coal-
17 fired power plant produces 150,000 barrels of
18 liquefied CO₂ per day. So it's a significant
19 challenge. But this industry is used to
20 overcoming large challenges and we deal with
21 those kind of volumes every day.

22 This slide follows from what you have
23 already seen in terms of energy demand growth
24 accelerating in non-OECD countries. Obviously
25 CO₂ emissions follow. In fact, they're

1 accelerated because the fossil fuel mix in non-
2 OECD countries is higher than in developed
3 countries.

4 Looking at the same data another way,
5 we can see that the U.S. and China together
6 make up 40 percent of the world's total CO₂
7 emissions going forward. So we can clearly see
8 this is a global issue requiring global
9 solutions. So while addressing carbon concerns
10 we need to continue to enable the use of fossil
11 fuels beyond this study time frame. A carbon-
12 constrained world requires moderating demand by
13 improving energy efficiency across the
14 transportation, industrial and commercial
15 sectors, accelerating development of low-carbon
16 energy, and finally implementation of large-
17 scale carbon capture and sequestration at large
18 foreign sources, something the oil and gas
19 industry is well-suited to do.

20 That's the six of our hard truths. Let
21 me turn it back over to Alan.

22 MR. KELLY: Thank you, Rod. So you've
23 had a brief summary from the team about our
24 findings, the hard truths. As those of you who
25 have studied the report will know, there is a

1 considerable amount of analysis to support
2 these findings in the detailed study and topic
3 papers. As I said earlier, the American people
4 are very concerned about energy, it's
5 availability, reliability, cost, and
6 environmental impact. To address these
7 concerns the team proposes five core strategies
8 to assist markets in meeting the energy
9 challenges to 2030 and beyond. All five are
10 essential and we are confident that the prompt
11 adoption of these strategies along with a
12 sustained commitment to implementation will
13 promote U.S. competitiveness by balancing
14 economic, environmental and security goals.

15 The strategies are as follows:

16 First, moderating demand by increasing
17 energy efficiency.

18 Second, expansion and diversification
19 of domestic U.S. energy supply.

20 Third, strengthening global and U.S.
21 energy security.

22 Fourth, reinforcing the capabilities to
23 meet the new challenges.

24 Fifth, addressing carbon constraints.

25 All of these strategies will be

1 essential. There is no easy solution to the
2 multiple challenges we face. So let me now
3 turn to the team again to provide more
4 background on each of these strategies.

5 MR. BURKHARD: For demand there are
6 three pillars that support the objective of
7 moderating demand. The first one is to improve
8 the fuel efficiency of light-duty vehicles,
9 cars and light trucks. If moderating oil
10 demand growth is a key objective, then
11 improving the efficiency of light-duty vehicles
12 can have a big impact. Just under half of the
13 21 million barrels per day of oil that the U.S.
14 consumes each day, just under half is used by
15 light-duty vehicles.

16 The potential impact of a doubling of
17 new vehicle fuel economy by 2030, in other
18 words, of new vehicles in 2030 have doubled the
19 fuel economy of today, the potential fuel
20 savings is about three to five million barrels
21 per day. Of our demand recommendations this
22 one has the biggest potential energy savings.

23 The second pillar is to improve
24 efficiency in the U.S. residential and
25 commercial sectors. About 40 percent of U.S.

1 energy is consumed in the residential and
2 commercial sectors. And to follow through on
3 this objective of increasing efficiency, there
4 are three steps. One is to update building
5 codes, cost effective energy building
6 technologies have outpaced most government
7 standards.

8 Second, enforce building codes. Some
9 jurisdictions report that one-third or more of
10 new buildings do not comply with energy code
11 requirements.

12 The third is, develop new energy
13 efficiency standards for products that are not
14 currently covered such as digital products
15 which do not have energy efficiency standards.

16 The potential energy savings of
17 improving the efficiency in the U.S.
18 residential and commercial sector is about
19 seven to nine quadrillion Btu's. Now, for
20 context in 2005 the U.S. consumed about 100
21 million -- excuse me, 100 quadrillion Btu's.

22 The third pillar is to improve
23 efficiency in the U.S. industrial sector. The
24 industrial sector consumes about one-third of
25 U.S. energy. In U.S. energy-intensive industry

1 the manufacturers rely on internationally
2 competitive energy supplies to remain
3 competitive. Across the industrial sector
4 there are opportunities to increase energy
5 efficiency by about 15 percent. The potential
6 savings in the industrial sector is about four
7 to seven quadrillion Btu's by 2030, about equal
8 parts coal, gas and oil. Those are the three
9 pillars that support the recommendation of
10 moderating demands.

11 MR. PAUL: Let me continue to discuss
12 the core strategies with respect to expanding
13 and diversifying the U.S. energy supply. This
14 has three key components as well.

15 First is to reduce the decline in the
16 conventional U.S. oil and gas production base.

17 The U.S. is the largest historical producer of
18 oil and gas and remains the third largest
19 producer in the world. At this level, all
20 efforts that can retain as much of the U.S.
21 conventional production base will contribute
22 significantly to the stability of U.S. supply.

23 A couple of particular notes associated
24 with the U.S. include the ability to maintain
25 the production from marginal wells. These are

1 -- there are hundreds of thousands of them.
2 They produce only a few barrels today, but in
3 aggregate contribute 17 percent to the U.S.
4 production base. In addition, because of the
5 maturity of the U.S. production base and mini
6 basins, the ability to advance and recover more
7 hydrocarbons from the existing resource base
8 through the application of advanced recovery
9 technologies is essential as well.

10 The U.S. to expand and diversify supply
11 needs to increase its access for new energy
12 development. In particular the study team
13 recommends that a national and regional
14 oriented resource and market assessment be put
15 together to identify the best opportunities,
16 opportunities that beat economic energy
17 security and environmental standards to add to
18 U.S. production.

19 Finally, the third leg is to diversify
20 the long-term energy production. In the slide
21 that I showed about the EIA data on
22 unconventional fuel production, the referenced
23 forecast goes from three million to nine plus
24 million barrels a day. To put that in context,
25 that's the equivalent of adding the entirety of

1 another U.S. production base. This is a
2 significant challenge.

3 The good news for the United States is
4 that it has unique and material unconventional
5 resources as Ed showed in his slide. One of
6 them, as we have discovered from our study, is
7 a significant biomass resource base. The study
8 recommends the acceleration of the development
9 of energy from biomass. This includes
10 obviously facing the challenges of advancing
11 the technology for both growing energy crops,
12 converting energy crops, and of course,
13 importantly, developing the infrastructure
14 required to convert new biofuel production and
15 bring it to market.

16 The second one also reflects the unique
17 U.S. position with respect to the resource of
18 coal. Coal, of course, today contributes
19 significantly to the U.S. electrical production
20 base. It can also in the view of the study and
21 in many forecasts contribute substantially in
22 the long term to fuel production. But to do
23 this, coal must be enabled environmentally to
24 be environmentally viable over the long-term
25 for power fuel and feedstock.

1 As a practical matter, this means
2 dealing with the carbon issue as Rod discussed
3 earlier and will add comments later.

4 Coal is a special case for the United
5 States. The U.S. is one of the largest
6 producers. It has, by some measures, the
7 largest reserve base. Clearly long-term
8 environmental viability of coal is essential.

9 Surprising to some may be a
10 recommendation with respect to expanding
11 domestic nuclear capability. Note that the
12 study did not recommend material expansion in
13 the nuclear power plant fleet, but rather
14 recommended reestablishing U.S. leadership
15 capability. Historically the U.S. was the
16 leader in technical and industrial capacity
17 around nuclear energy several decades ago. In
18 a world that's carbon constrained nuclear
19 energy is going to play a role. The U.S. is
20 currently the world's largest nuclear power
21 producer. However, as nuclear energy future
22 evolves, it's essential from both an energy
23 point of view and from a national security
24 point of view the U.S. regain its technical and
25 industrial leadership.

1 MR. CHOW: As we said before, we cannot
2 separate U.S. energy security from global
3 energy security. The interdependent nature of
4 this relationship as demonstrated in the
5 aftermath of Hurricanes Katrina and Rita means
6 that both the U.S. and the world depend on the
7 stability and reliability of the international
8 energy system. Therefore, the U.S. should
9 elevate attention to our energy policy goals to
10 the same level as traditional security foreign
11 and trade policy objectives in order to avoid
12 unintended consequences from other policies
13 that impact our energy concerns; and to take
14 advantage of opportunities to advance our
15 energy security provided by trade and other
16 bilateral and multilateral negotiations.

17 As the world's largest energy consumer
18 and ourselves a major producer of oil, natural
19 gas and coal, the U.S. is uniquely positioned
20 to lead the dialogue between major producing
21 and consuming countries for the purpose of
22 seeking common ground to protect the legitimate
23 interests of both sides. And the important
24 part of that dialogue should promote market
25 transparency and encourage open trade and

1 investment in energy. Given the long lead time
2 and large capital requirements of the energy
3 industry, one of the major uncertainties for
4 large investments to go forward is the
5 stability of the international system.

6 Another area where the U.S. can play a
7 natural leadership role is in energy efficiency
8 and the speedy adoption of new technologies.
9 Especially to help developing countries and
10 emerging economies where so much of demand
11 growth is projected to improve their energy
12 efficiency.

13 MR. NELSON: The U.S. has historically
14 been the leader in energy technology and
15 education. In the U.S. competitiveness will be
16 enhanced by increasing the enrollment in
17 science and engineering schools in general in
18 energy curriculums in particular. The creation
19 of research opportunities at U.S. universities
20 and national labs will reinforce our capability
21 and leadership. As you have seen through this
22 presentation the scarcity of data from which
23 parties make recommendations fuels diversity of
24 opinion and uncertainty and is one of the
25 reasons opinions vary widely.

1 As the supply and demand centers shift
2 eastward without action, the current problem
3 may get worse. The USGS should take the lead
4 in developing a new inventory of global
5 endowment and recoverable resources including
6 unconventional. Infrastructure, a critical
7 piece of the energy chain, has historically
8 been neglected and we can no longer afford to
9 do so. A concerted effort to forecast the
10 infrastructure needs going forward is critical
11 to the U.S. particularly with respect to
12 electrical demand and distribution in
13 alternative fuels.

14 Lastly, let's address carbon
15 constraints. The biggest hurdle to large-scale
16 implementation of carbon capture and
17 sequestration is the lack of a defined, legal,
18 and regulatory environment. This must be
19 resolved as soon as possible to allow industry
20 to go to work. Reducing carbon emissions is a
21 long-term, global issue and must be dealt with
22 as such. It's also an opportunity for U.S.
23 leadership. As policymakers consider carbon
24 constraints we urge them to consider that a
25 transparent, predictable, economy-wide cost for

1 CO₂ emissions will allow the market to find the
2 most efficient means of addressing this complex
3 challenge.

4 MR. KELLY: Thank you, Rod, and to all
5 my other colleagues on the stage. In summary,
6 the National Petroleum Council Study Team
7 believes that all five of the strategies you
8 just heard described must be addressed together
9 to meet tomorrow's energy challenges. Global
10 cooperation will be required with the United
11 States playing a leading role in all aspects of
12 the energy debate and actions must begin now
13 for the plan for sustained commitment over the
14 long term.

15 I'd like to close this presentation by
16 providing an illustration of the potential
17 effects in the United States for liquid fuels
18 of implementing the recommended strategies
19 using the latest U.S. Energy Information
20 Administration reference case as a start point.
21 The EIA base case projects liquid fuels demand
22 growth to around 25 million barrels a day by
23 the year 2030.

24 On the supply side domestic production
25 of liquid fuels also grows over the period as

1 unconventional fuels and biofuels offset the
2 decline in the conventional base. The growing
3 gap between supply and demand is essentially
4 net imports. And bridging that gap will depend
5 upon U.S. interaction with global markets.
6 Implementation of the NPC recommended
7 strategies would have a dramatic impact on this
8 outlet. The demand moderation effects reduce
9 the slope of the upper curve as liquid volumes
10 are reduced. On the other hand, the strategies
11 to moderate the decline of conventional
12 supplies and to further expand and diversify
13 domestic supply changes the shape of the lower
14 curve. The combined effect of the strategies
15 will reduce the gap between domestic supply and
16 demand by about one-third over the time period
17 improving the outlook for energy availability,
18 reliability, cost, and environmental impact.

19 So thank you for taking the time to
20 listen to the team's presentation. Our report
21 outlines more fully the challenges posed by the
22 world's integrated energy system and the
23 opportunities to secure a more reliable energy
24 future. We look forward to sharing this study
25 and its results with broader audiences in the

1 future. So thank you. Lee.

2 (Applause.)

3 MR. RAYMOND: Thank you, Alan, and all
4 members of your team far and wide who
5 participated. Before I open the meeting to
6 questions and comments from the floor, I would
7 like to ask my committee co-chair and the vice
8 chairs for any comments they have. Clay.

9 DEPUTY SECRETARY SELL: Thank you, Lee.

10 I would just like to thank the Secretary for
11 asking me to serve as your government co-chair
12 on the executive committee. It has been an
13 important task and an enriching source of work.

14 And I just want to add my voice on behalf of
15 all of the members of the executive committee,
16 my voice of thanks for the great work that Jim
17 Slutz from the Department of Energy, Alan
18 Kelly, Jim Burkhard, Don Paul, Ed Chow, Rod
19 Nelson and their teams did in producing what I
20 believe to be a comprehensive and outstanding
21 study. Thank you.

22 MR. RAYMOND: John.

23 MR. HUMRE: Good morning, everybody.
24 My name is John Humre, I'm the President of
25 CSIS. We are not an energy concern, we are a

1 Washington think tank. We started off as a
2 defense think tank during the cold war; that's
3 only about 25 percent of our work now. The
4 bulk of our work is regional studies, about 40
5 percent. And that's why we were brought in.
6 We were brought in to help coordinate the
7 above-ground problems associated with this
8 question of oil/gas supply and demand.

9 And we were brought in to help
10 coordinate the policy recommendations. Now,
11 they wanted us in because they wanted us to
12 reach out to a broader circle of people that
13 are involved in all this. And I mention this
14 very intentionally to say there's a stereotype
15 in this town that the oil and gas guys are a
16 bunch of secretive and manipulative guys. And
17 I tell you, we do a lot of studies. I do about
18 130 studies with my think tank and this was the
19 most open and transparent group that we've
20 worked with. You know, they sat, they argued,
21 they listened to each other and they changed
22 their mind. And I just have to say that
23 because I think that is not understood.

24 Now, one substantive comment. This is
25 a town where everybody is talking about energy

1 independence and that's a slogan, that ain't a
2 strategy. This is a strategy. This is
3 something you could actually do. You could
4 take these recommendations, you could implement
5 it and it would make a difference. And it's
6 coming from the community that reached out and
7 brought in a very wide circle. There are 53
8 pages of the people that participated in the
9 study effort, Mr. Secretary, you know,
10 completely across the board, over 1,000 people.

11 And this is a study that America could
12 implement and we really ought to pay attention.
13 And it's coming from the oil and gas guys. And
14 I think it's important to note that.

15 Thank you very much.

16 MR. RAYMOND: Thanks, John. Dan.

17 MR. YERGIN: Thank you. First I'm Dan
18 Yergin. I would like to also really
19 congratulate the team leaders and the teams for
20 terrific work on this. I would like to confide
21 something. There are many things that were
22 hard about this report, but one of the hardest
23 things was to write the executive summary. The
24 reason for that was not because of wide
25 discord, but because the subject itself, the

1 material, is so rich and so I really do urge
2 you to look through the whole report. It
3 contains an immense amount of learning.

4 I would like to just add a point on the
5 energy efficiency side that really this report
6 does make clear that energy efficiency
7 conservation is one of the key parts of our
8 energy mix and our energy strategy. There's a
9 very solid foundation for it. The U.S. is
10 twice as energy efficient today as it was last
11 time we had energy crises and we have better
12 tools today to become more efficient in the
13 future. We recognize and the study recognizes
14 that this is different because the investment
15 patterns are different. They involve thousands
16 and thousands and thousands of decisions rather
17 than just sort of more focused decisions. I
18 can say that the energy conservation, energy
19 efficiency side had a very vigorous debate.
20 There are a lot of viewpoints, a lot of
21 perspectives, a lot of dialogue, a lot of
22 learning, and I guess we would say a lot of
23 discussion but came to a common ground. And I
24 think it's a very powerful message that's
25 reflected in the nature of the recommendations.

1 Significant energy savings potential is
2 part of the mix, it's possible. Jim Burkhard
3 pointed out to vehicle fuel efficiency. Just
4 to give you one number and it goes back to what
5 Alan was talking about, with the fuel
6 efficiency standards we talk about in the study
7 in terms of new vehicles by 2030, we would be
8 saving three to five million barrels a day of
9 oil compared to what would otherwise be the
10 case. We can see the same on the others.

11 And I think to tie it together, what
12 ties it together for me, Don Paul used a term
13 and it's one that reoccurs in the study about
14 accumulating risk to supply. But this study,
15 it seems to me, set out to be comprehensive.
16 As I read it, looking at it now, it's
17 realistic, it's also optimistic because it
18 talks about accumulating opportunities to meet
19 the kind of challenge before us and greater
20 energy efficiency is certainly part of that --
21 part of the accumulating opportunities and is
22 an important part of this comprehensive picture
23 that's being presented here today.

24 Thank you.

25 MR. RAYMOND: Thanks, Dan.

1 Don on behalf of Dave O'Riley?

2 MR. PAUL: Yes on behalf of Dave
3 O'Riley who regrets that he returned ill from a
4 trip and couldn't come today a couple of key
5 things. Obviously thanking the team for their
6 considerable effort that was made.

7 The breadth of the study Dave commented
8 was essential. Even though the questions were
9 directed at oil and gas, the world today is
10 about fuel and power. And that means a broader
11 study was essential and I think everyone would
12 agree having taken that path we came to
13 conclusions, we came up with strategies we
14 would not have come up with otherwise.

15 In the end a number of things emerged
16 that may have surprised some, didn't surprise
17 Dave, but I think maybe surprised some who see
18 a study from the NPC efficiency,
19 diversification, infrastructure, technology,
20 all of these things are the keys to achieving
21 the -- to capturing opportunities that Dan
22 mentioned.

23 And then finally something that's
24 important that the magnitude of the effort
25 facing us means you have to start now and

1 you've got to keep after it. Not just a year
2 or two years, but for decades. Those are
3 Dave's comments.

4 MR. RAYMOND: Rod, on behalf of Andy.

5 MR. NELSON: Just a quick comment. I
6 think most of what Andrew actually told me this
7 morning has already been said. But one
8 addition and that is that he said he hopes that
9 this excellent report will be used both within
10 the U.S. and internationally to inform the
11 energy debate. And he's quite confident that
12 those countries we reached out to and actually
13 were actively engaged in participating in this
14 study will find this report useful as well.

15 MR. RAYMOND: Thank you. Do I have a
16 motion that the NPC approve this report subject
17 to final editing and approve the transmittal
18 letter to Secretary Bodman.

19 PARTICIPANT: So moved.

20 MR. RAYMOND: Is there a second?

21 PARTICIPANT: Second.

22 MR. RAYMOND: Are there any council
23 members who have questions or comments on the
24 proposed final report?

25 (No response.)

1 MR. RAYMOND: We have a motion and a
2 second to adopt the proposed final report of
3 the NPC Committee on Global Oil and Gas. All
4 in favor.

5 (Chorus of ayes.)

6 MR. RAYMOND: Opposed?

7 (No response.)

8 MR. RAYMOND: The report is adopted.

9 I want to thank the vice chairs of the
10 committee, the chairs of the subcommittee, and
11 the task groups and the multitude of volunteers
12 who helped complete the work. All of you have
13 done an excellent job. And I think that it
14 will turn out to be a very important report.

15 Mr. Secretary, it is with great
16 pleasure that the National Petroleum Council
17 submits this report to you. The effort that
18 went into this study was exhaustive and through
19 and, as you have heard, involved over 350
20 participants. We are particularly grateful to
21 you for the cooperation and support you
22 provided from your department as well as from
23 other governmental agencies here and around the
24 world. We trust you and others in national,
25 state, and local governments will find our

1 advice useful in addressing energy policy
2 decisions. The Council looks forward to
3 sharing these study results with you, the
4 administration and the public.

5 Our next agenda item is to hear from
6 the Secretary of Energy and we are honored to
7 have him here with us this morning. He needs
8 no introduction. So, Mr. Secretary, the floor
9 is yours.

10 SECRETARY BODMAN: Thank you, Lee. I
11 want to thank you for the extraordinary
12 leadership you have provided for the NPC. I
13 want to thank all the members of the NPC. I
14 want to thank Marshall Nichols who has been the
15 executive director of the NPC and done a
16 terrific job. They are appreciated by me as
17 well as I know by you.

18 (Applause.)

19 SECRETARY BODMAN: Now, I should tell
20 you that I've had the benefit of some summary
21 information, but I have not frankly read the
22 report in detail for various reasons that
23 relate to the conduct of this activity. But
24 the thoroughness of the briefing that has been
25 provided here today is very -- I find it very

1 impressive, and the commitment that is in this
2 room I find very impressive. The fact that we
3 have this quality, number, and capability of
4 the people here and that you were as quiet as
5 you were during and for as long, I find a very
6 impressive thing.

7 (Laughter.)

8 SECRETARY BODMAN: This was clearly
9 something that people wanted to listen to. I
10 consider this having started this, this is
11 truly a landmark effort, in my judgment. I
12 asked you to accomplish some things, but you've
13 gone far beyond that which I had expected and I
14 thank you all for that. As you all are aware,
15 as we all are aware, we are at a very critical
16 stage in developing an energy policy for this
17 country and for the globe. The projected
18 increases in the demand for power and for fuel
19 arise out of our belief that both the U.S.
20 economy and the global economy will continue to
21 grow, and that's a good thing. But our
22 increasing needs here at home and the
23 increasing needs around the world for more and
24 more energy stock requires us to soberly assess
25 what we will look like in the future and how to

1 play for how we will get to that future.

2 The President has been very keenly
3 aware of this need for some time, from the very
4 earliest days of his administration. The
5 National Energy Policy which lead to the Energy
6 Policy Act of 2005 were important steps
7 forward, but they were the beginning of the
8 journey and certainly not the end. In 2005
9 when I asked you all to study the future, I
10 know that I was asking you to take on a big
11 task and that we however had made the decision
12 that to understand our energy system we needed
13 to commission superior analytic work utilizing
14 the expertise available to us only in the
15 private sector as well as in academia and the
16 scientific community of this country.

17 In the context of concerns over
18 production and supply brought on by Hurricanes
19 Katrina and Rita, over adequate energy
20 investment, and because of the challenges that
21 were starting to appear in larger energy
22 projects I asked the National Petroleum Council
23 to embark on what at least to my mind would be
24 one of the most comprehensive studies of
25 current and future global oil and natural gas

1 supplies every conducted. Specifically I asked
2 you all to look at what the future holds for
3 global oil and natural gas supplies. Whether
4 incremental supplies can be brought on, on time
5 and at a reasonable price to meet future demand
6 without jeopardizing economic growth and to
7 recommend both supply and demand sides
8 strategies that the United States can pursue to
9 ensure greater economic stability and
10 prosperity.

11 The NPC took up my challenge and has
12 completed this task in a way that as I said, I
13 think is not just going to credit all of those
14 who are involved in it, but I feel real
15 responsibility to put this to the best possible
16 use in the future.

17 As I said a moment ago, I appreciate
18 the thoroughness of the briefing here this
19 morning. I am very impressed by it and by the
20 broad representation of sectors and interests
21 that were asked to participate. The fact that
22 we had over 350 participants from a variety of
23 disciplines inside and outside the oil and gas
24 industry as well as consultants and efficiency
25 advocates, and the financial community,

1 academia, professional societies, as well as
2 individuals from environmental groups, NGOs, as
3 well as the government. And from what I can
4 tell, you sought the best data, the best ideas,
5 the best assessments no matter where they could
6 be found. As I understand it, you even reached
7 out to other countries. I know that we, for
8 our part, to assist you in your efforts, we
9 engaged energy ministers in some 19 countries,
10 and I'm pleased to say that many of those
11 individuals, as I understand it, provided
12 constructive input and responses.

13 The study process included significant
14 technology and geopolitical analysis as a part
15 of its organization. And that goes beyond a
16 typical supply and demand analysis. It
17 included a significant international outreach
18 and opportunity for participation and data
19 input from international companies and global
20 organizations.

21 You have created a product, in my view,
22 that is different from other studies. It
23 usefully identifies strategies for
24 consideration by policy and decisionmakers at
25 all levels of government and industry. It is

1 extraordinarily comprehensive in its analysis
2 and its proposed path forward saying
3 essentially that as demand grows all forms of
4 energy traditional and alternative, fossil
5 fuels and renewables will be needed to meet the
6 world needs. It is based on a broad and deep
7 analytic foundation encompassing more than 100
8 projections, I think I heard you say, including
9 a unique system for compiling proprietary
10 forecasts while protecting the confidentiality
11 of the data.

12 The system is also transparent so that
13 anyone who wishes to understand how the data
14 were used can have access to the dataset. And
15 you all know the importance that I place
16 personally on transparency.

17 Let me assure you, the members of the
18 NPC before me, that my interests in what you
19 have produced will not end with this meeting.
20 I will read the report thoroughly and consider
21 its recommendations with great care. In fact,
22 I have already begun to mull them over while I
23 was listening to the reports this morning.

24 The breadth of the study, the
25 comprehensive nature of both its analysis and

1 its recommendations makes it a useful and
2 important tool as we move ahead and shape the
3 future U.S. Energy policy.

4 In these times of rapid price
5 fluctuations, shrinking production margins,
6 global uncertainty and conflicting opinions on
7 the state of the world's reserves we need and
8 appreciate the collective global expertise
9 represented in this report. Your input is a
10 valuable part of our long-term strategic
11 planning as we try to ensure America's current
12 and future energy security as well as our
13 economic prosperity while meeting the
14 challenges that a growing global economy poses
15 for the world's energy security.

16 These are hard facts and hard facts
17 require us to plan for wise choices now and in
18 the future. The need to do this is, as I think
19 you know, central to our administration's
20 energy policy. We understand full well and
21 your report reflects this, that oil and gas,
22 oil and natural gas will retain their
23 preeminent position in the hierarchy of U.S.
24 energy supplies for some time to come. But we
25 must be mindful of both our environmental

1 responsibilities and the needs for future
2 generations so that we have to aggressively
3 pursue new energy options and alternatives.

4 By this I mean not only solar and wind
5 power, but among other strategies the increased
6 use of nuclear power, environmentally
7 responsible electricity generation through
8 coal-fired plants that utilize carbon capture
9 and sequestration technology and greater
10 reliance on biosciences and biofuels to produce
11 fuels for use in the transportation sector.

12 Now, the President, as you know, has
13 called for us to take steps to decrease
14 domestic gasoline usage. The cornerstone of
15 this proposal is an effort to reduce the
16 projected consumption of gasoline by 20 percent
17 in ten years, and that is a formidable
18 undertaking. The 20 in ten plan calls for an
19 increase in fuel economy standards for motor
20 fuels that should produce a savings of about 5
21 percent, with the other 15 percent coming from
22 a new renewable energy standard that will
23 supplement gasoline as a transportation fuel
24 much as is suggested in this report. And we
25 are doing that by an increase in the amount of

1 biofuels, with ethanol, E85, biodiesel and the
2 like that will be used in the transportation
3 sector.

4 Our goal was to do more with less
5 rather than to force the American people to do
6 less because the supplies are not available.
7 It is my firm belief that America's business
8 community, academia, and scientific world can
9 and will lead in helping us to meet this
10 challenge head on, but it is a very formidable
11 challenge.

12 It is the role of the Department of
13 Energy to see to it that research into
14 technologies that hold great potential for
15 ultra-clean and secure energy options is
16 accelerated. Over the last year we have done
17 considerable work in moving toward commercially
18 competitive cellulosic ethanol, advanced hybrid
19 vehicle technologies, hydrogen fuel cells,
20 solar and wind energy, and cutting-edge
21 technologies to burn coal for electricity
22 production with near zero emissions, and we
23 will continue to do so in the future.

24 Over time we expect this basic and
25 applied research to fundamentally transform the

1 way we produce and use energy in this country
2 and reduce our dependence on foreign energy
3 sources. My time in business and my time in
4 government at Commerce and at Treasury and now
5 at the Department of Energy have convinced me
6 that it is right for private markets and mature
7 industries to take the lead in developing new
8 technologies. While the government should
9 focus more exclusively on what it can and
10 should do to enable private capital to perform
11 in the public interests.

12 Ultimately, I believe the transition to
13 a more energy-efficient U.S. economy will
14 happen as a result of changes that arise
15 largely from the private sector, in some cases
16 with government support. The marketplace can
17 move faster than government. It can
18 accommodate and absorb breakthroughs in
19 technology more quickly and overall has better
20 access to information. And we are seeking the
21 advice and counsel of industry leaders, as you
22 have provided me today, to tell us what we
23 should be doing, what the best use of our
24 efforts is as well as what the best use of
25 taxpayer dollars should be.

1 This report represents a significant
2 effort in that regard. I believe it would also
3 be helpful if you would, as a second step, do
4 all that you can do to ensure that
5 policymakers, opinion leaders, academics, and
6 business leaders are informed of your findings.

7 The data that you have assembled and the
8 conclusions you draw are very important
9 contributions to the ongoing discussion of
10 energy policy and in my opinion should be
11 shared very widely.

12 I want to thank you for your time, for
13 your effort, and your attention. I hope you
14 agree with me that the President is correct
15 when he says, "that America must move quickly
16 down the road to greater energy efficiency, the
17 diversification of energy supplies and
18 suppliers and a reduced reliance on energy
19 imports." If we act boldly, if we encourage
20 reasonable risks within a stable policy
21 framework, I think we can do all of these
22 things. And I look to you, to the private
23 markets, to profitably invest in our energy
24 future and to make these changes possible.

25 The government should and will be

1 available to provide funding for the basic and
2 applied research needed to develop new
3 technologies needed to address critical
4 national concerns. And I think we can be
5 counted on to create incentives that will help
6 push promising technologies into
7 commercialization. And we will create through
8 investment, legislation, and reasonable
9 regulation a stable policy environment that
10 reduces uncertainty and minimizes risk over the
11 longer term. The best role for government is
12 to provide private initiatives, maintain a
13 stable legal and regulatory environment, and
14 bringing people together as we have done
15 through the NPC.

16 Once again, as has been the case so
17 many times in the past, the National Petroleum
18 Council has provided the American people with a
19 necessary and a useful service. And for myself
20 and on behalf of the President of the United
21 States I thank all of you. Appreciate it.
22 Thank you.

23 (Applause.)

24 MR. RAYMOND: Thank you, Sam, for your
25 remarks and your interest in our work. I think

1 I can say without fear of contradiction that
2 the NPC stands ready to do whatever we can to
3 make sure that this report is disseminated to
4 all the people who should have an interest in
5 it and particularly to those people who
6 provided a lot of information to us both in
7 this country and outside of the country and
8 tried to support the study. I think we have an
9 obligation to go back to them and indicate what
10 the results have been and hopefully discuss
11 with them what the impact of the study can be.

12 So to that extent, Sam, we are just
13 pleased you could be with us today and we are
14 pleased of the support we've had from the
15 Department for this whole effort. Thank you.

16 If I could now turn to a couple of
17 administrative matters for the National
18 Petroleum Council. But before we do that I
19 have a couple of announcements. The first is
20 to note for the benefit of the members of the
21 press that about five minutes following the
22 meeting's adjournment the study leaders will be
23 available here at the head table to respond to
24 your questions. And the second for our on-line
25 audience, the web cast will pause now and then

1 resume with the press conference which will
2 start in about 20 minutes.

3 Now I would like to turn to the
4 Council's finances, Claiborne Deming, Chair of
5 the NPC Finance Committee will present the
6 Committee's report. Claiborne.

7 MR. DEMING: Thank you, Mr. Chairman.
8 The Finance Committee met this morning to
9 review the financial condition of the Council.
10 A representative of Johnson Lambert Company,
11 our independent outside auditors was at the
12 meeting to review their draft audit report for
13 calendar year 2006. Based on this review I am
14 pleased to report that our accounting
15 procedures and controls received high marks. I
16 am also pleased to report to you that the two-
17 year program to replenish the Council's
18 contingency fund was successful and the
19 financial condition of the Council is strong.

20 As you may recall, the Committee also
21 met in late February and recommended a calendar
22 year 2007 budget in the amount of \$4,704,000.00
23 and recommended member contributions in the
24 same amount to fully fund this budget. In
25 March the Council membership unanimously

1 approved both recommendations. This morning we
2 reviewed expenditures to date for 2007 and with
3 the global oil and gas study coming to a close
4 we do not recommend any changes to this budget.

5 In early June all members were sent a
6 letter requesting financial support. To date
7 the response has been excellent. However, if
8 you have not yet responded, I encourage you to
9 do so as soon as possible.

10 Thank you, Mr. Chairman, this completes
11 my report. And I move that it be adopted by
12 the Council.

13 MR. RAYMOND: Thanks, Claiborne. We do
14 have a motion to adopt the report. Do I hear a
15 second?

16 PARTICIPANT: Second.

17 MR. RAYMOND: Are there any questions
18 or comments to the Finance Committee? I hope
19 not.

20 (Laughter.)

21 MR. RAYMOND: All of those in favor,
22 please.

23 (Chorus of ayes.)

24 MR. RAYMOND: Thanks, Claiborne, on
25 behalf of the Council members we appreciate the

1 work of the committee.

2 The other administrative report we have
3 this morning is from our other committee which
4 is the Nominating Committee. Ray Hunt chairs
5 the Nominating Committee and now will present
6 the committee's report.

7 MR. HUNT: Thank you, Mr. Chairman.
8 Before I submit the report of the committee, I
9 would like to just make one comment both as a
10 member of the NPC and just a citizen of this
11 great country. I was not involved in this
12 report in doing the work. I personally think
13 this is the most important work of this nature.

14 And a review and a study of the global energy
15 and you can't consider the U.S. energy
16 situation without the global energy situation
17 of the last 50 years and probably the most
18 important for the next 50 years. And to repeat
19 what John Humre said of CSIS, this is a
20 strategy. It's not a slogan, it's not a
21 political tactic, it's not a sound byte. It is
22 a strategy that policymakers can and hopefully
23 will seriously embrace because it's critical.

24 Mr. Chairman, with respect to the
25 Nominating Committee it met yesterday to

1 consider officers, chairs, and members of the
2 Agenda and Appointment Committees as well as
3 the five suggested members for the at-large
4 positions on the co-chairs Coordinating
5 Committee.

6 As the membership knows, Rich Kinder
7 would have been in line to have been considered
8 as the incoming chair at this time. Several
9 months ago he notified the Council that because
10 of time demands that really were not
11 anticipatable earlier, he asked not to be
12 considered. Accordingly, yesterday, the
13 Nominating Committee met and we unanimously
14 recommend that Lee Raymond be asked to serve a
15 third year as chair of the NPC which makes a
16 lot of sense given the fact that there's just
17 been an unprecedented amount of interest in
18 this report and there will be a lot of activity
19 going forward in the next year responding to
20 the interest in this report.

21 Further, the Nominating Committee
22 unanimously recommends that Claiborne Deming be
23 elected a vice chair of the NPC. And if
24 history holds as to patterns in the past, a
25 year from now Claiborne would be nominated to

1 become chair.

2 Further we would recommend for the
3 Agenda Committee the following individuals, Bob
4 Catell, Bob Frye, Ray Hunt, David Lazar, John
5 Miller, Mike Morris, Jim Mulva, Dave O'Riley,
6 Dan Yergin, with Larry Nichols serving as
7 chair.

8 With respect to the Appointment
9 Committee we would recommend George Alcorn, Bob
10 Best, Bill Fisher, Jim Hackett, John Hess, Don
11 Mason, Lou Ward, with Bob Palmer serving as
12 chair.

13 With respect to the five at-large
14 members of the Co-chairs Coordinating Committee
15 we would recommend Andrew Gould, John Hess, Bob
16 Keating, Andrew Lerus, and Bruce Smith.

17 Mr. Chairman, I would like to put that
18 in the form of a nomination or a motion.

19 MR. RAYMOND: Thanks, Ray. Do I have a
20 second?

21 PARTICIPANT: Second.

22 MR. RAYMOND: Are there any further
23 nominations from the floor?

24 (No response.)

25 MR. RAYMOND: All those in favor say

1 aye.

2 (Chorus of ayes.)

3 MR. RAYMOND: I might vote no, but
4 that's the way it goes.

5 (Laughter.)

6 MR. RAYMOND: Ladies and gentlemen,
7 before the final item on our formal agenda, let
8 me ask of any Council member has any matter
9 that you would like to raise at this time?

10 (No response.)

11 MR. RAYMOND: Does any nonmember of the
12 Council wish to be recognized?

13 (No response.)

14 MR. RAYMOND: Our last item is a sad
15 one which marks the passing of Fred Mayer, a
16 distinguished Council member for over 30 years.

17 Bobby Parker will present a memorial
18 resolution in Fred's honor. Bobby.

19 MR. PARKER: Mr. Secretary, we
20 mentioned earlier in the report that our
21 industry is losing a bunch of good guys,
22 leaders, and doers that make things happen.
23 Fred Mayer was one of those. So I tell you and
24 all of you there, we will miss him. He was
25 here, he did his part, he will be glad of this

1 report and he'll be watching what we do. So
2 let's do our best. And I will present that on
3 behalf of Fred. He was a good friend and he
4 was a good competitor and a good member of the
5 National Petroleum Council. May I present the
6 resolution, please.

7 The members of the National Petroleum
8 Council were deeply saddened by the death of
9 their distinguished colleague Frederick R.
10 Mayer on February 14th, 2007. Fred was born in
11 Youngstown, Ohio, raised in Dallas, Texas. He
12 graduated from Yale University in 1950. In
13 1953 he began Exeter Drilling Company and when
14 it was sold in 1980 it held the distinction of
15 being the largest privately owned drilling
16 company in the United States. In 1982 he
17 founded Captiva Corporation, an oil and gas
18 resource company. In 1983 he was recognized as
19 wildcatter of the year by the Independent
20 Petroleum Association of Mountain States. He
21 was also a member of the Colorado Business Hall
22 of Fame. Fred served in the armed forces in
23 the Korean War, he was a philanthropist and
24 world class collector of art, coins, currency,
25 stamps. A true renaissance man Fred served in

1 numerous leadership positions including three
2 terms of chairman of the board of the Denver
3 Art Museum. He was also a member of the
4 Trustee's Council of the National Gallery of
5 Art. Fred was an active and loyal alumnus
6 chairing the governing board of Yale University
7 Art Gallery, serving as trustee of his alma
8 mater, the Philips Exeter Academy where he
9 endowed the Frederick Mayer Art Center. He was
10 active in many industry associations and served
11 as a director of the American Petroleum
12 Institute. Fred Mayer was an active member of
13 this Council, the National Petroleum Council
14 for over 30 years. And during his membership
15 Fred involved himself in the work of numerous
16 study committees and served on the Council's
17 Finance Committee.

18 Thank you.

19 MR. RAYMOND: Ladies and gentlemen I
20 propose that we signify our adoption of this
21 resolution in memory of Fred by rising for a
22 moment of silent reflection and prayer.

23 (Moment of silence observed.)

24 MR. RAYMOND: Let me once again thank
25 Sam for all the time you spent here today. I

1 know you have a lot of other things to do. We
2 support you in all the things you're trying to
3 do. So, therefore, it's particularly noteful,
4 I think, that you spent all the time that you
5 did with us today. We thank you, Sam, for
6 coming.

7 Do I have a motion for adjournment.

8 PARTICIPANT: So moved.

9 MR. RAYMOND: Second?

10 PARTICIPANT: Second.

11 MR. RAYMOND: The 117th meeting of the
12 National Petroleum Council is hereby adjourned.

13 [Whereupon, at 10:45 a.m., the meeting
14 was adjourned.]

