

Transcript of Proceedings

BEFORE THE

DEPARTMENT OF ENERGY

-----X
:
In the Matter of: :
:
NATIONAL PETROLEUM COUNCIL :
:
-----X

DATE: December 12, 1984

PLACE: Washington, D.C.

PAGES: 1 - 113



Ling
S K S Group, Ltd.
1400 Eye Street N.W.
Washington, D.C. 20005
(202) 789-0818

1 APPEARANCES: (Continued)
2 Frank Pitts
3 H. A. True
4 John Rex Jones
5 Richard J. Gonzalez
6 Cliff W. Trice
7 James W. Glanville
8 Fred L. Hartley
9 William Carl
10 Cary M. Maguire
11 Jack Allen
12 John H. Lichtblau
13 Harold Pruner
14 Gordon D. Goering
15 James Borden
16 James F. Gary
17 John A. Baden
18 John G. Phillips
19
20
21
22
23
24
25

1 CHAIRMAN MOSBACHER: Welcome to today's
2 meeting of the National Petroleum Council. We will,
3 with your permission, dispense with the role call. I
4 hope each of you has made your presence known, just
5 outside the door. And if you have not, please do so
6 immediately following the meeting in the executive
7 chamber or immediately outside the door.

8 I'd like to introduce people at the head
9 table. On my far right is Marshall Nichols, the able
10 executive director of the National Petroleum Council.
11 Next is the Honorable William A. Vaughan, assistant
12 secretary for fossil energy. Next to Bill is John
13 McKinley. John is chairman of the committee on U.S.
14 petroleum refining.

15 And next to him, known to all of us, is the
16 Honorable Donald Paul Hodel, Secretary of Energy. We
17 are delighted you are here, Mr. Secretary and waits
18 your words.

19 SECRETARY HODEL: Thank you very much, Bob.

20 It is a special pleasure to be here today.
21 After going to the reception last night, of course, I
22 had to change suits because of all the sweaty palm
23 prints on my lapel. So I knew that there was some
24 interest in some of the topics that might come up here
25 today.

1 Let me say just right off the bat that I
2 recognize as Secretary of Energy how tremendously
3 important the oil and gas industry is to the United
4 States of America. Make no mistake that I have no
5 illusions that this industry is anything other than
6 the first largest, most significant supplier of energy
7 to this country.

8 And therefore, when I give speeches, and I
9 do, and I will talk a little bit about that here
10 today, that talk about the balanced and mixed energy
11 supply that we see necessary for this country, that
12 does not mean in anyway that I am downgrading the
13 significance or importance of oil and gas. Some of
14 the other things we'll talk about today will be
15 premised on my recognition of that, and the role I
16 think the Secretary of Energy ought to be trying to
17 play, or ought to play as a spokesman for a major
18 component of the energy industry.

19 But first, let me say that a friend of yours
20 and mine, Charlie Murphy, who's chairman of the board
21 at Murphy Oil, has written and asked to be relieved of
22 his NPC duties. He served us 22 years. That's the
23 second longest tenure of any current member, and I
24 didn't do my homework to know who the longest serving
25 member is. He served on dozens of committees, of

1 course. And he's had one of the best attendance
2 records. And I do not believe that the fact that he
3 couldn't come to this meeting is the reason why he has
4 asked to withdraw.

5 He is not here with us this time. Obviously
6 we will yield to his request with regrets and great
7 appreciation for the service which he has provided us
8 as a member of this extremely important council. I
9 think it would be appropriate if the record would show
10 that you joined me in applauding Charlie for his long
11 years of dedicated service to the National Petroleum
12 Council.

13 Now, there's a lot that's happening in the
14 energy market these days, not just in oil and gas, in
15 the energy market. I would like to set the context
16 for my remarks by talking about the development that
17 we're going through, the development process that
18 we're going through for the next national energy
19 policy plan, which is expected to be submitted in
20 April.

21 It is apparent from the discussions that
22 we're receiving in the various hearings and meetings
23 that we have, that our goals and strategies that we've
24 stated in the past are fairly sound. Remember our
25 goals in adequate supply at reasonable cost? Nobody

1 has really taken me on and said that we should have an
2 inadequate supply of unreasonable costs. I haven't
3 been surprised by that. It's worked very well as a
4 general goal.

5 The two strategies I'll remind you are,
6 first, that we ought to minimize Government
7 intervention and control in the market place,
8 recognizing our health, safety and environmental
9 responsibilities. And secondly, that we need a
10 balanced and mixed energy supply. And we talk about
11 an array of resources that are available.

12 What's coming through in the discussions --
13 what's coming through in the discussions is that what
14 we ought to have is a set of substrategies, which
15 would focus our efforts and permit us to have our
16 programmatic activities react more specifically to
17 some of the proposals. Now, I have often said that
18 our second strategy can be likened to the balanced and
19 mixed -- this is balanced and mixed strategy.

20 We've got the conventional resources, which
21 I envisualize here. We've got renewables, and these,
22 as you will note, are not proportional to the supply
23 that these various resources provide to the society in
24 conservation. Under conventional we've got oil, gas,
25 coal and nuclear. And under renewables we have hydro,

1 solar, and wind, and geothermal, and ocean thermal
2 energy, and et cetera, bio fuels and the like.

3 Under conservation, we usually divide that
4 into two parts. Is that even remotely legible?

5 : Yes, sir.

6 : There's something here that
7 doesn't look legible.

8 SECRETARY HODEL: As long as it isn't smoke
9 filled I don't care.

10 We talked about efficiency, and we talked
11 about savings. Efficiency, to me, is where you get
12 the same amount of work done but you're using less
13 energy. You fellows are going to have trouble seeing
14 this with me standing here.

15 : No problem.

16 SECRETARY HODEL: All right.

17 I'll wake you when we're finished.

18 Efficiency is where we drive as many miles,
19 or more miles, but we don't use as much oil or gas.
20 Good savings are where we just plain use less.

21 We've looked at these strategies and looked
22 on them as supplying us with some of the rationale for
23 the programs which we've set forth. We've had an R
24 and D activity, which is intended to underline this
25 whole area. You can look at the R and D expenditures

1 that we've been making, there is some rhyme or reason
2 to them, as we see it. That is, you'll find that with
3 established technologies we are not doing a lot of
4 basic research on ways to convert those fuels into
5 energy.

6 We're doing research in the oil area on such
7 things as enhanced oil recovery, seeking to improve
8 the upgrade. Gas, similarly. In coal what we're
9 spending our money on is largely on ways to either
10 clean it before you burn it, burn it cleanly, or clean
11 the stack after you've burned it.

12 In case of nuclear, we're doing the
13 health and safety research on that part of the
14 frontier that people raise their greatest concerns,
15 and we're also looking at advanced technology,
16 and so on down the line. So what we are trying to do
17 is, as I keep suggesting, is we're trying to expand
18 with the energy frontier so that the private sector
19 can come along and develop, for the benefit of the
20 society, those resources that make the greatest sense.
21 And I mean in particular the economic sense.

22 That is the background and frame work with
23 which we approach some of the problems I'd also like
24 to talk about today. There's been a lot of talk about
25 the world oil market, and what's happened. As you

1 know, I gave a speech in London about mid-October,
2 which some of you may be aware of. The history of
3 that speech goes back a ways.

4 In August there was substantial downward
5 pressure on the price of oil. The British Government
6 allegedly sent a letter to oil companies in Great
7 Britain suggesting that they not lower the price.
8 That's allegedly what was in this alleged letter. We
9 did not say anything publicly about that. But we did
10 protest diplomatically to the British. And by that, I
11 don't know how diplomatic the protest was, I know it
12 was through diplomatic channels. I assume it was also
13 made diplomatic.

14 We suggested that they should not be
15 attempting to prop up the price, nor should we be
16 attempting to drive the price down. Our view has been
17 throughout to market our control price, and that
18 that's where we ought to be headed. Our silence was
19 interpreted by a number of people, including some of
20 you in this room, as well as many outside this room,
21 and certainly several in OPEC, that acquiescence on
22 the part of the United States Government in a process
23 where a policy of propping up and holding the price at
24 \$29 a barrel.

25 For those of you who know this

1 administration as well as most all of you do, know
2 that that is not our policy. It would not be our
3 position. But it was clearly perceived as such
4 because we didn't say or do anything about the British
5 action.

6 I had previously accepted the speech at the
7 oil data conference in London to a group of petroleum
8 people from all around the world. And it seems to me
9 that that was the appropriate form at which to make
10 plain our policy has not changed, and that we do not
11 favor, I would say artificially propping the price.
12 But that we think the price should be determined by
13 the market process.

14 Now, our argument -- my speech was couched
15 in terms of stability. And this begins to sound an
16 awful lot like "1984", where -- and I mean the book
17 "1984" -- because the immediate prior speaker to me
18 was the head of Petromin. And as he spoke, his thesis
19 was stability. And stability was quite clearly a
20 price which was determined by OPEC for producers at
21 a fixed level. That's a stable price. Now, certainly
22 that's a clear understanding of the term.

23 Following the market, which might look
24 something like this, variously, it's not perceived
25 stable, like some people. My argument was, and is,

1 that a stable price is one which is not subject to
2 massive swings or drops, that that is an unstable
3 price. And that the reason I'm concerned about
4 the price being set at \$29 a barrel, U.S., is that the
5 curves that we've seen is that prices held. And as
6 the market supply/demand established market drops
7 away from that price, my concern is that eventually,
8 eventually they will be unable to hold at \$29 a
9 barrel.

10 And when the break comes, the price won't
11 drop just to what the market would've dictated. But
12 it may very well drop below that and I don't think
13 anybody can tell us today what the bottom is for oil
14 price per barrel in the event of a price break of a
15 significant magnitude.

16 That kind of instability is not in the
17 interest of producing nations or consuming nations and
18 vice versa. The long term effect of that kind of a
19 result is that a tremendous disruption will occur at
20 some level and will drop the price in the ability to
21 produce, explore, transport and utilize that fuel. If
22 that happens then we, the consumers, in the end will
23 be faced with some kind of later from either
24 supply disruption or dramatic price increase or a
25 combination of both, most likely both. That's not in

1 our interest.

2 So my thesis was what's happening is that
3 you are driving the market away, you are holding a
4 price above what can maintained in the market and you
5 really should be thinking about permitting the price
6 to follow more closely what the spot market and the
7 futures market seem to be telling you. People are
8 willing to pay for oil.

9 There's another factor that has occurred
10 that has been concerning us. You look back
11 historically when the price of oil had been maintained
12 very low for a good number of years down around \$3 a
13 barrel or less, you all are aware that the consumption
14 pattern was up. When the price went up dramatically
15 in 1973, the consumption pattern actually dropped for
16 a couple of years and then resumed. As the price
17 stabilized through the middle '70's and toward the end
18 of the '70's, the consumption pattern went back up
19 again and the United States actually peaked its highest
20 consumption ever, I believe in 1978, nearly 19 million
21 barrels a day, 18 and a half, 19 million barrels a
22 day.

23 When the price went to \$34, of course the
24 world consumption of oil began to drop dramatically
25 and it kept going. I think that it was accelerating

1 at \$34 a barrel and the reason it was accelerating is
2 people at first only had a certain amount of
3 flexibility in their purchase of oil.

4 As the price persisted, as they build into
5 their system, structural changes, what I see happening
6 is they were beginning to be able to accelerate this
7 speed with which they were leaving oil as a source of
8 energy. Finally, the price pressure occurred and the
9 price dropped to \$29 a barrel.

10 Now the figures I've seen suggest that when
11 the price dropped to \$29 a barrel, world oil
12 consumption started back up. It continued for awhile
13 and then it began to peak and it's now overall on the
14 way down, although the United States is continuing to
15 freeze its consumption. Now we've got a chicken and
16 an egg problem, some saying, yes, that the economy of
17 the United States has been going up therefore the
18 consumption of oil is going up, yes.

19 There's another argument that the price of
20 oil has come down in the United States, therefore the
21 economy is going up and it's probably a centergistic
22 (phonetically) process. I'm not proposing to tell you
23 how that all relates to each other. But what we have
24 seen happening is since March of 1983, the price of
25 oil in the United States has dropped by about 20

1 percent. We're down about 20 percent. But there are
2 other countries in the world because of the way the
3 dollar has gone up in value or -- the price has
4 risen by as much as 30 percent or more, especially
5 some of the less developed countries.

6 And so the industrial arts countries have
7 seen tremendous price increases over the 1983 predrop
8 price. If you look at those numbers you can begin to
9 see why I think, anyway, why I think the --
10 consumption of oil is starting back down to the rest
11 of the world. There seems to be enough to offset what
12 we're doing.

13 My thesis in London went on and it said,
14 "Therefore if you're a producing nation and you hold
15 the price at 29 and you can see the consumption curve
16 dropping and you don't do something to meet it, if you
17 finally decide to do something to drop your price to
18 bring your consumption back, you may find your
19 customers have found another way of supplying their
20 requirements."

21 If you look at the cost of alternative
22 sources, you're dealing with things like geo thermal,
23 hydroelectricity, solar. Once somebody has installed
24 the unit he's got his capital in it, the cost of
25 production is next to zero even if you count on that

1 expense.

2 If you build a nuclear power plant, the cost
3 of operating is fairly small, at least if we're
4 successful in the Department of Energy, keeping the
5 price of enriched uranium at a reasonable price. If
6 you've got coal you can see an increase in the price
7 projected but it's dramatic with the volume of coal
8 that's available in this country and the availability
9 of it.

10 We look at natural gas and now this becomes
11 certainly more questionable. Industrial gas but some
12 of the forecasts look like that. The oil prices are
13 on that kind of a curve over the long haul which is
14 what we look at. What you see happening is that once
15 installations have occurred with these resources in
16 the United States or other consuming countries, the
17 price of oil has to come along way down before
18 somebody will consider shutting down any of those
19 resources in order to build a facility that will use
20 oil and then substitute oil for it.

21 If I were sitting as some countries are on
22 vast pools of oil, I would be very concerned about the
23 long term effect on my ability to pump out and sell at
24 a reasonable price. That was, if I can say, I think
25 pretty much the thesis that I set forth and I did say

1 in the speech that the deposit of the long range
2 forecast that we were looking on the price of oil from
3 this time forward was somewhere in the range of \$25 to
4 \$30 a barrel. This is \$30-\$25, the price is here
5 today although that's the market price. They actually
6 have different figures for future markets and the
7 like.

8 What I did say in London is that it seemed
9 to me by the consumption curve we're looking at is
10 very hard to see that the price could stay much above
11 the lower end of this range and that's where you see
12 headlines about \$25 a barrel.

13 There's one other thing I need to mention in
14 this regard that is that we have another language
15 problem. In talking with OPEC ministers it's apparent
16 that they feel \$29 is the real price. That's the real
17 value/price for oil. When I talk about a lower price,
18 they see me as attempting to drive the price down to
19 an artificially low level.

20 I see the market as dictating the real price
21 and when you hold it at \$29 when the market is saying
22 something less than appropriate that's an artificially
23 low price. We agreed that we have at least a semantic
24 difference on that point.

25 I spoke yesterday to a group of reporters

1 and I stated that it is not my intention to try to
2 drive the price down. It is my intention to try to
3 open the price to market response. I think in the
4 long run that will provide stability.

5 I've got to alert you in case you see
6 something to the contrary, one of the wire services --
7 has the following statement he, (that's Hodel) said
8 the OPEC view is that \$29 per barrel is a proper
9 price but that he is "trying to drive the price down"
10 to a lower level. This would make a good sentence to
11 put in an English course on the clarity of meaning.

12 I think Maguire meant (a) he said the OPEC
13 view is (a) the \$29 per barrel is the proper price and
14 that (b) Hodel is trying to drive the price down to a
15 lower level. That's the OPEC view.

16 I think that's a correct statement of the
17 OPEC view. The second half of it is not a correct
18 statement of my view although I'm inclined to agree.
19 I just wanted to make the point in case you read it,
20 don't walk away from here saying, well, he's not 100
21 percent bad and then pick up that article and say he's
22 120 percent bad.

23 I think you can see this just as well if the
24 lights were just a little higher. Is that possible
25 that we can put them up just a little bit? It also

1 gives me a chance to see if there's anybody left. I'm
2 always reminded of the story of the fellow who got up
3 and he read a speech, a two hour long speech, Bob. He
4 stood here and just read it. When he looked up when
5 he was finished there was one fellow sitting in the
6 front row. Everybody else was gone. He looked down
7 and said, gee, I really appreciate that you stuck
8 around this long and the guy said, that's all right.
9 I'm the next speaker.

10 The other item I want to cover before we
11 talk about another item is the budget. You've heard a
12 lot about what the budget proposals are. Many of
13 the documents that have been talked about have been
14 distributed or have been seen by people throughout the
15 country.

16 The fact is that the President is committed
17 to not raising taxes. He is committed also to
18 reducing that budget deficit. It is for Randus
19 (phonetically). He can stay on the present course.

20 On the tax raising side he is firmly
21 convinced and I agree with him totally and it's not
22 just because he is my boss. I would say this even I
23 weren't in this job that if he raised taxes Congress
24 will spend the money and will not be able to reduce
25 deficits and history is on the President's side on

1 that issue.

2 Therefore, there are only two ways you can
3 reduce the deficit, one is to increase revenues by the
4 growth of the economy. That is one of our strategies
5 is that we should have growth without inflation in the
6 economy. And secondly by cutting Federal spending.

7 In order to cut Federal spending it is
8 imperative that we go after what some would call
9 sacred cows, others call Washington monuments, others
10 call fish hatcheries. I say fish hatcheries because
11 when I was with the Department of Interior, one of the
12 techniques the Department of Interior could always use
13 to satisfy the Owen meat cut requirements is to offer
14 up some fish hatcheries.

15 Now you did that because you said, look we
16 cut \$4 million out of our budget like you wanted
17 knowing full well that when it went to Congress,
18 Congress would put fish hatcheries back. Every
19 department has its fish hatcheries. In fact I think
20 there are more fish hatcheries in the Department of
21 Energy than in most.

22 I kiddingly say I thought I used to know
23 what the pork barrel was when I was at the Department
24 of Interior. When I came to the Department of Energy
25 I found out what it really was because we have a

1 project in some of these Congressional districts all
2 over America. I don't care how fiscally conservative
3 you're going to be, the Senator has real
4 sensitivities if you try to cut into the operations in
5 his own district. That's only realistic. That's the
6 way it has to be. That's how this system works.

7 The fact is we've got to reckon with it and
8 try to deal with the budget deficits. There are those
9 of us who believe and I know the President believes
10 this and I think the cabinet believes it that if we do
11 not approach the budget deficit on a comprehensive
12 basis we won't be successful.

13 We need to go after the budget problem so
14 that when I go the Hill and ask to cut fish hatcheries
15 whatever they may be -- when I go up there and say I
16 want to reduce the amount of money we're spending in
17 this area. I want to cut it out. That I will not be
18 faced with the Congressman or the Senator saying why
19 you, when nobody else is doing likewise. I've got to
20 be part of the comprehensive process.

21 If you look at some of the things that are
22 proposed, that certainly is how it works. I think you
23 probably read and currently what we're reviewing is
24 freezing at the 1985 inactive level plus additional
25 cuts in the Department of Energy budget. The figure

1 we're talking about is 10 percent cuts pretty much
2 across that array of research that we were talking
3 about, pretty much across that whole array. That will
4 have an impact, I think, marginally on some of the
5 activities here but certainly more intensively on
6 certain other categories of the energy picture.

7 The particular item I wanted to mention to
8 you that specifically relates to not only your
9 industry but to some of the studies that you have
10 noted that you have under way is the strategic
11 petroleum reserve. The strategic petroleum reserve
12 today is at or just slightly over 445 million barrels.

13 The point I keep making is that Mexico is
14 our largest supplier. I think this month or this year
15 United Kingdom has been our next largest. Canada is
16 in fourth place. Saudi Arabia is in third but very
17 close, the UK, Saudi Arabia, Venezuela, Indonesia,
18 they are all fairly close in their supply to the
19 United States.

20 The point is being the Persian Gulf which is
21 the area we look to as perhaps the most vulnerable --
22 volatile, vulnerable at the present time is a
23 relatively small share of domestic imports. So we're
24 looking at 445 million barrels and 98 days supply.
25 When we started out to build the strategic reserve, it

1 was thought that we would seek, I think, a 90 day
2 protection against crude interruption in the supply
3 because we only take crude and that's running under
4 3.3 million barrels a day at the present time.

5 If we only take crude today, of course, if
6 you can divide this in quickly, I think you're going
7 to find it's approaching 150 days supply of just
8 crude. We look at the end of 1985, fiscal year 1985.
9 That's September 30th. By that time we'll have
10 approximately 500 million barrels in the strategic
11 petroleum reserve. I think you take -- the number we
12 use is 489 million barrels estimate in a months budget
13 is something of the price of oil and the like. It
14 could be somewhere between that 500 million, close to
15 500 million barrels not different, incidentally, from
16 one of the original targets that was talked about.

17 Another target that was talked originally
18 was the billion barrel. At the time the billion
19 barrel was talked about it was thought a billion
20 barrels would be necessary to provide us with 90 days
21 protection against the projected level of imports. We
22 don't see imports going that well in this country and
23 therefore it seems to us that the opportunity exists
24 to reduce from the billion barrel level down to a
25 moratorium level in 500 million barrels.

1 I would suggest we would not go forward with
2 the big Hill site at the present time. Obviously,
3 future import levels could effect that but for the
4 present time we don't see that happen.

5 One of the rationals not only is the budget
6 aspect which purchasing 50 to 60 million barrels a
7 year, you can calculate the cost of money, carrying
8 costs and all that. It's very valuable. I use the
9 figure in my own head when I'm talking about this
10 strategic petroleum reserve that's costing the United
11 States between \$3 and \$4 billion a year. Some of
12 that's off budget, you know. People say it's off
13 budget.

14 That's off budget is if your wife goes into
15 your wallet and takes the money out of it and then
16 spends it, that's off budget. You're still going to
17 notice it's gone. You keep a reasonable, careful
18 account. Maybe your son is a better examiner. If my
19 wife wanted to do that then she runs our finances.
20 It's if I go into my wife's wallet and spend it
21 without telling her.

22 So there's a budget issue. Then we are
23 members, as you know, of the International Energy
24 Agency. International Energy Agency targeted
25 initially 90 days protection. That was the target we

1 all set out. We were going to build strategic
2 reserves so that we can not only do disruptions
3 supply, we'd be able to meet our requirements for 90
4 days.

5 Now some of the IEA countries are below
6 that, some are quite a ways below that, some are
7 fairly close to it depending on how you count and I
8 won't go into arguments about whether they're counting
9 right or not but there is an argument to be made if
10 some of the counting is the question.

11 If you're in an insurance consortium with
12 somebody as we are, IEA is in a sense an insurance
13 consortium against the interruption of supply. If
14 you're in an insurance consortium and your target is
15 90 days of protection, when you hit 90 days if you
16 stop it, if you continue to increase so that you have
17 110, 120 or 130 days supply protection for yourself
18 and you're only one third of the protection that's
19 sought which is the case in this instance then you
20 have made two thirds of the day's contribution to your
21 friends for every additional day that you have here at
22 strategic reserve.

23 The question is, at a time of tremendous
24 budget crunch, does the United States of America have
25 the money to spend on an extra additional insurance

1 over what the target was when our allies have not been
2 level to begin with. Our argument is no. We
3 shouldn't be doing that either.

4 So it seems to me there are a combination of
5 reasons that we can set forth if we're going to take
6 as tough a stand on the budget as we think we have
7 today. So much for strategic petroleum reserve.

8 The last item, taxes. First of all I've got
9 to say that Donald Regan and I have this little deal.
10 He doesn't make energy policy and I don't make tax
11 policy. Now there is a tax policy that you can make
12 that will have an effect on energy policy.

13 It seems to me the obligation that I have to
14 the President and Don Regan to be a spokesman for how
15 I see, how you see the proposals for the taxes
16 effecting the energy and effecting our national goal
17 on the national policy on energy.

18 First of all let me raid one of my visual
19 aides here. This is the summary overview of the tax
20 reform for fairness, simplicity and economic growth.
21 I'm not here to argue with you over each of those
22 words which I think having talked with some of you
23 last night you'd be prepared to do.

24 What I want to illustrate is that this
25 overview itself is a fairly thick and substantial

1 document. The Treasury Department could not
2 conceivably look at every possible impact of that
3 activity. What it did in this industry is it took an
4 overview. It took some involved numbers, it made some
5 assessments and evaluations of what the effect would
6 be and then came up on a plan based not on that
7 outcome but based on what its perception was of what a
8 fair, flat tax would be eliminating inappropriate
9 incentives, eliminating inappropriate obstacles in
10 life.

11 In so doing, I understand clearly that there
12 are those of you who believe that there's a
13 substantial impact which I don't pretend to know all
14 of the ramifications of it. What I'm seeking to do is
15 to become sufficiently converse with an impact on
16 energy that I can describe effectively to the
17 President what the issue is.

18 Now let me say something else. You get
19 mixed readings from people as to how far they think
20 this tax proposal will go. Probably the majority of
21 the people today say, oh, that tax proposal won't go
22 anywhere. That may or may not be the case. I don't
23 think that's the issue because there will be something
24 that follows behind it.

25 If when something follows behind it, we have

1 not clearly presented what the effect of this proposal
2 is on energy. Then when the next proposal comes along
3 the people putting that one together will say, well,
4 gee, nobody complained about the energy effect of the
5 first package. So we can appropriate those as they
6 were.

7 I submit there's a reason for me to be
8 concerned and for you to be concerned regardless of
9 whether this particular package goes through or not.
10 What I need to be able to do in a very short period of
11 time is to express succinctly at the Presidential
12 level, at the cabinet level, the effect on our energy
13 policy and on our energy industry of these kinds of
14 tax proposals.

15 We've attempted to take a quick look at what
16 some of these effects would be and let me say that
17 really it is a quick look because first of all we
18 don't have the expertise that it would take for this
19 group. Secondly, we have to work with a lot of
20 assumptions as you will also but they're not the
21 assumptions necessarily that you make.

22 So we took a look which basically looked at
23 these issues. Now maybe I can improve the focus by
24 sliding that a little further. Now you can't see it.
25 What we have is the two categories that is

1 independents and majors. Then we took a look at what
2 the value of oil was. We looked at two scenarios one
3 is oil that's already producing and oil in the ground
4 before the well produces.

5 We looked at the value under current tax law
6 and then we eliminated the percentage completion
7 allowance which, of course, has a negative for the
8 independence on the value. Then we eliminated the
9 expense of IDC's. Now on a producing well it didn't
10 have any impact. So it's zero impact on a producing
11 well. Then we introduced the cost of completion index
12 in which was a plus. We accelerated the windfall
13 profit tax reduction which was a further plus but
14 because it doesn't begin until 1988 and you can use
15 any kind of a decent discount rate. It doesn't have a
16 very significant effect. It's a small plus.

17 Then you reduce the corporate tax rate which
18 in fact is a very substantial plus on a producing well
19 in our calculations. This will have tremendous
20 variations depending upon how rapidly you deplete the
21 well and what the costs were, whether it's onshore or
22 offshore, what the price assumptions you make are, the
23 pricing of it. If the price is flat -- incidentally
24 in our assumption we assume that the price of oil in
25 real terms stayed stable. This is the depth of

1 research we've been able to do on this. We need --
2 on this.

3 Those kinds of figures what we found on
4 a producing well is that the reduction in corporate
5 tax rate more than offset the negative effect on these
6 other reductions for both independents and majors.

7 When we look at that same well before it was
8 found, when it was in the not yet discovered stage,
9 however, we found very little effect from the majors.
10 But we're into this kind of calculation and we found
11 that for an independent there was a substantial
12 reduction in the value of that oil in the ground
13 approaching 50 percent. What its value is, under the
14 current law, is one number and this number then about
15 bottom value under the Regan tax proposal. I want to
16 emphasize that says Regan not Reagan.

17 Under the Regan tax proposal was about half,
18 not quite but just about half which many people would
19 say and I think I would understand why they would say
20 it would be a substantial deterrent to investment in
21 exploration and development by independents. There
22 are further factors that need to be taken into account
23 which we haven't plugged in. I think partly because
24 we don't know how to plug them in.

25 What I will run into -- just let me try to

1 set the scene for you. I am trying to argue about the
2 effect on energy policy of a tax proposal like this.
3 When I open my mouth those who are supporting the tax
4 proposal are going to be prepared to shove all of my
5 words back down my throat. The first question I will
6 get will be something I haven't covered and they will
7 say something like, yes, but when you look at the
8 effect of dividend deductions, the effect on
9 shareholders more than offsets all this stuff you've
10 talked about.

11 Now they may be true for -- companies. Many
12 independents are not. I don't know how many. I don't know
13 what the figures are but certainly somehow you have to
14 plug that in to the fact that you have to lower
15 personal income tax rates. The corporation that pays
16 dividends is free to under the tax proposal to drop 50
17 percent of dividend payments. It would seem to me the
18 impulse of that would be to pay dividends rather
19 explore for oil. But I don't know if that's true.
20 You have to plug those in.

21 Then finally we've tried to say, okay, what
22 are the overall effects of all of these things put
23 together. I managed to snap myself apart there. All
24 of things put together with the overall effect that
25 all of these things put together on the investment

1 decisions that people will make when it comes to gas
2 and oil.

3 What we would appreciate very, very much --
4 what I really need if I'm going to do a halfway decent
5 job of representing the energy concerns and
6 particularly in this case, the National Petroleum
7 Council made up of parts of oil and gas people, if I'm
8 going to represent effectively your concerns, I'm going
9 to need to have some information that I can use.

10 What we've done in this analysis that we've
11 done so far is really to take a tiny, tiny slice, a
12 tiny, tiny, snapshot of a very big picture. What we
13 need to be able to do is figure out how I can present
14 in three minutes or five minutes or ten minutes if I
15 can get that much time what the impacts are in energy.

16 Further, greater detail is available for us
17 in our discussions with Treasury. We're in regular
18 weekly meetings now with the Department of Treasury
19 about impacts. We're not well equipped in all candor
20 at this point to carry the case the way it ought to be
21 carried.

22 What I'd like to do if I may, Mr. Chairman,
23 is ask that I would turn this machine off and I would
24 like to have the lights come back up and then I'd like
25 to sit down and I would very much appreciate it with

1 your permission, sir, that we hear from people here.
2 I will take notes. I've got so many staff here that
3 if something happens to the Department of Energy today
4 there's nobody there to do anything about it -- who
5 will be listening with great interest to try to get
6 your comments, your impressions and the like.

7 By the way, if any of you are nervous about
8 this whole process, let me say I checked with the
9 White House before I propose doing this. I was told
10 the President can be serious about seeking comments on
11 this proposal. This is the Treasury's proposal. It's
12 been very carefully stated throughout. We want the
13 best advice we can get on how we should approach this
14 from an energy standpoint.

15 CHAIRMAN MOSBACHER: Thank you, Mr.
16 Secretary, for those interesting, profitable,
17 provocative comments.

18 I think am I correct in that besides the
19 oral comments today that you would be interested in
20 any written comments, is that correct sir?

21 SECRETARY HODEL: Yes that is, that's right.
22 In fact, if one of the reasons -- is this on?

23 MR. NICHOLS: The other mike is.

24 SECRETARY HODEL: One of the reasons I
25 showed that particular chart is that I wanted you to

1 see the kind of analysis we ran. That doesn't mean
2 that's the right analysis but if you'd run those kinds
3 of analyses any kinds of numbers you could give us
4 that would fit into that would prevent us to do a
5 broader spread sheet or array of different looks, but
6 it tremendously sensitive.

7 Whatever you do it is tremendously sensitive
8 to the assumptions about the rate of depletion and so
9 forth. So we'd be interested in that. We need to
10 know the assumptions when we see those numbers.

11 CHAIRMAN MOSBACHER: Okay, thank you.

12 Those who would like to send them perhaps as
13 soon as possible in as much detail and information and
14 statistics as possible to back the thoughts, pro or
15 con, whatever they might be.

16 SECRETARY HODEL: Right. Pro or Con.

17 CHAIRMAN MOSBACHER: And now we'll start the
18 arguments and discussions. Bob Parker has his hand
19 up.

20 MR. PARKER: Mr. Secretary, I'm going to try
21 to -- only the one impact that I have been able to
22 determine to have on activities within the United
23 States upon exploration for oil, and I would base my
24 comments not only on what I feel but on what the 12
25 major companies that I've spoken to and the 25

1 independents and I'm dealing with just one subject.

2 We have a whole shopping list and I'm sure
3 there will be -- other than that. I'll deal with
4 those. Since we drilled for other than the crude,
5 nine out of ten holes we drilled are dry and everyone
6 in this room knows that before they spoke yet the --
7 we got and that means risk beyond any other business
8 in the United States is higher with risk money
9 whether it's our money or someone else's money.

10 It is risk money and so categorized and that
11 makes it different because we risk each other's and
12 each of our customers. According to those that I
13 surveyed none of the majors had done their homework
14 yet. All of those were in the process of doing so.

15 None of them don't think it would increase
16 programs. All of the independents felt that they
17 would decrease their program as much as 50 percent.
18 When I asked them about their homework most of them
19 said it was none of my business and I can just inform
20 you that they indicated immediate cutback.

21 This same question yesterday at New York
22 with a New York security analyst, which are those that
23 I think provide a very worthwhile service, even though
24 wording of this tax proposal infers there is something
25 improper about outside funds coming into the search

1 for natural gas.

2 I don't agree with that and I, with those
3 who were over in New York yesterday and they spoke
4 about 14 current projects that have been suspended for
5 drilling activities in the United States as a
6 result of the proposal -- and then seven more that
7 were mailed out last week, which -- imposed, that
8 -- recalled if the proposal were passed. I'm holding
9 evidence in the -- there is no doubt it. Risk is
10 going to be involved and doubt about the negative
11 effect of risk running -- through their region.

12 Finally, the -- had according to them and I
13 believe in my brief that was the result of increased
14 input on immediately. The premium price of the
15 increase was priced well beyond the \$25 or \$29
16 dollars. It's sometimes known to double the loss of
17 jobs.

18 CHAIRMAN MOSBACHER: Thank you.

19 We can stay over in this quadrant to start
20 with. George Mitchell?

21 MR. MITCHELL: Mr. Secretary, I'll be making
22 a brief statement --. I want to go back to the basic
23 sense of the really disturbed business conditions have
24 been on policy on oil and gas.

25 I think we all agree the last two or three

1 years we are underdrilling this country the finest --
2 of gas reserve -- the enormous amount of inputs going
3 on.

4 We're up to 5.5 million barrels a day of oil
5 in products of this kind. I predict that in four
6 years that it will be up to 6 and a half to 7 billion
7 barrels a day. Yet I think that we are overdoing
8 doing real estate structures and things like that and
9 --.

10 We must have a policy that allows the
11 development of oil and gas reserves because the only
12 hope, I think, we do have to be self-sufficient has
13 taken us 15 years to start production. We had to
14 expand the rules on 6,000 wells -- if we started today
15 it would probably take over 125,000 -- to really get
16 down where gas -- was maybe 5 million barrels of oil
17 in 15 years. And there's not been sentiment there to
18 do it under the present law.

19 Now, unless this law that we had proposed
20 would rededicate a great deal of funds back into the
21 independent, they drill about 85 to 90 percent of the
22 wells, I feel that this would be quite a really
23 shortfall of what we must do because when we talk
24 about a \$55 billion dollar balance payment deficit
25 this year and maybe an \$80 billion dollar balanced

1 payment deficit in four or five years, I just don't
2 think this -- 44 percent is spent on foreign oil. I
3 don't think it's initiative is taking -- therefore, I
4 think we must examine this very closely.

5 CHAIRMAN MOSBACHER: Frank Pitts?

6 MR. PITTS: I have made some notes that I'd
7 like to read. Mr. Secretary, if passed, in my
8 opinion, the so-called simplified tax plan will force
9 thousands of independent producers out of the active
10 business of drilling new wells. The offset is already
11 starting.

12 Reduce the amount of new wells drilled by 30
13 to 40 percent. Reduce the amounts of new reserve of
14 oil and natural found by 30 to 40 percent.
15 Significantly increase the nation's dependence on
16 foreign oil and natural gas. Weaken our national
17 security. Increase our nation's trade balance, which
18 this year -- the trade deficit, I mean. Looks as if
19 it were 100 billion dollars this year, escalating from
20 what 68 or 69 billion last year.

21 Reduce -- and here is a very important
22 point. Reduce tax revenues available to the U.S.
23 Treasury, cause thousands of Americans to lose their
24 jobs. To put it mildly, I'm very much against --and
25 as a result I am mailing at my own expense over 10,000

1 letters today and tomorrow to independent producers
2 all over this country, asking them to let the
3 President know their ideas of this so-called
4 simplified tax bill as it relates to oil and natural
5 gas.

6 CHAIRMAN MOSBACHER: Dave True?

7 MR. TRUE: Mr. Secretary, I'd like to add a
8 kind of a personal note to this if I might. I've made
9 my livelihood from the petroleum industry for over 50
10 years, The last 37 of which have been as an
11 independent, unincorporated, in Casper, Wyoming.

12 For the last 30 years I've had the
13 opportunity to come to Washington D.C. and testify
14 on facts and other matters before committees,
15 agencies and departments. Over the years, looking
16 back, I've testified, ouch, you're hurting me, you're
17 my industry and you're hurting my country.

18 This has been going on for awhile so this is
19 not fair play. If it hurts me then it hurts my
20 industry and it hurts my country. So, we have spent
21 ten days reviewing the overview of the Secretary of
22 the Treasury's proposal.

23 Now, we can see only one result that evolves
24 into two options. We can take the results of our
25 37 years who have been in business and gradually

1 liquidate it. Why produce any oil we've got in the
2 ground. And maybe we would pay less in personal tax,
3 as you pointed out. The value of that oil would be
4 depreciated overnight.

5 Or secondly, when you do -- the over 37
6 years, that is selling out. If you could find
7 somebody who wants to buy it but the bottom line is I
8 can see no way in the future that it would drill a
9 single exploratory well or even a rescue --.

10 CHAIRMAN MOSBACHER: Thank you.

11 John Rex Jones?

12 MR. JONES: Mr. Secretary, Mr. Chairman. We
13 at the IPAA have been talking with the Department of
14 Energy and -- McFarlane and with Secretary Clark about
15 energy security for America. We've decided that we've
16 been talking with the wrong people about energy
17 policies in the United States.

18 Secretary Regan has said that this proposal
19 will not impact adversely to majors or the large
20 independents. After talking with some of our many
21 friends here we can't agree with that statement but he
22 has said that it will impact most adversely the
23 medium-sized independents and the small wildcatters in
24 America.

25 He said that this proposal would make our

1 country more dependent on foreign sources of energy.
2 He admitted that in his proposal. We maintained that
3 that is the understatement of the year, Mr. Chairman,
4 and we do hope to respond and shall respond with
5 graphs and figures to support our position.

6 Just one quick example is this. This is the
7 drilling chart for last years' rig count and this
8 years' rig count. You will see that last summer we
9 had 400 more rigs running in the United States then we
10 did in 1983 for the corresponding month. That's the
11 middle part of the chart.

12 Then as prices for oil and gas softened we
13 saw the trend line flatten and then we saw the trend
14 line at the end of the chart, two weeks ago, actually
15 cross. So that if you continue that trend line on
16 into the normal spring decline you will find that
17 right here at that bottom part that we usually have in
18 April, in 1985, our rig count will be below 1800 rigs
19 in the United States, which will be 40 percent of our
20 available rig fleet and this is without any negative
21 impact of the tax proposal our projections were.

22 So you can see that we have a challenge
23 before us. Now we've had challenges before us before
24 as an industry, natural gas deregulation, and we
25 worked together in spite of a lot of heat from members

1 of our association. We stood with the administration
2 and we stood with the industry on total deregulation.

3 Now we have a new challenge, this proposal,
4 and we maintain that we again will stand together as
5 an industry on something that is so adversely going to
6 affect our nation, our nation's security for energy
7 and our industry as a whole.

8 Thank you.

9 CHAIRMAN MOSBACHER: Thank you. Richard
10 Gonzalez.

11 MR. GONZALEZ: Mr. Secretary, I'm an
12 economist, formerly with the Humble Oil and Refining
13 Company as their chief economist and director in
14 charge of economics, corporate planning and finance.
15 I've testified extensively before congressional
16 committees about taxation of the petroleum industry
17 and I am concerned about the fundamental thrust of
18 economic growth of this country, which to me is the
19 paramount consideration overriding the questions of
20 simplicity and the question of fairness which is in
21 the eyes of the beholder.

22 Now, my judgment -- let me say that I'm now
23 a senior research fellow with the Institute for
24 Constructive Capitalism of the University of Texas.
25 And we co-sponsored with Resources for the Future a

1 conference here in Washington at the Brookings
2 Institution last June on the topic, Improving U.S.
3 Energy Security.

4 To me, that is another fundamental
5 consideration that the administration has realized is
6 important to the nation, because we are literally
7 spending billions of dollars and it is costing us on
8 strategic petroleum reserves and it is costing us
9 billions of dollars in terms of adverse trade balance
10 to import oil.

11 And this is because of mistakes that we have
12 made in the past by the federal government of keeping
13 oil and gas prices below their true market value.

14 Let me introduce a concept that was used in
15 our conference of the equilibrium value of oil and gas
16 in relation to coal, which is an abundant energy
17 resource. And what the government did for years was
18 to keep oil and gas price below the equilibrium price
19 of coal and force people to shift to oil and gas,
20 which is a scarce resource.

21 Then the prices came about into equilibrium
22 between '74 and '78. And then they got out of
23 equilibrium again because of our mistake in making
24 OPEC think that our only alternative was synthetic
25 fuels. And in his message to congress, President

1 Carter said that we would have to subsidize synthetic
2 fuels until the price got to \$28 a barrel.

3 Immediately, the price went to \$28 a barrel
4 and then it went up on the theory that it should keep
5 pace with inflation. Well, that got it completely out
6 of line with the price of coal and it encouraged
7 people to invest money in switching out of oil into
8 coal. But we now have the situation in which if the
9 price of oil drops sharply, it will again start
10 displacing coal.

11 And again we will begin importing oil when
12 we should be producing our own domestic energy
13 resources. I can say this with assurance about the
14 proposed tax reform. It is based on an erroneous
15 economic theory and it will go counter to improving
16 U.S energy security.

17 The theory that it is based on is that an
18 income tax uniformly applied is neutral in its
19 economic effect.

20 At my suggestion, the Brookings Institute
21 years ago published a study on this very subject which
22 shows that an income tax uniformly applied is not
23 neutral on an industry that is risky and capital
24 intensive.

25 Now both of those things require a higher

1 than normal rate of return. The petroleum industry is
2 a classic case of a high risk, capital intensive
3 industry. Therefore, a corporate income tax on it is
4 not neutral and it will penalize the users of oil and
5 gas if it is applied in a neutral way.

6 That's why congress, years ago, when income
7 tax rates where very low, decided that percentage
8 depletion was necessary in order to assure reasonable
9 supplies of energy for this country. And the system
10 worked until we started eroding it by changing
11 percentage depletion and by imposing price controls on
12 oil and gas.

13 Now the administration, fortunately, has
14 moved very effectively toward removing price controls
15 and I think the only remaining step is to get rid of
16 them on natural gas. But the important thing is to
17 realize that regardless of how we weigh the impact on
18 past development and reserves, we've got to focus on
19 what is the effect on future development and reserves.

20 Because if we do not increase the rate of
21 development and use of our own domestic resources, we
22 are going to become more dependent on imported oil.
23 And that's going to be terribly expensive to the
24 nation. This industry produces both oil and gas. We
25 produce more energy in the form of gas than oil. We

1 cannot import cheap gas from foreign countries other
2 than Canada and Mexico, and they're not going to sell
3 it below what it is worth.

4 Now when we take those two forms of energy
5 into consideration, our domestic energy is cheaper
6 than foreign energy.

7 And we should be considering the imposition
8 of a national security tax on all oil imports,
9 starting at four cents a barrel in 1985 or 1986, and
10 increasing by four cents a barrel each year thereafter
11 until it reaches twenty cents a barrel or until
12 imports drop to fifteen percent of our domestic
13 consumption, which is about where they were in 1954
14 when the government first became concerned about
15 imports.

16 And the President appointed a committee on
17 national energy resources. And it's recommendation at
18 that time was that imports should not be allowed to
19 increase their share in the U.S. market. We did not
20 follow that recommendation and it got us into trouble.
21 Now this is a very crucial thing, and one of the most
22 important things the administration can do is make it
23 clear that the changes that are being talked about
24 would not be effective in 1985.

25 It's very clear. The document says none of

1 these changes would take effect before January 1,
2 1986. So it's terribly important for investors to
3 understand that you're not talking about effecting
4 their decisions in 1985, and they will have plenty of
5 notice whether they are going to change them in 1986.

6 Now, for God's sakes, I think we should not
7 make any change that would in any way run counter to
8 the fundamental incentives to improve U.S. energy
9 security.

10 CHAIRMAN MOSBACHER: Cliff Trice.

11 MR. TRICE: Mr. Secretary, Bob. This may be
12 coming from the best part of the country. These
13 figures and statistics are most important. But, Mr.
14 Secretary, I would urge you, as you and your staff
15 articulate the -- price requirements, the fact that we
16 as members of this industry are concerned citizens.
17 We're not all fat cats. We're not all selfish. We
18 are concerned.

19 As my brother George Mitchell says, he's
20 drilled 6,000 wells. I've been in this category about
21 3,000 wells. I've been in the business since I was 11
22 years of age. And, as I say, I don't know anything
23 about it.

24 And I would suggest to you that in the last
25 35 years we caused some 3,000 wells to be drilled and

1 the better part of those funds comes, exploratory
2 dollars, comes from outside investment. Wells will
3 not be drilled, exploratory wells will not be drilled,
4 at least 85 percent of exploratory wells will not be
5 drilled from outside because we will not have those
6 funds.

7 And we, like my good friend David True says,
8 we could help you -- find gas in the ground. We may
9 start seeking elsewhere to invest our money, rather
10 than drill our own -- spend our money in the industry.
11 We are concerned. Statistics and data are important.
12 Psychology only builds a barrier with a great mass of
13 people, that we're selfish, we're fat cats. May I
14 suggest to you, I think I'm overdrawn at the bank
15 today.

16 CHAIRMAN MOSBACHER: Anybody else on this
17 side of the room? Jim Glanville, Investment Bankers
18 perspective.

19 MR. GLANVILLE: Thank you, Bob. I think
20 that I can't really add a great deal to what our
21 friends here have already said, but I would like to
22 make or two quick points.

23 I think that this is one of the situations
24 where there has been too much rhetoric. I think the
25 very definition of the proposal as an attempt to make

1 taxes fair has to start out with being a introduction
2 to rhetoric which serves no useful purpose.

3 There have been equally rhetorical
4 statements made from the other side. I saw an
5 editorial which was described as a plan to
6 de-industrialize America. I think we have to look at
7 this, not from the perspective of your taxes or my
8 taxes, but what it does to the whole country.

9 And I think that the Treasury proposals --
10 and I was pleased to hear from the Secretary that they
11 had been well-considered, I was somewhat disappointed
12 in reading their rhetoric or their analysis and I
13 would just use one word, one sentence. Investment in
14 oil and gas is tax favored. Capital has been diverted
15 to other more productive economic activities. No
16 basis for it, that's just a given.

17 I think when you start to devise a tax
18 system with that type of understanding of the
19 business, you inevitably run into the chance of
20 substantial difficulties. The Treasury has also just
21 completely written off the mining industry, which is a
22 sister industry to us.

23 Under their analysis, their proposal on
24 mining, they say because the expectancy of excess
25 capacity which currently exists in the hard metal

1 industry, the proposal will have minimal effect.

2 Well, we all know that there is a very long lead time
3 in development of mineral prospects, mineral projects.

4 If we propose to turn our acquisition of
5 resources over to unstable parts of the world, then we
6 deserve whatever happens to us.

7 On the question of fairness, I'd like to go
8 back to Russell Long, to his -- he's been my advisor
9 in this area for many years and he's probably heard
10 more people blathering about fairness of taxes than
11 anyone else in the world. He says fairness is, "Don't
12 tax me. Don't tax you. Tax that fellow under the
13 tree."

14 I think that it is clear that we can't -- of
15 course this is not a fair proposal in my judgment.
16 I've also tried, Bob, to look at what would be the
17 short term effects of some of these things. One man's
18 loophole is another man's incentive. We have to avoid
19 the question of subsidies.

20 But I have, for this purpose, just taken a
21 disincentive number of \$1 billion a year. What does
22 that do? Everyone can then make, whether they think
23 the disincentive is \$10 billion or zero, they can then
24 subtract the numbers.

25 But if you take \$1 billion and make some

1 assumptions about the cost of an average rig, you
2 certainly are going to reduce the rig count 3 to 500.
3 Just for \$1 billion. And if it's more than that, the
4 rig count comes on down.

5 Second, \$1 billion at the industry average
6 finding costs produces something like 80 odd million
7 barrels of reserves. Using a normal zone of reserves,
8 this will not be discovered. Using a normal decline
9 curve, that would increase imports something in the
10 order of magnitude of \$400 billion a year, increasing
11 from that point forward.

12 The rigs which are shut down, the effect on
13 the service companies, will have a major impact on
14 unemployment. And we're not just talking about rig
15 crews being shut down, but all the industry which
16 serves the rigs. And that includes the people who run
17 the local cafes and what have you.

18 The impact on the industry and the area will
19 be, I believe, substantially more negative than is
20 perceived by the Treasury proposal.

21 One last point I would make, and I'm sure
22 this wasn't the intent but if it were drafted in such
23 a way as to divide an industry, I can't think of a
24 better way to have done it. When one analyzes this
25 thing, if you analyze it in totality, you may lose

1 here but you pick up there.

2 And I would use a specific example, the
3 dividend deduction. Our friends over there tell me
4 that's the least likely thing to happen. It has
5 almost no chance of passing. Yet, for certain members
6 of the industry, it can become an important -- have an
7 important impact on their analysis of the whole
8 picture.

9 So I think if we're to learn from history,
10 what generally happens from reform is all the bad
11 things get in and very few of the good things.

12 So I think it is important that we look at
13 the impact of this proposal and on a realistic basis,
14 make a realistic assessment of what will be passed.
15 Thank you, Bob.

16 CHAIRMAN MOSBACHER: Thank you.

17 Fred Hartley.

18 MR. HARTLEY: Well, some people say I'm too
19 independent to be a major and too major to be an
20 independent, but we all live in the same ocean.

21 I recall the debates that went on at the
22 time the depletion question was discussed and was
23 forced onto the majors and was still available to the
24 independents.

25 Well, it's quite obvious the independents

1 and the majors didn't die. In fact, they got so damn
2 virile, they're running around killing each other.
3 And what really happens in this situation is, in the
4 first place, we businessmen don't pay any of these
5 taxes. They've got to end up being paid by our
6 customers. Any changes that occur, ultimately, water
7 is going to seek its level and we're going to have to
8 stay alive with whatever the environment for doing
9 business is.

10 And my main concern in this whole situation
11 is whether you're really going to go full circle on
12 this doctrine of fairness. Obviously, I'm as upset as
13 anybody else is.

14 It takes a responsible attitude to our
15 society with the debts gotten totally out of control
16 and our balance of payments is unbelievable and the
17 country has a former capitalistic greatness. It's
18 kind of falling apart. And this, apparently at this
19 point in time, the Republicans have seen fit to adopt
20 some of the platform of the other party.

21 Even the use of the word "fairness" has
22 suddenly changed from camp A to camp B.

23 SECRETARY HODEL: Fred, just to keep the
24 record straight, it ain't the Republicans, it's the
25 Department of the Treasury.

1 MR. HARTLEY: Oh, I love the way you
2 compartmentalize your brains. Al respects that. Very
3 few of us have that ability, I might add.

4 For example, I was shocked to find out that
5 General Electric makes \$2 billion a year and pays no
6 taxes. Well, I found out the other day why, the real
7 punch line. They came roaring to our people to say,
8 "Look, we'll put you in a cogeneration power plant at
9 your family refinery. It won't cost you a cent,
10 because we've got some "sucker" rules written here in
11 our tax laws which allow us to get all of the
12 incentive tax credits, which allow us to get class
13 depreciation.

14 It's so good that we're going to give you
15 all the steam you want for this operation. It's going
16 to be a cogeneration deal. And, of course, they use
17 their credit facility to bring all that about.

18 And here's an outfit that a good portion of
19 their business depends upon their defense contracts.
20 They build all the engines for the new B1-B, for
21 example.

22 They don't pay taxes. Well, what does that
23 mean? That means I'm paying a hell of a lot more than
24 I should be. So, obviously that's a very prime
25 example of what the Secretary of the Treasury is

1 driving at. There isn't any fairness. And these tax
2 laws are being used to gimmick up our investment
3 decisions.

4 So rather than making decisions on a quality
5 investment basis, the decisions are made on a quality
6 of tax evasion basis. The elimination of taxes. That
7 does not seem to me to be a very sound basis for a
8 virile leadership democracy in this world.

9 But to come to the full circle concept, Mr.
10 Secretary, if we're going to do what you propose, what
11 the Secretary of the Treasury has proposed, we've got
12 to follow through in total. We can't stop by
13 eliminating incentives that we say we have today which
14 basically are in two categories, the immediate write
15 off of intangibles, and for the independents, the use
16 of depletion.

17 I might point out to Mr. Parker, who is
18 going to insist on drilling nine dry holes out of ten,
19 depletion doesn't mean a damn thing to you.

20 It's really a fast turnover -- it's the fast
21 turnover of the intangibles is really the important
22 thing and, of course, all of the aspects of leveraged
23 capital that we play with in this country with great,
24 great skill. I get deals all of the time telling me
25 Hartley give us \$50,000.

1 If you give it all back in two years it
2 won't cost you a dime and the taxpayers in the
3 United States will be glad to give it to you.
4 Propositions come forth like mad.

5 The question then is, are you going to
6 follow through and put in the position of free market
7 so that we can get the price corrections to go with
8 the regulation changes. To be specific, we had a gas
9 contract on the West Coast for the monopoly, not a
10 free market. OPEC doesn't know what a monopoly hold
11 price fixing organization is until you've ran into the
12 West Coast Gas Company.

13 They just added 20 cents the first of the
14 year. If you don't like gas at your price, Mr. Hodel,
15 the regulated priced of \$3.82. They said we're not
16 going to that any more because we've been sitting
17 around with those Canadians. Those Canadians want to
18 market it so they're going to give it to us for \$3.20.
19 So the hell with your gas.

20 Now this is in spite of the fact that we've
21 got a contract. Then the bottom line was well, on the
22 other hand, if you'd like to sell it to us for \$3.07,
23 we'll take it. Big deal.

24 We've got to free -- we've got to take the
25 power away from the State Public Utility Commission so

1 the free market can operate in the national gas field.
2 And secondly, the Government let all that old gas get
3 up to the marketplace.

4 If we're going to have this free, fair, new,
5 emancipated doctrine of taxation we've got to complete
6 the picture on the gas situation and obviously, the
7 same applies to oil. I don't know why it's such a
8 good idea to put the taxes in effect in '86 and do
9 nothing about the price control on oil in '88. It
10 sounds like you're a little out of faith.

11 I think if you're going to do this do it
12 with fairness. Boy, you're going to hear that word
13 fairness from me until hell freezes over because I
14 believe in that. I believe in that concept.

15 The second point is is that if the
16 marketplace works we can work with any rules you give
17 us. Obviously, we reduced the amount of bonuses we
18 paid for this offshore acreage when we lost the
19 -- water had to seek its own level. We didn't have
20 the cash so we couldn't give it to you.

21 MR. HARTLEY: The other problem we've got
22 today is that we are inundating on our shores, cheap
23 gasoline and diesel from foreign sources that are
24 selling not necessarily below price as they see it
25 because they're in a position to set the price of

1 crude oil anywhere they want to from \$3 a barrel on up
2 to \$29 because their costs are only \$3 a barrel so
3 they can do that.

4 We're getting it from China. We were
5 getting it from the West Coast, meaning San Francisco.
6 We're getting it from -- we were getting it from
7 Russia. I don't know how much is coming from Russia
8 now. I'm not sure. We dump them out of refineries
9 and -- God knows what price that crude oil is going
10 into those refineries at.

11 One thing for sure, it's not \$29 a barrel
12 and I think this is still the case this past week but
13 if you take the ratio of gasoline and diesel as it's
14 sold and multiply a price by barrels for a totals of
15 42 gallons, you could actually buy the finished
16 product for less than you could buy the crude oil for.

17 That obviously means there is not a free
18 market actually, a fair market actually. I saw that
19 -- we -- the reason the producers are now suffering,
20 we're suffering right along with the independents.
21 The fact is -- is that we can't pay you what you
22 should be getting for your oil.

23 If we've got to compete against these what I
24 call planned economy societies, call them --
25 call them what you want, they can dictate the price of

1 call them what you want, they can dictate the price of
2 the raw material any time they want to and they are
3 doing it and they're dumping in the raw markets.

4 So as part of this fairness business, we've
5 got to inact at the same time if we go through with
6 this proposal of the treasurer. We've got to get
7 control of product imports and be certain that
8 they are surveiled and if duty applied to them
9 flexibly as necessary as they decide to dump some of
10 their stuff in our markets.

11 So that in effect there is a relationship
12 between the price of product and the price of crude
13 oil and without that the -- what's going to happen to
14 our -- our companies in terms of reduction in earnings
15 and reduction in daily explore and so on.

16 Because of this situation, this situation is
17 a terrifying one versus what's being proposed by the
18 Treasury because that's just going totally wreck the
19 whole situation. I think that that's got -- so I
20 repeat, let's complete the whole circle.

21 As we go through this fairness deal, you're
22 earnest on paying taxes. Let's be sure we also have a
23 doctrine of fairness on how we Americans compete, the
24 internationalists, many of whom have a strong desire
25 to destroy our society. Thank you.

1 MR. CARL: Bob, just a brief -- brief
2 summons and then an operator. I'm sure it pointed
3 there it didn't -- the bill until '85 -- Senator --
4 Bob pointed out Fred was learning --

5 We cannot lose site of the fact and the bill
6 seems -- the proposal seems that a dry hole whether on
7 producing lease or on a -- wildcat prospect is an
8 economic loss. We must not lose sight of that.

9 Also the independent -- of one -- incentive
10 that is at the well head. All of the disincentives in
11 this proposal are directed to reduce the profit at the
12 well head. That must not happen.

13 CHAIRMAN MOSBACHER: Thank you. Car -- Cary
14 Maguire.

15 MR. MAGUIRE: Mr. Secretary, I am extremely
16 proud of what this administration has done so far and
17 I think that it's very important that it does not do
18 anything that takes away that basic thrust.

19 I have just two other thoughts I think you
20 might want to consider. Number one is what the effect
21 this would have on the bank industry. Now I'm a
22 director of a bank and I think you lower the value of
23 oil and gas -- is substantial. It would have a
24 significant effect.

25 I would like to remind you that you had --

1 bank payers last year and the world --
2 perhaps the number one problem was our total debt and
3 I think if you caused an accident that helped the
4 banks to increase, preserve the loan losses, you will
5 then have higher interest rates would have an effect
6 on our capital structure.

7 The second comment I'd like to make is on
8 the stock market. As you know the energy industry
9 represents something like 35 percent of the market.
10 In my opinion you cannot have a healthy market if you
11 do something negative that effects 35 percent. I've
12 invested in the market for many years and I think that
13 it's very important that we had a healthy market over
14 the next four year period of the second term of the
15 Reagan administration if we're going to do the kind
16 of things that we want to do.

17 And finally I think you can have a simple --
18 a simpler tax cut or -- and also have incentives for
19 investment. I don't think we have to have this
20 monstrosity we have, so I do support the effort to
21 have something simple but we don't need to take away
22 incentives for investment.

23 CHAIRMAN MOSBACHER: Thank you. May I hear
24 from this side of the room, please? Jack?

25 MR. ALLEN: Mr. Chairman, Mr. Secretary, our

1 effort to install a company in the advantage of oil
2 users we will drill about between 25 or more wells
3 per year, sometimes less. We get about 100 different
4 qualities. We have spent time in the last ten days or
5 two weeks analyzing the effect this proposed tax
6 reform would have on our particular business and how
7 it will effect us in the future.

8 We analyzed it for the years 1982, 1983 and
9 1984 to date and the bottom line was that while we pay
10 very substantial taxes now, under the new proposal we
11 would pay 116 percent more in taxes. We tried to see
12 what that would do to our business.

13 We polled our outside investors, our main
14 source we can't poll. Virtually all of them indicated
15 they would not continue to spend at leisure under a
16 situation like that. Most of them are tolerable to
17 tax dollars. She does her own homework on this
18 situation.

19 We have other sources of -- of capital which
20 include foreign. We don't think we could increase
21 bank debt. The other portions internally generated --
22 and due to the increase in the level of taxation, our
23 internally generated -- would be going for taxation
24 rather than drilling.

25 The bottom line of all this is I don't see

1 how we can possibly drill more than 25 percent of the
2 wells we're drilling now. And most of those would be
3 development rather than import our oil. We will be
4 glad to -- you're capable of making figures
5 available to them but I assume we're fairly
6 temptable of the independent sector and if that is the
7 case this can do nothing but tragically reduce
8 drilling in the years to come.

9 I think that the Treasury has failed to take
10 into account as it's been -- to before. The high risk
11 involved in this nature of our business. We don't
12 foresee -- investing in our business, in a
13 high risk business if you will but if they could reach
14 the same rate of return on the low or small risk
15 venture obviously the Treasury has completely
16 overlooked this.

17 We're just not going to get the investment
18 capital -- proposals the bottom line is of course
19 let's invest -- oil --

20 CHAIRMAN MOSBACHER: Thank you. Any other
21 comments on this side of the room? Anyone else?
22 Excuse me. Yes.

23 MR. LICHTBLAU: I am just looking at the
24 items that you listed before the Secretary and I can
25 see, if you look at all of these items and the

1 negatives and the positives, the net in some cases may
2 not be all that negative. In fact, it could be
3 positive.

4 If you assume that oil companies as a result
5 of changes -- will spend less money -- substantially
6 less money in exploration. They will have a bigger
7 cash flow and that in turn could increase their
8 earnings temporarily.

9 But I submit this is a totally irrelevant
10 question. The question is not what will it do to the
11 oil company's earnings but what will it do to the
12 exploration activities. But it's good or bad for the
13 -- us another question and it could be the conflict if
14 they always do to change in tax cost but if you assume
15 it will clearly, as heard this morning here,
16 substantially reduce exploration activities.

17 If you combine that with your scenario over
18 decline in the price of oil down to \$25, it's obvious
19 that there's a very substantial decrease in
20 exploration activities and as a result you must -- in
21 imported oil within a number of years.

22 To some extent this is already the case in
23 before any of these changes take place but this will
24 clearly accelerate and I think that problem will
25 clear. What it will do this oil company's earnings is

1 the key question on his progress itself. -- see
2 whether this is a positive or a negative proposal for
3 the U.S. economy.

4 CHAIRMAN MOSBACHER: Thank you. Harold
5 Pruner?

6 MR. PRUNER: I can't add that much more to
7 what's already been said -- but I will keep my comment
8 free -- and be more consistent.

9 As a geological engineer with Shell and then
10 a loan officer with -- I've looked at petroleum
11 prospects both from the evaluation side for the
12 company and then from the lender's side from the
13 bank.

14 This tax bill, I think, is wrong type of
15 proposal because it doesn't match the industry at time
16 of tax. It says the incentives are inappropriate so
17 we -- provide the inappropriate. It's always been
18 recognized that there was a high risk for finding oil
19 and gas that before you drill and find it was
20 expendable and that the product you produced from it
21 is -- and its consequence tax -- were generated over
22 the years to provide what we have as we evaluate a
23 prospect.

24 We're being asked now maybe to trade. The
25 intended would really cause write-off and certain

1 benefits we get in the analyzing of the proposal for a
2 promise of some greater reduction in the corporate
3 taxes down the road and that won't wash in the
4 industry and in fact it will cause a lot of engineers
5 to turn down or deliver at --

6 I watched the project -- all the way through
7 tertiary area seven and the -- the loss to the
8 taxpayer takes on tertiary inject becomes a tax.

9 So it seems to me that this tax bill is
10 untimely and it's unwise and it seems to follow the
11 Washington pattern and never kick a man or in this
12 case the industry unless he's down.

13 AUDIENCE: Mr. Secretary, one comment. I
14 have seriously questioned the ability of our company
15 to make money in exploration domestically since 1979.
16 -- about the studies and working on this now very
17 seriously for the past five years. We formulated our
18 '85 budget, at least I think, by 75 to 80 percent of
19 our -- abroad.

20 The tax bill as I understand it will
21 absolutely exclude our corporation from further
22 exploration in the United States. I say the only
23 thing I can add to what's been said here is that I
24 think that our capital investing in the United States
25 in the five years will not been productive. Very,

1 very -- studying these numbers as we have and probably
2 -- and any production whether it's tangible or
3 whatever really would remove us from --

4 CHAIRMAN MOSBACHER: Lou --

5 AUDIENCE: Mr. Chairman and Mr. Secretary,
6 we're pleased to hear your remarks about these were
7 not Republican ideas, they were Treasury ideas. Allan
8 Crownley send an article in the Daily Oklahoma last
9 week in which he made reference to an interview that
10 he had had with Secretary Ragan and -- go over this --
11 Oklahoma heard from that remark that Secretary Ragan
12 had made of the interview was that the reforms that he
13 was proposing had a short term and a long term effect.

14 In the short term, the reforms would reduce
15 domestic reduction and would increase our dependence
16 on insecure foreign oil. So that's all right because
17 in the long run the country will be better off. These
18 proposed reforms would be more beneficial because the
19 Capital and Laker released from the energy sector
20 could be more productively used in other industries
21 and the Oklahoma producers heard this. They didn't
22 believe what they said -- what he said that he really
23 meant and if you could convince him to come to
24 Oklahoma and tell us that he didn't really want us to
25 get our of the oil industry, I think you'd be doing

1 some big favors.

2 MR. ALLEN: It sounds to me like if I could
3 convince him to go to Oklahoma, I could worry about
4 dealing with his successor.

5 CHAIRMAN MOSBACHER: Thank you.

6 Well, Mr. Secretary, I think you've heard
7 some comments from the industry. Is there anyone at
8 the head table that would like to make any comments?

9 MR. MC KINLEY: I might just bother you --

10 CHAIRMAN MOSBACHER: John McKinley.

11 MR. MC KINLEY: -- you had suggested that
12 you might like to hear something from an
13 international type company in this activity. We're
14 working very diligently on analyzing this situation.
15 There are a number of factors that you have covered
16 and I won't repeat those but there are many others in
17 this proposal that have very definite negative impacts
18 on U.S. based international companies as we attempt to
19 compete with the non-U.S. foreign activities.

20 Those are these things on the allocation of
21 interest expense to foreign source income, foreign tax
22 credit, matters of that type. Also, I was quite
23 disturbed to see this thing on tertiary injective
24 expenses. I think in the U.S. we want to do tertiary
25 but this is a very negative in promoting tertiary

1 recovery in the United States which we essentially need
2 to do.

3 Briefly the status of our work so far in the
4 category of allocation of interest expense, foreign
5 source income, interest expense disallowance, IDC
6 dryhole, tertiary injecting expenses, investment tax
7 credits, all of these things result that the present
8 status of our studies of showing that a on-going
9 business operating around the world will have less
10 cash flows both domestic and international under these
11 proposals. That simply means that we will have less
12 funds to invest both in exploration and in the
13 moderization of equipment.

14 It also says that U.S. companies that have
15 been somewhat at a significant disadvantage operating
16 internationally are going to be further crippled in
17 that respect under these proposals. We have not
18 finished our work. What we are doing with it now is
19 taking our business plans for the years ahead and
20 running this complete program through what it would do
21 to those business plans since we have about 50 percent
22 of our assets outside the United States and 50 percent
23 inside.

24 We operate in total in about 150 countries
25 and you can imagine how complex this analysis will be

1 but we're going to finish it very promptly and we'll
2 be pleased to share with you, Mr. Secretary, our views
3 of what this proposal would do to a company of our
4 type.

5 CHAIRMAN MOSBACHER: Thank you.

6 Mr. Secretary, you've heard these comments.
7 In summary, I think what you've seen perhaps a small
8 summation by the chair if you'll allow it sir?

9 SECRETARY HODEL: Sure.

10 CHAIRMAN MOSBACHER: Regardless as to
11 whether it's good or bad for our pocketbooks, it will
12 undoubtedly diminish the exploration of oil and gas in
13 the United States. If these people who represent
14 frankly the majority of the oil and gas industry in
15 this country are correct and I found them to be
16 correct most of the time, we'll find a strong
17 diminution in looking for their forfinding additional
18 energy, we will obviously then become more and more
19 dependent on foreign energy and I don't think we need
20 to spell out what that does to the balance of
21 payments, steps of potential as well as national
22 security. Thank you, sir.

23 Would you like to say a few words.

24 SECRETARY HODEL: I think Bob is worried
25 about your agenda and running out of time. I

1 apologize but I do think I need to respond. First of
2 all to say, I very much appreciate those of you who
3 have spoken as well as those who have not spoken but
4 who I can tell from various reactions share some of
5 the, especially some of the more pungently stated
6 views of your fellow members.

7 I have found this session to be tremendously
8 valuable to me and it isn't just the information
9 you've imparted but it is also the sense of concern
10 and spirit with which you've given it to me. I'm sure
11 you may wonder sometimes, well, does it do any good
12 to talk to a bureaucrat? Well, let me tell you, I
13 think it does good. I think you have compounded my
14 understanding and you have certainly increased my will
15 and determination to try to make effectively the
16 points that need to be made about the impact on our
17 energy supply.

18 The President is convinced that we need to
19 continue to move this nation for energy independence.
20 I frequently use the word non-dependence because
21 independence to many people means no imports. I don't
22 think we say that but independence in the sense that
23 nobody can jeopardize this country by cutting off our
24 supplies. What I hear you saying is Bob has just
25 summarized very effectively is that this bill if

1 enacted as it reads would have a terribly negative
2 effect on that thrust for this country.

3 I think as Secretary of Energy I've got to
4 be prepared to make that known. I do not believe this
5 nation is desirous at becoming more dependent upon
6 imported oil. I don't think it's more inclined or
7 inclined to become more dependent upon imported
8 products, petroleum products. I understand some of
9 the concerns that have been raised on that as well.

10 All I can say is that I will try to be an
11 effective spokesman for the composite point of view,
12 not only of this organization but of our own analysis.
13 The analysis which you provide me. It will not just
14 be limited to oil and gas obviously. There are other
15 energy industries. But I conclude, Bob, where I
16 began, we have had a National Petroleum Counsel for
17 many years because we have recognized, as a nation,
18 the tremendous significance of oil and gas as our
19 basic energy supply and anything that cuts across that
20 dramatically increases our vulnerability is adverse to
21 the long term best interest to this country and we
22 need to be concerned about it and I will try to raise
23 those points effectively in the higher counsels.

24 Thank you very much --

25 CHAIRMAN MOSBACHER: Secretary Hodel, we

1 thank you, sir, for being here with us and hearing the
2 views of concerned energy industry.

3 Now to our study committee reports. As you
4 know and as many of you have already reviewed the
5 counsel has had under consideration a draft report of
6 the study requested by the Secretary of Energy
7 regarding strategic petroleum reserves. As it's been
8 circulated to the membership and reviewed, at this
9 time Bill -- chairman of the NPC committed and the SPR
10 reserve was to deliver the report. He's unable to be
11 here. In his absence, Gordon Goering who is chairman
12 of the committee's coordinating subcommittee will
13 deliver the report. Mr. Goering.

14 MR. GOERING: Thank you, Mr. Chairman.
15 Ladies and gentlemen, I am pleased to present to you
16 this morning the findings and recommendations of the
17 NPC committee on the strategic petroleum reserves. As
18 you know, in November of 1983, the counsel was
19 requested by Secretary Hodel to conduct a study of
20 various aspects of the strategic petroleum reserve.

21 At that time, the Secretary also asked the
22 counsel to examine current and projected tanker trends
23 with an emphasis on tanker movements of SPR oil.
24 Because of the inter-relationships of the study
25 topics, the counsel agreed to address both requests in

1 one study effort. In order to conduct a study, a
2 study organization consisting of the committee on the
3 strategic petroleum reserve, a coordinating
4 subcommittee and four task groups was established to
5 assist in responding to the Secretary's request.

6 The task groups were aligned along four
7 critical operational areas considered in the analysis.
8 SPR facilities, the overland distribution system, the
9 water born distribution system and the domestic
10 refinery industry. Early on the committee agreed to
11 study the distributional aspects of the SPR and
12 address policy issues only as they directed to impact
13 SPR distributions.

14 With this in mind, the committee identified
15 its key objective to determine the capabilities of the
16 SPR system and the private sector to draw down,
17 distribute and refine SPR crude oil at the SPR maximum
18 draw down rate of 4.5 million barrels a day under
19 DOE's current sale procedures. The committee felt
20 that by testing the system at its maximum design draw
21 down rate, the concerns raised by the Secretary
22 regarding draw down and distribution capabilities, the
23 SPR crude oil quality and refining capabilities to be
24 addressed in terms of maximizing the flexibility of
25 the SPR system.

1 The committee strongly believes that the SPR
2 distribution system must be designed with the greatest
3 amount of flexible flexibility possible in order to
4 respond to a variety of supply emergencies and to
5 adopt to constantly changing supply demand patterns.
6 In light of our objective, that is, testing the system
7 at the maximum 4.5 million barrels a day of SPR draw
8 down are distributions -- or rather disruptions
9 scenario was developed that virtually eliminated all
10 crude oil and product imports into the United States.

11 The disruption was postulated for the year
12 1990 when DOE projects that the SPR fill will be
13 completed and the maximum design draw down rate will
14 be achievable. Thus it was necessary for study
15 purpose to define business as usual, 1990 crude and
16 product supply demand balances, refinery inputs and
17 outputs and crude and product transportation patterns
18 before the effects of our disruption scenario could be
19 determined and SPR requirements defined.

20 Some key assumption regarding this scenario
21 should be noted. The virtually total cut-off of all
22 crude and product import to the United States actually
23 meant that no net crude or product movements were
24 allowed. But some Canadian crude imports were
25 continued for quality and logistical purposes on an

1 exchange basis. Domestic demand was restrained to a
2 level equal to 1990 domestic production plus the 4.5
3 million barrels a day, a maximum SPR draw down with
4 the underlying assumption that crude and product price
5 levels would adjust during the disruption, such as
6 demand would equal available supply.

7 It was also assumed that in the disruption
8 market -- that in this disruption, the market forces
9 would redistribute crude oil from refining centers
10 with ample domestic crude oil to refining centers in
11 import dependent area. Further, reductions and
12 individual product demands were distributed equally
13 among the countries five petroleum administration for
14 defense districts. Although the demand reductions for
15 each product category were defined separately on the
16 basis of individual product elasticity.

17 The refining capacity was assumed to remain
18 more then adequate to meed 1990 product demand. And
19 for study purposes we treated the U.S. Virgin Islands
20 and Puerto Rico as a part of the U.S. supply demand
21 system. At this point I should digress for a moment
22 and note that the study is in no way intended to
23 forecast the supply and demand, pipeline availability
24 or the manner in which refinery or transportation
25 markets would actually respond during an emergency.

1 The committee realizes that the destruction scenario
2 developed for the study is extreme and because it is
3 impossible to predict how markets and consumers will
4 respond to a given disruption scenario very ability
5 from the responses put forth in this study must be
6 expected.

7 It is for this reason, however, that the
8 study analyzes the SPR system at its maximum design
9 draw down rate. Because there would be little or no
10 advance knowledge of the extent of the supply
11 disruption, it's duration or regional impacts on
12 consumers and markets, the SPR system must be designed
13 with the greatest amount built-in flexibility in terms
14 of meeting potential distribution and refinery
15 requirements.

16 Only in this way will the system be able to
17 midigate the effects of a wide range of possible
18 supply shortfalls. I'm pleased to report that our
19 committee believes that the strategic petroleum
20 reserve is a valuable natural asset that is capable of
21 being drawn down and distributed in the event of a
22 national emergency. In general, we found the system
23 to have been properly planned and operated. However,
24 due to changes in the domestic energy picture, the
25 committee recommends certain changes to insure the

1 timely and efficient draw down, distribution and
2 refining of SPR inventories.

3 Our recommendations are aimed at providing
4 sufficient flexibility within the system to cover a
5 reasonable range of potential SPR distribution and
6 refining requirements and enhancing the system's
7 abilities to minimize the effects of future supply
8 disruption. I would like to present the studies
9 specific findings and their associated
10 recommendations.

11 Barring a sizable loss in refining
12 capacity by further shut down, it appears there will
13 be sufficient capacity in 1990 to process SPR oil in
14 the available domestic crude oil production. However,
15 the currently planned 1990 SPR crude oil quality mix
16 does not provide adequate flexibility to meet
17 potential refining system needs. Therefore, we
18 recommend SPR purchases should be reoriented to insure
19 that at least 43 percent of the planned 750 million
20 barrel reserve is low sulfur crude oil.

21 The currently planned ratio of 35 percent
22 low sulfur, 65 percent high sulfur crude oil could
23 result in regional distribution inequities and/or
24 compound refining difficulties in meeting product
25 sulfur specifications. In order to achieve this

1 recommended mix, DOE should act immediately to
2 increase low sulfur crude oil purchases to at least 50
3 percent of the remaining sale and to designate
4 segregated storage for this oil

5 Our second finding is since two major
6 pipeline systems -- Seaway are no longer available to
7 the SPR, current plans for location of future SPR fill
8 would require additional Marine movements to supply
9 Mid-western, lower Mississippi River refining centers
10 thereby adding to Marine congestion in path three
11 especially barge congestion. As a demonstration of
12 the potential imbalance caused by the SPR location,
13 the projected ratios of stored crude oil for local or
14 pipeline connected refining capacity are 88 days at
15 the Seaway complex, 193 days at Texoma complex and 28
16 days at the Capline complex.

17 Our associated recommendation is a ship of
18 at least 100 million barrels of remaining SPR fill
19 from the Texoma complex to the Capline complex should
20 be considered. Since the Texoma and Sealine pipelines
21 are no longer available to the SPR, part of the needs
22 of path two that were to be served by these pipelines
23 can be served via Capline. Congestion of water
24 movements from the Texoma complex to refineries served
25 along the Mississippi River maybe reduced by

1 connecting one or more SPR sites to Louisiana
2 offshore oil port facilities.

3 Most, if not all, of the refineries to be
4 served by movements on the Mississippi River can be
5 served by one of several pipelines connected to the
6 LOOP storage facilities. For these reasons the
7 allocation of SPR storage should be shifted in some
8 fashion to the Capline complex. Further, such a ship
9 would increase flexibility to meet refiners crude oil
10 quality needs and would ratify the imbalance in the
11 days of crude oil supply stored at each of the three
12 SPR complexes.

13 Whether to change the physical location of
14 the storage or to connect existing sites by pipeline
15 to the Capline area would have to be determined after
16 the economics have been studied. Our next finding is
17 upon completion of the SPR fill, the capacity to
18 withdraw crude oil from the storage caverns will match
19 the same design draw down capability of 4.5 million
20 barrels a day. However, without capacity
21 enhancements, none of the three SPR complexes will be
22 able to deliver crude vessels, especially barges,
23 and/or pipeline at the maximum prejected 1990 draw
24 down rate, nor will there be sufficient flexibility to
25 cover a reasonable range of possible ships in future

1 distribution capacity or requirements.

2 We therefore believe that enhancements are
3 necessary at all the SPR sites to increase
4 distribution capacity and match draw down capability
5 and to provide additional flexibility in the system.
6 Specifically at the Seaway complex a one million
7 barrel per day pipeline from Bryan Mound to the Texas
8 City/Houston area should be constructed. Also the
9 Phillips Dock should be considered for use in a draw
10 down to supplement the Seaway dock.

11 With these enhancements, Bryan Mound draw
12 down capability would be fully utilized. I should
13 note that this recommendation is consistent with the
14 current DOE enhancement proposal. At the Capline
15 complex, St. James Terminal capacity should be
16 increased from 880,000 barrels a day to 1.07 million
17 barrels a day consistent with Wheats Island and --
18 draw down capability. This enhancement is required
19 even if future SPR fill is not relocated to the
20 Capline area and is consistent with the current DOE
21 enhancement proposal.

22 At the Texoma complex, should economics
23 dictate that future SPR fill be shifted to the Capline
24 area and 860,000 barrel a day capacity enhancement is
25 still required at this complex to make maximum use of

1 draw down capability. Specifically 580,000 barrels
2 per day of this through put enhancement should come
3 from a nine mile, 26 inch pipeline from West Hackberry
4 to Lake Charles and 280,000 barrels per day should
5 come from increase terminal through put capacity
6 available to DOE at Nederland.

7 These enhancements are also consistent with
8 the concurrent DOE enhancement proposals. If a ship
9 that the remaining SPR fill is not made to the Capline
10 area, these Texoma complex enhancements should be
11 supplemented by an additional 730,000 barrels per day
12 in terminal through put and Marine loading capacity
13 available to DOE at Nederland to meet the 1990
14 destructive dates as well as to provide flexibility
15 for future demand ships.

16 Our third finding is that the lack of
17 Ballast treatment facilities at SPR terminals which
18 could constrain sustained loading rates by as much as
19 30 percent restriction distributed accordingly. We
20 recommend therefore that Ballast water treatment
21 facilities are alternate means of disposal should be
22 provided at all SPR Marine facilities. As loading up
23 crude oil requires some method to handle Ballast, a
24 cost benefit study should be conducted to divine the
25 most effective means of dealing with this problem.

1 Specifically the study should examine the
2 possibility of constructing Ballast water treatment
3 facilities at SPR Marine terminals, tying to nearby
4 Marine terminals to increase doculation or injecting
5 the Ballast water discharge from he vessels to the SPR
6 caverns or exempting vessels loadings at the SPR
7 terminals from the act to prevent pollution from ships
8 1980 during an emergency.

9 We found that the supply of U.S. flag
10 tankers and barges in 1990 appears to be sufficient to
11 meet the water born crude oil transportation
12 requirements of an emergency draw down of the SPR. On
13 the other hand, however,, we found that projected
14 defines in U.S. flag product tankers could result in a
15 substantial shortage of U.S. flag tonage for the
16 distribution of residual fuel oil during a supply
17 disruption. Although an ample supply of U.S. control
18 foreign flag tonage is readily available for
19 participation if required.

20 Therefore, we recommend that Jones Act
21 waivers if necessary should be expeditiously handled
22 on a case by case bases. It appears that the level of
23 demand of foreign flag tonage could be handled by
24 existing labor procedures. However, a contingency
25 plan should be developed by Mirad (phonetic) in

1 advance of an emergency for expediting waivers of the
2 Jones Act. Additional Mirad personnel should be
3 allocated to foreign flag waiver evaluation if it
4 appears that case by case request for waivers are not
5 being expeditiously processed.

6 If the draw down rate is such that case by
7 case waivers cannot be administratively handled, a
8 blanket waiver would be granted to construction
9 differential subsidy vessels enabling Mirad
10 contingency plan procedure to concentrate on case by
11 case waivers for foreign flag tankers to participate
12 in the SPR draw down. Mirad should develop and have
13 available to it a standby blanket waiver procedure on
14 foreign flag vessels or for use in the event that the
15 case by case waiver process results in delays of SPR
16 distribution inspite of having taken the above action
17 to ratify the situation.

18 Mirad should also establish an on-going
19 vessel operators and shipping committee that would
20 periodically meet to evaluate and recommend
21 improvements in Mirad's draw down response plan and
22 update the vessel supply demand ballot. The
23 committee would also be available in the event of a
24 draw down to assist Mirad in assessing vessel
25 availability and requirements in order to assure

1 adequate protection of national interest.

2 Mirad should closely coordinate SPR crude
3 oil refining requirements to whatever tonnage the
4 Department of Defense might require. I might add that
5 at this point the recommendation on handling the Jones
6 Act waivers is subject to a minority report. This
7 minority review was sent to you last week and a copy
8 is in the handouts this morning. We propose inserting
9 it in the Marine appendix and refer to it in the
10 appropriate places in the body of the report.

11 My next recommendation is that efficient use
12 of tankers and barges should be promoted adopting
13 minimum lot sizes such as 200,000 barrels per tankers
14 and 40,000 to 60,000 barrels for barges which would
15 help assure full utilization of vessel capacity.
16 Proceeding with the proposal to relax the length
17 restriction at the DOE terminal in St. James will open
18 up the terminal for larger vessels. Also berthing
19 facilities for barges should be substantially
20 increased to handle path three distribution
21 requirements.

22 Our next finding is that current SPR sales
23 policies had environmental restrictions would limit
24 the timely distribution and use of SPR oil in an
25 emergency. Accordingly it is recommended that a --

1 should be put in place that would facilitate and
2 expedite the distribution of SPR crude oil during an
3 emergency. To promote the efficient draw down of the
4 SPR and the timely distribution of petroleum products
5 to consumers, it is recommended that SPR draw down
6 amendment number four be modified from the present
7 position of being open to all interested buyers to a
8 more restricted list of purchases such as U.S.
9 refiners, the purchasing agents and/or traditional
10 suppliers.

11 Procedures should be established for
12 precertification of qualified bidders. Also the
13 damaged provision of the current standard sales
14 provisions should be revised to ordinarily balance the
15 responsibilities and liabilities of the purchaser and
16 the DOE. As currently drawn, these provisions are
17 accessively severe and place the entire burden to
18 preform on the purchaser. Procedures to
19 expeditiously process necessary environmental waivers
20 should be established at the appropriate state, local
21 and federal levels.

22 In the event of a disruption, variances
23 maybe needed for products over specifications and/or
24 facility admissions. Our final finding is that as
25 with any system not operated on a daily bases, special

1 attention should be given to conducting periodic
2 training exercises for the entire SPR system and to
3 improvements in equipment and procedure at the
4 individual size. We therefore recommend that periodic
5 draw down exercises should be conducted by the entire
6 SPR organization to achieve and maintain
7 administrative and operational readiness.

8 MR. GOERING: No physical sale of crude oil
9 need be made to have an effective test exercise.
10 Additionally, we recommend that equipment and
11 procedures of SPR science should be improved. To
12 increase the flexibility of the system, maximum use
13 should be made of existing meters instead of tank
14 gauges for custody transfer of SPR crude oil.

15 Corrosion protection for water and brine
16 system should be improved. And a complete review of
17 all bare pipe requirements should be made with a view
18 of reducing inventories and coating the remaining pipe
19 with a preservative.

20 Security of water intake structures, which
21 are critical to drawdown, should be insured. These
22 are the major findings and conclusions of the
23 committee on this strategic petroleum reserve.
24 Through this analysis, we have thoroughly examined the
25 SPR system, and its ability to mitigate the impacts of

1 future supply disruptions. We believe the resulting
2 recommendations will provide additional needed
3 flexibility, and strengthen this program that is so
4 vital to our national security.

5 In conclusion, I want to recognize the
6 dedicated effort of this coordinating subcommittee,
7 the task groups, who contributed so much to the
8 analyses and discussions contained in the draft before
9 you today. The support given to the study by your
10 company, has been truly outstanding. Equally
11 invaluable was the cooperation and support given by
12 Government, particularly the DOE strategic petroleum
13 reserve, and energy emergency offices and the Energy
14 Information Administration.

15 Mr. Chairman, this concludes my presentation
16 on behalf of Bill Downs. I'd like to move the
17 adoption of this report by the National Petroleum
18 Council on the subject to final edited and the
19 inclusion of the minority view. Thank you very much.

20 CHAIRMAN MOSBACHER: Thank you, Gordon.

21 We have a motion to adopt this report. Do
22 we have a second?

23 AUDIENCE: Second.

24 CHAIRMAN MOSBACHER: We also have time for a
25 discussion of this. And before we begin this

1 discussion by the membership, we're planning to have a
2 statement from a non-member, Mr. James Bordon, who
3 would like to make a statement representing and on
4 behalf of the Chemical Manufacturers Association. Mr.
5 Bordon, if you would come down, please, sir. Speak at
6 this microphone right there.

7 MR. BORDON: Thank you, Mr. Chairman, and
8 good morning.

9 I'm manager of Economics and Policy
10 Materials Logistics Department of the DuPont Company.
11 I'll first mention I'm here today as chairman of the
12 Chemical Manufacturers Association, Energy Committee.
13 The Chemical Manufacturers Association is a nonprofit
14 trade association whose members represent more than 90
15 percent of the production capacity for basic
16 industrial chemicals in this country. The industry
17 energy intensive one, as energy is used both for fuel
18 and as feed stock. 1983, industry used approximately
19 6.4 percent of the nation's liquid petroleum as feed
20 stock and another half percent as fuel. CMA numbers
21 have a vital interest in issues effecting petroleum
22 supply, and this is why I'm here today.

23 I appreciate the opportunity to speak at
24 this meeting, relevant to your draft report on the
25 SPR. The report certainly could be an aid to the

1 Government's effort to make the SPR an effective tool
2 to reduce the impact of the petroleum shortfall, if
3 you're on a curve. However, we do have a problem with
4 one of the recommendations. CMA is very concerned
5 with the possibility of NPC adopting a position which
6 calls for restricted access to SPR oil at times of
7 emergency.

8 This concern has its background in CMA's
9 positions on emergent preparedness issues. CMA has
10 consistently supported the position that market forces
11 should be the primary means of resolving a petroleum
12 shortfall, and opposes any form of Government price
13 and allocation controls even on a standby basis. We
14 first expressed this to this group as part of your
15 emergent preparedness study about four years ago.

16 We have endorsed the building in SPR, its
17 prompt utilization in time of need. CMA supports the
18 concept of the sales of SPR oil for domestic use to
19 the highest bidder, and an auction open to all with no
20 purchaser priorities. Such a system for SPR
21 distribution would, in CMA's view, provide maximum
22 competition, the most efficient expression of the
23 marketplace. We believe that would also be the
24 fairest and most equitable system to all segments of
25 the economy.

1 We thus support the present administration's
2 policy that distribution of the SPR's described in the
3 SPR Drawdown Plan Amendment No. 4, the sale to all
4 interested buyers. We object to the recommendation
5 being considered by NPC which calls for a more
6 restricted list of purchasers such as U.S. refiners,
7 the purchasing agents, and/or traditional suppliers.
8 The limitation of potential bidders being considered
9 for constituted purchase priorities, would be, in
10 effect, an allocation of SPR oil to a single client's
11 that the customer or consumer to the refiner.

12 This has several negatives in our view.
13 First, the approach is inconsistent with the concept
14 of relying on market forces as a primary mechanism for
15 allocation of oil in emergencies. It would lead to
16 less competition and more, you know, less responsive
17 market as the number and types of bidders would be
18 reduced.

19 Second, the system could be perceived as
20 inequitable, as it would exclude major energy
21 consumers, some of whom may compete directly with
22 refiners and downstream petrochemical markets. A
23 competitor for feed stocks might well feel himself
24 disadvantage if he could not, at his option, bid for
25 available petroleum supplies as can his refiner

1 competitors. A consumer excluded from the right to
2 bid for crude oil might believe that the Government
3 allocation is required to insure an equitable supply
4 of refined products is available for feed stocks.

5 A restriction on who can bid for SPR oil,
6 could result in calls for downstream allocation. And
7 this certainly would lead to a loss of our fundamental
8 principal, maximum reliance in the free market for
9 distribution of oil in a shortage. And as a result,
10 instead in a morass of price and allocation controls
11 and the inefficiencies that stem from the control of
12 the market.

13 Chapter five of the draft report stated that
14 unlimited bidding may encourage purchasers to enter
15 the system who lack expertise in petroleum refining
16 distribution, marketing, and making the system less
17 efficient. It should be noted that any company
18 entering the bidding process incurs significant risk
19 that fails performs prescribed in the sales agreement.
20 I think you're all familiar with the financial and
21 performance requirements of the sales agreement.

22 This in itself should limit the number of
23 bidders. Many will deem it prudent. If they do, I'd
24 like to have their interest represented by agents who
25 have sufficient expertise in petroleum trading to

1 minimize the risk. However, even if someone does
2 enter the problem into the bidding and has performance
3 problems, this risk to efficiency does not seem to
4 outweigh the disadvantages of a system which restricts
5 the number and type of bidders. It is our opinion
6 that an open market directed distribution of the SPR
7 oil is preferred to risking a distribution system
8 encumbered by government allocation created through a
9 response to perceive inequity.

10 To be effective, SPR oil should be released
11 for sale by the government -- to be effective, SPR oil
12 released for sale by the government should be
13 dispersed and used in a timely fashion and not held
14 for speculation. We therefore endorse steps to
15 reduce speculation by potential buyers; restricting
16 who can buy the oil does not address this problem, but
17 rather it should be addressed in terms of sale and I
18 think, in effect, DOE has done that.

19 Restricting who can purchase the oil,
20 deviates from the market oriented concept of handling
21 an emergency and leads to preserve -- perceived
22 inequity. We urge you, therefore, to delete this
23 recommendation from your report before reporting into
24 the Secretary of Energy. I thank you for the
25 opportunity to present our views to this group. If

1 you'd like to elaborate on any point, I'll be glad to
2 do so.

3 CHAIRMAN MOSBACHER: Thank you. Thank you,
4 Mr. Bordon. Are there any comments from members of
5 the Council, thoughts or questions? Yes, sir?

6 MR. GARY: I'm Jim Gary, Mr. Chairman,
7 chairman of Pacific Resources, Honolulu. I represent
8 an independent refinery. I filed a minority report
9 involving the Jones Act. My company is primarily an
10 independent refiner. We operate around the Pacific
11 Basin. We move about 200,000 barrels a day thru our
12 system. We bring 70,000 barrels a day into Hawaii for
13 refining, and that's who our refiner is there, a
14 subsidiary company, a joint venture company to which
15 we own most of is a ship broker company that charters
16 in, charters out, charters our ships as well as third
17 parties around the Pacific Basin.

18 We've had a great deal of experience working
19 with the Jones Act. I think we know it inside out as
20 I'm sure some of the rest of you do.

21 We think that it is naive to believe that
22 this system will work in an emergency without having
23 some kind of a blanket waiver procedure already
24 available ahead of time.

25 I realize that if you go up against maritime

1 unions on a thing like this, I realize what all the
2 difficulties are, as I said we have -- we've been
3 through the process a thousand times.

4 The report assumes a worst case scenario,
5 a true emergency in which all imports are not
6 -- and if such procedure is not available, there isn't
7 any doubt in our minds that this system is not going
8 to work for all of us, therefore we have filed a
9 minority report and we appreciate the fact that it
10 will be included as such and properly referenced in
11 the report.

12 CHAIRMAN MOSBACHER: Thank you, Mr. Gary.

13 Any other comments?

14 MR. GLANVILLE: It seems to me, that the --
15 of the Chemical Manufacturing Association if it's safe
16 to say that the intricate buyers haven't seen those
17 who would use the oil and who will not be allowed to
18 resell this.

19 CHAIRMAN MOSBACHER: Is that in the form of
20 a motion?

21 MR. GLANVILLE: I wonder whether that would
22 meet the objection that the -- the position of the
23 Chemical Manufactures Association will take.

24 CHAIRMAN MOSBACHER: So, perhaps, it is not
25 in the form of a motion it is something that after the

1 meeting could be addressed and discussed with the
2 committee if there's some amendment they wish to make
3 at a later time, is that -- since it's not, right now
4 the report, unless it's motioned and seconded, it will
5 read as is. Mr. Gary.

6 MR. GARY: If they know --

7 MR. HARTLEY: Just one -- you might
8 understand that this report concludes that at the time
9 of dislocation that all tanker flows in the West Coast
10 and between the West Coast and the East Coast will
11 continue without intervention -- foreign submarines,
12 et cetera, et cetera.

13 We've have nothing to worry about out west.

14 CHAIRMAN MOSBACHER: I can't answer that
15 one, or attempt to.

16 MR. GARY: The report assumes that, it
17 assumes that without -- own attack tankers available,
18 it doesn't get into whether they can keep operating or
19 not, whether foreign submarines can sink them as fast
20 as they move through the canal.

21 MR. HARTLEY: -- on land.

22 MR. GARY: Exactly, this is --

23 MR. HARTLEY: In the lower 48 states.

24 MR. GARY: This report does not get into
25 other locations for a strategic reserve other than on

1 the Gulf Coast, it's wrong in that extent, that was
2 the length that we put it on developing the report in
3 the first place.

4 CHAIRMAN MOSBACHER: This is included in the
5 minority report, included in your report for the
6 benefit of the Secretary.

7 MR. GARY: As Bill Long knows, we been --
8 there has been a strong motion underway instigated by
9 us in Hawaii to have a portion of the strategic
10 petroleum reserve ultimately established in Hawaii,
11 based on military needs that kind of thing.

12 We're major to suppliers to the military
13 installations around the Pearl Harbor complex. Having
14 -- as far as Hawaii is concerned, having a strategic
15 petroleum reserve on the Gulf Coast is like have a
16 strategic petroleum reserve for New York City in
17 Istanbul.

18 CHAIRMAN MOSBACHER: Any of other --

19 MR. HARTLEY: I understand that the
20 Secretary's question to the MPC committee, we are
21 instructed to forget about the West Coast. That's not
22 a problem because there's plenty of supply out there
23 and the supply lines will be kept open.

24 CHAIRMAN MOSBACHER: I believe, and I'm sure
25 you came here a representative of the committee, but

1 the West Coast companies our represented and this is a
2 consensus report, is that right Mr. Gary?

3 MR. GARY: Yes, Mr. Chairman, we interpreted
4 the Secretary's letter for us to study the ability of
5 the DOE, the draw down, the SPR storage of \$4.5
6 million barrels, investigate whether we have tankers
7 available to contribute, tankers and barges available
8 contribute the oil and also, do we have a refining
9 capacity compatible to process the SPR oil, plus a
10 domestic production.

11 We did not address regional storage
12 requirements, we were not asked --

13 CHAIRMAN MOSBACHER: Any other comments.
14 Yes.

15 MR. BADEN: I'm John Baden, from -- an I do
16 not idly stand by and go and challenge the presumption
17 that speculation is bad and speculators are evil
18 people. Which was the implication of the last
19 speaker, from the chemical industry.

20 It is precisely the role speculators to hold
21 resources out of consumption until time when they're
22 most, more valuable. When they are needed more.

23 It's a very legitimate function of the
24 market. Prices represent -- and information.
25 Speculators act precisely upon that, and it seems to

1 me that we should recognize the speculation is a
2 legitimate and extraordinary valuable function in any
3 society to derive the book prices and the market
4 process would coordinate the sources.

5 So I would take very strong exception on the
6 anti-speculators statement made by the guest speaker.

7 CHAIRMAN MOSBACHER: Thank you, Mr. Baden.
8 Anything else?

9 MR. VAUGHAN: Mr. Chairman, Mr. Chairman?

10 CHAIRMAN MOSBACHER: Yes. Secretary
11 Vaughan.

12 MR. VAUGHAN: I believe it's important to
13 note from the Government's point of view and I did this
14 at the committee meeting, that it is well established
15 that this administration has a policy and it is in
16 place and in affect, and is the law at the moment that
17 any citizen or group of citizens that help pay the
18 taxes to fund this reserve shall have access to it if
19 they so position themselves, and make the bids in the
20 appropriate format and so on.

21 And I think, quite candidly, we are somewhat
22 disappointed at the recommendation without very much
23 data to back it up, I might add in the report itself,
24 more philosophical than data oriented that there would
25 restrictions on the buyer universe.

1 And I think I would point out that this is
2 now my count, 3 groups that -- actually, 4 groups that
3 have raised this point rather rigorously. The
4 Chemical Manufacturers Association, Petrochemical
5 Energy Group which came before the main committee at
6 its last meeting.

7 At an earlier meeting the Petroleum Industry
8 Research Group, and now this gentleman and I've
9 certainly have raised some remarks from the
10 Government's point of view about this subject of
11 reducing the buyer universe.

12 And certainly included in the Government's
13 concern with that is the inference that there are any
14 elements of the market society; speculators, traders,
15 producers, refiners and final product manufacturers,
16 that Government could go along with declaring
17 necessarily bad, or right or preferred. And we
18 certainly, in that sense, are disappointed with that
19 portion of the report.

20 Interestingly too, I feel constraint to
21 point our in endorsing the part which Cary has said
22 about the limited approach to the Jones Act waiver. I
23 am confused at the inconsistency that the study
24 committee seems to engage in, as illustrated by
25 these two items of concern, and in this I mean that

1 the justification as I understand it for restricting
2 the buyer universe is to -- that we need to get this
3 oil out and refined and so on. And yet, the same
4 committee went along with trying to deal with a
5 similar type shortage on a case-by-case Jones Act
6 basis rather than a general policy of Jones Act
7 waivers.

8 It seems to me that it is a glaring
9 inconsistency and one that which is not reconciled in
10 any way that I can see by the data.

11 CHAIRMAN MOSBACHER: Thank you, Secretary
12 Vaughan, as you well know this study was undertaken at
13 the request of the Secretary. It is for his advice to
14 use as he sees fit. It is obviously not mandatory.

15 I think it's very healthy that there's some
16 disagreement both in the Council and between the
17 Council in the report and portions of the Department
18 of Energy and I think that's in the best tradition of
19 democracy --

20 MR. VAUGHAN: I agree.

21 CHAIRMAN MOSBACHER: -- thank you, and now
22 --

23 AUDIENCE: I feel, compelled to respond to
24 this since the Secretary commented, I'm Joe Massy, I
25 was the chairman in the marine task group and I think

1 there's been fairness to the member of the committee,
2 it should be aired here that the reason for the
3 difference in opinion that the Assistant Secretary has
4 pointed out, I think that the data contained within
5 the report clearly highlights that based upon the
6 requirements for distribution by marine methods
7 developed by the study, there were sufficient tankers
8 with a minimum shortfall in the production area.

9 We're talking probably in the area of 10 to
10 12 waivers that would be required to be handled by the
11 Maritime Administration Law. I think the reason that
12 the difference, and I participated in the subcommittee
13 discussions of the universe of buyers discussions,
14 that we are not talking about handling by a Government
15 agency 10 or 12 waivers that would probably be
16 processed two or three a week, but rather a multitude
17 of people responding to bids for various cargo -- on a
18 repetitive basis, there's a significant difference,
19 and to class the two together as a dichotomy of
20 opinion on the part of the subcommittee is inherently
21 to overlook the data that is contained within the
22 report.

23 Thank you.

24 CHAIRMAN MOSBACHER: Thank you. All right,
25 it's been moved and seconded to receive the report as

1 written on the strategic petroleum reserve. All in
2 favor please say aye.

3 AUDIENCE: Aye.

4 CHAIRMAN MOSBACHER: Opposed by nay, thank
5 you. Now, we move on that before I finish I would
6 like to say two things.

7 One, we thank you, Mr. Gary, and all those
8 who worked so diligently to make this report
9 the comprehensive and effective report it is and
10 secondly, I would like to add that since we have heard
11 from the Secretary this morning regarding the SPR
12 perhaps being suspended at 500 million barrels, that I
13 would like to add a letter in transmittal when we send
14 this report to the Secretary regarding the validity of
15 the report under those circumstances.

16 If the SPR is temporarily suspended and then
17 ultimately assumes our recommendations are, of course,
18 valid. On the other hand if the SPR -- permanently
19 captured 500 million barrels and the associated
20 maximum drawdown is lower, the vast majority of our
21 recommendations would still be totally applicable.

22 Obviously, the recommendations on the --
23 location of remaining fill would become somewhat
24 moot but the rest would most likely remained basically
25 unchanged. The report contains the data and analysis

1 to judge what enhancements may be needed with various
2 maximum drawdown rates.

3 There's no objection from the NPC membership
4 -- I had planned to incorporated these comments in an
5 overview of the Secretary Hodel has a letter covering
6 the report. I believe this would allow the reader to
7 properly interpret our report if changes are made in
8 the -- level of the SPR fill.

9 Are there any objections?

10 Then I'll will do that. We will move now to
11 the progress report of the committee for U.S.
12 petroleum refinery has been under this report has been
13 underway and has been requested also by Secretary
14 Hodel at our last meeting.

15 It's a most important effort and John
16 Mckinley has stayed through the whole procedure, I'm
17 glad to see you have some company. You are the next
18 speaker, and would you give your report please, John?

19 MR. MC KINLEY: We still have more than the
20 one that Secretary Hodel's story told about. I will
21 be brief.

22 At the last meeting Secretary Hodel
23 requested the National Petroleum Council to undertake
24 a new study of the factors affecting the domestic
25 refining industry in the period 1985 to 1990.

1 The purpose of this study is to update
2 previous NPC studies and evaluation of the future
3 refinery operations and the industry's ability to meet
4 the demands for petroleum products.

5 The Secretary specified that the study
6 should examine capacity changes including announced
7 refinery closings which as you know in the last couple
8 of years have been rather, quite numerous.

9 The bottlenecks, the additions to
10 refineries, equipment types and projected role of the
11 small regional refiner in this future period. Also,
12 related environmental and regulatory issues are to be
13 addressed as appropriate.

14 The last NPC refining study was completed in
15 1980. It looked at analysis of aggregated world and
16 U.S. energy supply and demand projections, looked at
17 U.S. domestic refining industry capacity and
18 capability to process available crude oil to meet the
19 future product demands.

20 It looked at competitive position of various
21 segments of the U.S. refining industry and the
22 competitive economics of supplying incremental U.S.
23 East Coast product demands by refiners inside the
24 United States or by imports into the United States.

25 These analyses were based largely on data

1 collected in 1978 and the projections also made at
2 that time in '78 with regard to 1980 and 1990
3 timeframes.

4 Now, it's clear to all of us that quite
5 significant changes have taken place both in domestic
6 and foreign refining industry since the time of that
7 last study; perceptions of the world as to growth and
8 needs and production volumes are greatly different,
9 thus justifying the secretary's call for this relook
10 at this situation. Now, in order to assist the
11 council in responding to the secretary's request, our
12 Chairman, Bob Mosbacher, on October 16th of '84
13 appointed the committee on U.S. petroleum refining.

14 The committee held it's organizational
15 meeting on November 12th and approved the scope on an
16 organizational structure and a timetable for this
17 study.

18 A copy of this study plan is in your
19 handouts and I will very briefly summarize the
20 contents of it.

21 In defining the scope of the study the
22 committee determined that they should use an approach
23 that combines those used in the last two NPC studies
24 of this subject. Those were done in 1980 and in 1973.

25 The 1980 study was primarily a presentation

1 of data and analysis on current and projected refiner
2 capabilities that were developed based on industry
3 surveys, questionnaires sent to members of the
4 industry.

5 The NPC's 1973 study, however, included
6 discussions and recommendations on a range of
7 Government policy issues and placed less emphasis on
8 the collection and presentation of data.

9 The new study or in this new study the
10 capability of the U.S. domestic refining industry to
11 produce the required products will be analyzed under a
12 variety of scenarios of crude oil availability and
13 product demand.

14 Data from the surveys on current and
15 projected crude oil supply and demand and refinery
16 operations and facilities will be used to determine
17 the facility requirements; what is needed in
18 equipment, the installation costs related for the
19 1985 - '90 period. In addition, the effects of
20 certain federal regulatory actions and market forces
21 will be studied and the topics included in this may be
22 a very important part of this study and they'll
23 include the following, and others as may be suggested:
24 Current and future impacts of product imports;
25 competitive economics of our domestic refining

1 segments; gasoline lead restrictions; other
2 environmental restrictions, including more gasoline
3 vapor pressure limitations; limitations on motor
4 gasoline octane enhancers, such as lead substitutes;
5 kimitations on hydrocarbon blending components, such
6 as benzene and others that may be claimed to have
7 health problems; sulfur content limitations in diesel
8 fuel, number two fuel and jet fuel or turbine fuels;
9 SOX admissions; taxation and Superfund requirements as
10 they impact on the domestic refining industry; the
11 regulation of high sulfur coke as our refining
12 industry has done more to the production of light
13 products and coking has increased in importance; and
14 of course, product availability.

15 The NPC 1980 study required a large survey
16 and computer effort. Now, the individual companies
17 were surveyed for their forecast of future oil supply
18 and demand and for detailed refinery capability data,
19 including crude and product slates and operational
20 costs.

21 Responses were collected by a public
22 accounting firm, which also performed a significant
23 amount of computer aggregation of the data, so that no
24 one was seeing or looking at an individual company's
25 data or and individuals company's projections of what

1 would happen.

2 The new study will involve a similarity,
3 with separate surveys being made -- questionnaires and
4 surveys being made on the domestic refinery
5 operations, and separately on oil supply and demand
6 question.

7 These new surveys will be sent out to
8 industry very shortly, hopefully right after the first
9 of the year and many of you here will be receiving
10 those questionnaires and I think it's rather obvious
11 that the responses and the quality of the data
12 received back by the study group is the foundation of
13 the value of anything that we may be able to report to
14 the Council.

15 So we ask everyone's cooperation in coming
16 forward with the best of there data basis. Now,
17 again, we will use and independent public accounting
18 firm to receive this information and only the
19 aggregated results will be provided to the Council and
20 to the study groups that are working for the Council.

21 To assist the committee in carrying out the
22 study, an organizational structure consisting of a
23 coordinating subcommittee and four task groups have
24 been established.

25 The coordinating subcommittee will address

1 the broader issues and coordinate the work of the task
2 groups. The specific task groups are as follows:
3 Number one, the oil supply and demand. That will be
4 chairmaned by Roger Hemmingshouse of Diamond-Shamrock;
5 the refinery survey, that will be by Lloyd Bush of
6 Ashland; refinery capability, Herbert Hand of Floor
7 Corporation, and worldwide refining trends by John
8 McDonald of Sohio. Jim Seamans of Texaco is acting as
9 chairman of the coordinating subcommittee and I'm
10 please to note the outstanding cooperation that we've
11 been receiving because I think the industry has a high
12 level of concern about the future of the refining
13 industry in the U.S.

14 What's by all these groups is now, pretty
15 much underway and seems to be going well. We've
16 selected a fairly ambitious schedule that provides for
17 the completion of this study by the end of 1985.

18 And it calls for various meetings and work
19 sessions for the subcommittee and for the task groups.
20 The committee will meet as necessary throughout the
21 year and we will meet in November to consider a final
22 report for submission to the Council, Mr. Chairman.

23 That concludes my report, the chairman of
24 the coordinating subcommittee is here, if there are
25 questions or suggestions, we would be glad to receive

1 them.

2 CHAIRMAN MOSBACHER: That you, John. I
3 appreciate the efforts that you're off to such a good
4 start. Are there any questions or comments?

5 Now, we appreciate that there is no motion
6 that need to be made, now action by the Council at
7 this time, this is a progress report. Before we go to
8 the administrative matters, Secretary Vaughan, I would
9 like you to say a few words if you wish.

10 MR. VAUGHAN: Mr. Chairman, I think it's
11 appropriate, even though the hour is late, with
12 respect to the report that we are receiving on the
13 strategic petroleum reserve to thank the Council on
14 behalf of the Department and the Secretary,
15 Administration, not only for a report of that required
16 a awful lot of work but a report that we asked for on
17 an expedited basis and it is being delivered on an
18 expedited basis timely.

19 We very much appreciate that, and we very
20 much appreciate the tremendous amount of effort that
21 went into the preparation of that report and while
22 there may be some specific disagreements, I think it
23 would be inappropriate not to point out the Department
24 very much appreciated the responsiveness of the
25 Council members in turning out this report and it is

1 particularly important that it validates the majority
2 of the current enhancement work that is going on at the
3 SPR and allows us to proceed with a high degree of
4 confidence to what we planned out the correct thing to
5 do, and gives us some challenges in yet some other
6 areas that we had not thought about.

7 Thank you very much.

8 CHAIRMAN MOSBACHER: Thank you, Secretary
9 Vaughan. Now, we will proceed with administrative
10 matters and first and foremost, we'd like the finance
11 committee report by its chairman, John Phillips.

12 MR. PHILLIPS: Mr. Chairman, I am the last
13 speaker.

14 The finance committee met yesterday to
15 reviews the financial status of the Council. We
16 review expenditures and receipts for the first 11
17 months of 1984 and looked at projections for the
18 remainder of the year.

19 I'm pleased to report to you that the
20 financial position of the council remains strong. We
21 also discussed a budget for calendar year 1985 and are
22 recommending it be set at \$1,948,000, approximately
23 the same as 1984.

24 This budget includes funds to conduct the
25 U.S. petroleum refining study that John McKinley has

1 just reported on and provides additional funds to
2 respond to the request that the Secretary may make in
3 the upcoming months.

4 The committee also discussed recommended
5 contributions for fiscal year 1985 - '86. As you may
6 recall, we are on a calendar year for our expenditures
7 but our contributions are on a fiscal year of July 1 -
8 June 30th.

9 Even though the final decision on member
10 contributions will be made at the spring meeting, it
11 appears that the consolidation of our industry and
12 perhaps proposed tax policy administration, that plus
13 the scheduled studies for 1985, it will probably be
14 necessary to modestly increase the member
15 contributions for '85, '86.

16 MR. PHILLIPS: Mr. Chairman, I make a motion
17 to submit this to the council.

18 CHAIRMAN MOSBACHER: The motion has been
19 made and seconded and all in favor say aye.

20 AUDIENCE: Aye.

21 CHAIRMAN MOSBACHER: Opposed, nay.

22 I thank all of you for continuing support of
23 the council. And I think, John, we thank you
24 particularly. John Phillips has been Chairman of this
25 committee. He's done yeoman service, has done a great

1 service to the council, industry and I think to the
2 nation for over four years. So long neither of us can
3 remember how long it has been and he's been a great
4 leader for our finance committee.

5 Thank you, John.

6 CHAIRMAN MOSBACHER: Now winding up, we have
7 as a tentative date for our next meeting, May 22nd,
8 May 22, 1985. And we'll get out official notices of
9 that effect.

10 Is there any other matter to be brought
11 before the council, any new business, old business?
12 Any non-council members want to make a statement? If
13 not, we stand adjourned.

14 Thank you.

15 (Whereupon, at 12:23 p.m. the conference was
16 concluded.)

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

This is to certify that the attached proceedings
before the Department of Energy
(Name of Agency)

in the matter of: National Petroleum Council

Docket Number: _____

Place: Washington, D.C.

Date: December 12, 1984

were held as herein appears, and this is the original transcript
thereof for the file of the Department or Commission.

Andrew B. Hait

S K S GROUP, LTD.
Official Reporter

