

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NATIONAL PETROLEUM COUNCIL MEETING

TUESDAY, DECEMBER 15, 2020
2:00 P.M.

Reported by: Karen Willoughby, CER

1	I N D E X	
2		PAGE:
3	Call to Order	3
4	Remarks by the Honorable Steve Winberg,	
5	Acting Undersecretary of Energy	4
6		
7	Report of the NPC Cochair's Coordinating Committee	15
8		
9	Comments by Vice Chair Darren Woods	23
10		
11	Update on Post-Approval Activities for the 2019	
12	Dynamic Delivery and Dual Challenge Reports	24,36
13		
14	Study Impact Remarks by Shawn Bennett	47
15		
16	Administrative Matters	57
17		
18	Closing Remarks	65
19		
20		
21		
22		
23		
24		
25		

1 P R O C E E D I N G S

2 - - - - -

3 (Meeting called to order, 2:00 p.m.)

4 MR. L. NICHOLS: Good afternoon, ladies and
5 gentlemen. It is my pleasure to call to order the
6 130th Meeting of the National Petroleum Council and the
7 first virtual meeting of our Council, and I imagine we
8 all hope it's the last.

9 Welcome to all of you, members of the Council,
10 honored guests, members of the press and public. What
11 I think we'll have today is a very productive and
12 important meeting. If there are no objections, I will
13 dispense with the calling of the roll. For members of
14 the Council, the online registration will serve as our
15 official attendance record.

16 We also have an online YouTube audience that
17 will be able to watch a livestream of our proceedings.
18 This audience will include the press, public, as well
19 as, I'm sure, many members who participated in the two
20 study reports that our Council approved at this time
21 last year.

22 I would now like to introduce to you and for
23 the record the participants who are joining me at our
24 virtual -- our so-called virtual head table. First, we
25 have the Honorable Steve Winberg, Acting Undersecretary

1 of Energy. We then have Darren Woods, who is NPC Vice
2 Chairman. We have Ryan Lance, who is Chair of the NPC
3 Agenda Committee; and we have Marshall Nichols, who is
4 the Executive Director of our Council. We will be
5 joined later by Byron Dunn, who is Chair of the NPC
6 Finance Committee, and by Jim Hackett, who is Chair of
7 the NPC Nominating Committee.

8 Our first order of business is to hear from
9 Acting Undersecretary of Energy, Steve Winberg, who is
10 representing Secretary Brouillette today. Most of you
11 already know Steve from his roles, both as Assistant
12 Secretary for Fossil Energy and as the Government Co-
13 Chair of the Carbon Capture Studies Coordinating
14 Subcommittee.

15 More recently, Steve was designated by the
16 Secretary to be his representative for the future study
17 topics that we will discuss later in our agenda. Steve
18 is also the designated federal officer for NPC matters.
19 And, Steve, we're particularly grateful to you for all
20 the cooperation and support you and your Fossil Energy
21 staff have shown during this past year's process.

22 Steve, your remarks.

23 ACTING UNDERSECRETARY WINBERG: Well, thank
24 you, Larry, for that introduction and for your
25 leadership. I also want to thank Marshall and everyone

1 at NPC for their tremendous work. On behalf of
2 Secretary Brouillette I'm honored to join you all
3 today. As I'm sure some of you know, the Secretary is
4 taking part in an energy ministerial in Greece today,
5 along with the energy ministers of the UAE, Israel, and
6 Bahrain. This ministerial is a result of the Abraham
7 Accords Peace Agreement. So the Secretary sends his
8 regrets, and he asked me to convey to you the
9 importance that he places on the relationship between
10 the Department and the National Petroleum Council, as
11 well as his respect and appreciation for your work and
12 your service.

13 As you know, the Secretary recently appointed
14 12 new members to the Council, and I want to welcome
15 all of those members who have joined us here today.
16 Since 1946, the NPC has completed scores of detailed
17 studies on all aspects of the oil and natural gas value
18 chain. And because you can always be counted on to
19 provide advice that is insightful, balanced, and
20 grounded in analysis and knowledge of industry
21 operations, you have earned the respect of the
22 industries and organizations you represent and the
23 policymakers that you advise.

24 So I wanted to echo Secretary Brouillette's
25 sentiments that DOE's relationship with the Council is

1 tremendously important. We are fortunate that the
2 Council stands ready to share its advice and its
3 expertise. I've seen firsthand what you've
4 accomplished over the last four years. Your
5 infrastructure and CCUS reports have provided clear,
6 valuable roadmaps to improving the nation's oil and
7 natural gas transportation infrastructure and in
8 deploying commercial CCUS technologies at-scale in the
9 U.S. energy and industrial marketplace.

10 These reports are clearly helping to catalyze
11 constructive and more informed public dialogue on
12 energy options and challenges, and they'll be useful in
13 informing future DOE program and policy decisions. So
14 thank you for that impressive work and your
15 contributions to DOE's efforts in these areas.

16 I think that we can all agree that 2020 has
17 been a challenging year and more challenging than any
18 of us could have predicted when we met last December.
19 Oil and natural gas companies and the communities in
20 which they operate have been hit particularly hard, and
21 some are still struggling. At the same time, though,
22 we see that our nation's oil, natural gas, and electric
23 power supply chains are fundamentally strong, and your
24 industries continue to be of vital importance to the
25 nation's energy and economic security.

1 Over the past year, you've delivered energy --
2 reliably and safely -- every day. You've provided
3 essential services and have worked with governments to
4 strengthen emergency preparedness while responding to
5 hurricanes and evolving cybersecurity threats. And
6 even while you were doing these things and more, the
7 energy industry, including the oil and gas sectors,
8 donated \$100 million to COVID-19 relief, from fuels to
9 medical supplies to PPEs.

10 That you've done all of this under extremely
11 difficult and trying circumstances confirms that -- in
12 case there was any doubt -- your industries are
13 resilient, your capability to produce and deliver
14 energy remains fundamentally strong, and oil and
15 natural gas remain as important as ever to our economy
16 and our livelihoods.

17 Industry's performance during the pandemic has
18 been invaluable, and it parallels the ingenuity and
19 dedication to service that has transformed the U.S.
20 energy landscape from one of energy scarcity to energy
21 abundance. So today, we're in a stronger place than we
22 were just ten years ago, and as we look beyond the
23 current environment, we see that the fundamentals are
24 there for a robust market recovery.

25 As we end this year, the U.S. continues to be

1 the top producer of natural gas, and daily production
2 of dry natural gas is estimated at 91 billion cubic
3 feet per day in 2020. And we expect to average nearly
4 88 BCF per day in 2021. While these levels represent
5 declines from last year's record-setting production
6 levels, we expect production and exports to return to
7 previous and even higher levels as the economy fully
8 opens up.

9 Speaking of exports, the Trump Administration
10 has been steadfast in its support of LNG exports, and
11 the U.S. is now in its fourth consecutive year as a net
12 natural gas exporter. And the numbers are impressive.
13 Since we began exporting LNG from the lower 48 states
14 in February of 2016, U.S. LNG has reached 38 countries
15 on five continents, marking 20 additional countries
16 since the beginning of the Trump Administration. And
17 U.S. LNG exports set a new monthly record just last
18 month, averaging 9.4 billion cubic feet per day, after
19 temporarily decreasing to just over 3 BCF per day over
20 the summer, during the height of the shutdowns.

21 At the end of the day, though, the rate of
22 exports has quintupled since 2017, and the U.S. remains
23 among the world's top three LNG exporters in the world.
24 And with a current export capacity of nearly 11 billion
25 cubic feet per day, we're poised to be the global

1 leader in natural gas exports. However, there remains
2 work to be done to reach this goal. Recently, there
3 has been increased pushback on U.S. LNG on
4 environmental grounds, particularly from the EU. We're
5 confronting this challenge head on, and DOE is leading
6 U.S. Government efforts with our counterparts in the EU
7 to highlight the transparency of our full natural gas
8 value chain and how the environmental performance of
9 our natural gas sector continues to improve.

10 So even with this summer's short downturn, the
11 rate of exports has quintupled since January of 2017,
12 and the U.S. remains among the world's top three LNG
13 exporters in the world. And with a current export
14 capacity of nearly 11 billion cubic feet per day, we're
15 poised to be the global leader in natural gas exports.

16 So we are confronting these challenges head
17 on. We're talking to the EU, and we are going to
18 continue these efforts to make sure that our allies and
19 our partners over in Europe understand that we have
20 transparency in our life cycle analysis.

21 So that's where we are. I think there's still
22 a lot of work to be done, and at the end of the day,
23 the fact remains that oil and natural gas will continue
24 to underpin America's energy security and provide
25 benefits across a wide swathe of economic sectors.

1 Clearly, COVID-19 does not change that. So let me
2 focus for just a moment or so on these benefits.

3 You may have heard that the Department
4 recently released a new report, U.S. Oil and Natural
5 Gas: Providing Energy Security and Supporting our
6 Quality of Life, which is available on our website. If
7 you haven't already, I encourage you to read the
8 report. It underscores the important benefits of oil
9 and gas production over the last 20 years -- benefits
10 that Americans take for granted every day and might not
11 attribute to oil and gas production. And it highlights
12 the key technology advances that have been made that
13 have made those benefits possible.

14 Oil and natural gas now provide more than two-
15 thirds of the energy Americans consume daily, and
16 natural gas is the largest contributor to the nation's
17 electric power sector. And as the world moves toward a
18 low-carbon future, continued use of oil and natural gas
19 will remain an integral part of this transition.

20 But looking beyond the power sector, the
21 report notes that oil and natural gas provide the
22 feedstock for a broad range of items across the
23 healthcare, agriculture, automobiles, home
24 construction, consumer products, and renewable energy
25 industries. And oil and natural gas are revitalizing

1 the U.S. petrochemical manufacturing industry,
2 providing billions in trade deficit reductions with LNG
3 exports, supplying high-tech materials, and creating
4 well-paying jobs across the country.

5 Your expertise, your innovation, and your
6 commitment have made these advances possible, and we at
7 the Department of Energy are proud that our investments
8 in research and technology development and our
9 collaboration with you have helped you drive this
10 historic transformation. It's been said many times
11 that the Shale Revolution was a game-changer, that our
12 vast oil and gas resources have transformed America,
13 and for that matter, the world's energy landscape, and
14 that this resource has fueled strong economic growth,
15 making our lives safer and more comfortable.

16 But I for one do not think that the Shale
17 Revolution story is yet fully told. There's more to
18 come -- more understanding of shale seams, more ways to
19 improve productivity, more ways to reduce the
20 environmental footprint, and perhaps, most importantly,
21 broader uses of the resources as we look toward
22 hydrogen. There's an enormous potential to expand the
23 production and the benefits of our oil and natural gas
24 resources.

25 At the Department of Energy, we've been

1 partnering with industry to make energy production
2 cleaner and more efficient. We've been applying
3 artificial intelligence, machine learning, and high-
4 performance computing tools to help make it possible to
5 process and interpret complex data streams in real time
6 and increase the production of unconventional oil and
7 gas.

8 We're also tackling produced water challenges,
9 and we're working to advance the smart pipelines of the
10 future to enhance the operational efficiency of our
11 supply and delivery infrastructure, improve pipeline
12 integrity, and detect, locate, and measure methane
13 emissions.

14 One of our biggest challenges has been to
15 remove the infrastructure roadblocks to natural gas
16 delivery in different regions, including the Northeast
17 and West Coast. That's been a priority for the
18 President and the Administration, and we've worked with
19 other federal agencies to examine economic and other
20 impacts associated with those barriers.

21 We've also streamlined our LNG authorization
22 process under NEPA with a new categorical exclusion for
23 the marine transportation of LNG. And we've expedited
24 the permitting for small-scale LNG exports to help
25 expand the benefits of U.S. natural gas to our allies

1 and partners around the world. And to lock in the
2 long-term benefits of our LNG exports and provide
3 additional regulatory certainty for U.S. exporters, we
4 recently finalized a policy to allow all current long-
5 term, non-FTA authorizations to be expended out to the
6 end of 2050. In fact, just last week, we extended the
7 terms of seven long-term authorizations. That follows
8 the ten extensions we issued in October.

9 We're also working with our local, state, and
10 federal government partners to harness the abundance
11 and the benefits of the Shale Revolution to help
12 advance a petrochemical renaissance in Appalachia. And
13 we're looking at natural gas generation as a continuous
14 and low-cost source of hydrogen, which when coupled
15 with geologic storage can provide reliable sources for
16 energy production for electricity production,
17 industrial uses, and transportation.

18 We've seen important progress and
19 accomplishments across all of these areas, but we
20 wouldn't be there, where we are, without a strong
21 collaboration with industry. We're not only important
22 -- you're not only important partners, but you're also
23 leading the way in many areas to strengthen our energy
24 security, grow our economy, and help shape the future
25 energy landscape here at home and globally.

1 And if we're going to realize and maximize the
2 full potential of our oil and natural gas resources,
3 the Department of Energy will continue to need your
4 capabilities, expertise, and input. That's why the
5 NPC's continued advice and counsel is so important and
6 so valuable, and that's why Secretary Brouillette
7 requested the Council to identify potential high-value,
8 high-impact study topics for the consideration of DOE.
9 Several ideas identified by Council members have also
10 been on DOE's radar screen: hydrogen, for example. I
11 know this will be a part of the discussion today, and I
12 want to thank Agenda Committee Chair Ryan Lance for
13 championing this effort.

14 I'd like to close on a personal note. During
15 my tenure at the Department of Energy, I've led or
16 participated in a number of initiatives and activities
17 to strengthen American security and power historic
18 economic growth. I've been fortunate and proud to be
19 part of those efforts and to serve in an Administration
20 that strives every day to unleash the full potential of
21 America's oil and gas resources.

22 And as I look back on these years, one of the
23 things that stands out is my involvement with you and
24 the progress we've made toward those goals, but there's
25 still a lot of work to be done, a lot of challenges to

1 be met and overcome, and I'm confident that just as you
2 have throughout your impressive history the National
3 Petroleum Council will be in the forefront on those
4 efforts.

5 So thank you for your service to the
6 Secretary, the Department, and the nation. I look
7 forward to our discussion today.

8 Now, if there's time, I'm happy to take a few
9 questions.

10 MR. L. NICHOLS: Thank you, Mr.
11 Undersecretary, Steve. You said if there are any
12 questions, just click the "raised hand" icon and we
13 will recognize you.

14 Seeing none, we will move on. The next item
15 on our agenda is to receive a report of the NPC Co-
16 Chair's Coordinating Committee. As a reminder, this
17 Committee was established in the early 1900s to provide
18 a means by which a predefined and representative group
19 of Council members could sit down and meet with the
20 Secretary or other officials in the Administration to
21 determine if there were any matters of concern to
22 either the Government or the oil and gas industry or
23 both of us that would be appropriate for Council
24 considerations.

25 At the start of this current pandemic, the

1 health and energy emergencies we've had this year, the
2 Secretary reached out to the Council for individual
3 views on the situation and any actions that the
4 Government might take to address the impacts of the
5 situation we've been under the last nine months.

6 The CCC met at the Secretary's request in
7 April and had a very candid conversation with
8 Undersecretary Mark Menezes and Assistant Secretary
9 Steve Winberg. As a followup, we had a workshop to
10 better understand and amplify the concerns of CCC
11 members on crude oil storage issues, and the Council
12 remained available to the Secretary and the
13 Administration as the events unfolded.

14 Earlier this fall, I met with both Steve
15 Winberg and Secretary Menezes on the desirability of us
16 identifying and prioritizing certain possible issues
17 that might be perceived in the current -- in the coming
18 year, in 2021. Secretary Brouillette agreed with that
19 proposal and subsequently formalized his charge to our
20 Council. Accordingly, the CCC, as we've done in past
21 transitional years of the presidency, is developing a
22 list of the high-value, high-impact study topics that
23 might be appropriate for the Council to discuss with
24 the new Secretary of Energy sometime next year. Ryan
25 Lance, as the NPC Agenda Committee Chair, has agreed to

1 lead this effort on behalf of the CCC.

2 Ryan, give us an update.

3 MR. LANCE: Thanks. As you mentioned in
4 the -- the Coordinating Committee requested the Agenda
5 Committee to look at some of those six topic areas, and
6 we were pleased to do that, and one of the first
7 actions that we took was to form a Study Topics
8 Subcommittee. And that subcommittee has made great
9 progress. They've narrowed in on six potential topics
10 for presentation to the Secretary in the new year.

11 As Larry mentioned, in September, I was asked
12 and we asked a person at ConocoPhillips, Ore Owodunni,
13 to work with the Deputy Assistant Secretary, Shawn
14 Bennett, on developing ideas of potential studies that
15 the NPC can undertake in 2021, if we were asked to do
16 so by the Secretary, which I understand we have been
17 asked. So they took a pretty inclusive approach by
18 adding representatives from NGOs, from think tanks,
19 from environmental justice committees, and communities
20 to that subcommittee.

21 I want to thank everyone who contributed to
22 this important work. This includes not only the
23 dedicated people at the DOE and representatives from
24 many of the companies here today, but also certainly
25 Marshall Nichols and his team at the NPC.

1 And let me take just a brief minute to
2 recognize those companies that participated in the
3 subcommittee. They included the American Energy --
4 American Association of Blacks in Energy, Apache,
5 Center for Strategic and International Studies,
6 Chevron, Clearview Energy Partners, Columbia
7 University, ConocoPhillips, Entergy, Enterprise
8 Products, Exxon, Halliburton, IHS Markit, Lazard, Next
9 Era Energy, Occidental Petroleum, Ovintiv, Phillips 66,
10 Plains All American Pipeline, Resources for the Future,
11 Shell, Williams Companies, the U.S. Department of
12 Energy, and Valero Energy. So thanks to all of them
13 who participated in the study.

14 As I looked at the six topic areas -- I think
15 we'll ask somebody to explain those a bit more for the
16 NPC and the membership -- but I think they were
17 apolitical in nature. I think they're a balance and a
18 tradeoff between breadth and depth. And I think all
19 are expected to be of critical, even strategic,
20 importance to the U.S. energy complex over the next
21 five to ten years.

22 Now, one of the topics, and that's the
23 strategic petroleum reserve topic, is a bit more
24 tactical in nature, maybe doesn't represent that longer
25 five-to-ten-year time frame, but was certainly strongly

1 encouraged by the Department of Energy staffers. So at
2 this point, I'd like to turn over the presentation of
3 those potential topics to John Dabbar with
4 ConocoPhillips, and he's standing in for Subcommittee
5 Chair Ore who couldn't be with us today.

6 So, John, why don't you take us through a
7 brief description of each one of the six topic areas
8 that are recommended to the Secretary.

9 MR. DABBAR: Thank you, Ryan. So the six
10 topics in no particular order of priority that the team
11 is currently evaluating and writing problem statements
12 for, the first is called the Market Mechanisms to
13 Enable Decarbonization, looking at both the existing
14 studies on carbon pricing but with two critical
15 subtopics to be studied: one on the policy durability
16 and the other on how market-based policies in other
17 areas can complement a carbon price.

18 The second topic is titled Navigating the Dual
19 Challenge, which is an evaluation of an emissions
20 reduction scenario, for example, the IEA sustainable
21 development scenario, and evaluating the socioeconomic
22 challenges and opportunities of an energy transition
23 focusing on domestic energy workers, businesses, and
24 communities, along with the technological challenges
25 and opportunities we looked at and characterizing the

1 potential role of the oil and gas industry in
2 supporting that deployment.

3 The third project is called Responsible
4 Natural Gas Development and Production. The thesis
5 there is that supplies of natural gas around the world
6 have varying carbon and methane footprints, and the
7 ability to assess in a transparent and consistent
8 method those intensities of global natural gas value
9 chain that has the potential to support the global
10 competitiveness of U.S.-produced natural gas.

11 The fourth study is Roadmap for At-Scale
12 Deployment of Hydrogen, where the thesis is hydrogen
13 has the potential to decarbonize a variety of market
14 sectors, including industrial, commercial transport in
15 residential and serving as an energy storage mechanism
16 when coupled with renewables. And the power and
17 petroleum and infrastructure companies all have
18 extensive experience in developing and deploying
19 technologies that hydrogen will require at-scale.

20 The fifth study is associated with
21 environmental social and governance actions and has
22 three subtopics: what actions can a company take to
23 ensure that ESG metrics are tangible, achievable, and
24 integral to a business strategy; what is the potential
25 for a nationwide program to plug orphan well sites; and

1 are there innovations or best practices that can help
2 advance meaningful progress to a more sustainable
3 stakeholder engagement process.

4 Finally, the Strategic Petroleum Reserve
5 Study, the scope that was requested by DOE, which the
6 team is supporting in a problem statement, is during
7 this past year, the exchange for storage program was
8 opened up. DOE received bids from U.S. companies to
9 have the SPR temporarily store U.S. production, and the
10 study would look at the value of that EFS program and
11 what level of capability the industry would see as
12 valuable.

13 Those are the six studies that are currently
14 being worked on by the group, and following this
15 meeting, the Study Topics Committee will reconvene on
16 Friday to align on next steps with the goal that during
17 Q1 of next year the Subcommittee would refine those
18 topics, taking into account your feedback --
19 councilmember feedback -- and eventually going through
20 an approval of the CCC and presenting to the
21 membership, at which point the National Petroleum
22 Council and DOE would sit down with the Secretary and
23 decide which of the -- if any of the topics would be
24 actionable.

25 That's my report, Ryan. Back to you.

1 MR. LANCE: Thank you, John.

2 And, Chairman Nichols, we would now turn it
3 over to you and any members of the Council that might
4 have questions or comments on the six different areas,
5 such that the Subcommittee can take those comments into
6 account as they work with the Department of Energy and
7 formulate a response to the Secretary's request. So we
8 would turn it over to you to take any questions and
9 comments. We'll be standing by to answer any questions
10 that may come up and hopefully get some comments from
11 some of the membership on the Council.

12 MR. L. NICHOLS: Sure. If you have a
13 question, click the "raised hand" icon on your
14 computer, and we will answer the questions. While
15 we're waiting to see if we have any, this, of course --
16 this whole process puts us in an excellent position to
17 deal with the new Administration because they'll
18 already have got both our thoughts on topics that may
19 be of interest, as well as the staff, the people at the
20 Department of Energy now, which will put us in an
21 excellent position to move forward very expeditiously
22 as soon as the new Secretary of Energy is appointed.

23 I don't see any questions, so we will move on.
24 Next, I'd like to call on our Vice Chair, Darren Woods,
25 for any comments you'd like to add.

1 MR. WOODS: Thank you, Larry. Thanks, Larry.
2 I would just commend Ryan and the work that the team
3 did on pulling together the topics. I think -- I
4 suspect, Larry, many of the members -- we've got a lot
5 of good feedback on the carbon capture work that we did
6 previously, and so as I reflect on the opportunities
7 moving into the next Administration, and the
8 opportunity to do some work -- meaningful work to help
9 influence policy. I think we've got to keep, you know,
10 the risk of climate change and the drive in that space
11 kind of front and center, and I guess one perspective I
12 would share with the group and for the Committee to
13 consider is I think the success of carbon capture in
14 that report was the focus that we brought to that topic
15 and the meaningful work, the in-depth work, that the
16 group did. And it feels like an opportunity to take
17 another part of this very complex and challenging task
18 ahead of us of, you know, solving the dual challenge of
19 supplying affordable energy and maintaining national
20 energy sources and national security while addressing
21 climate change, finding another opportunity to focus on
22 -- to advance those objectives would make a lot of
23 sense.

24 So I think the hydrogen study makes a lot of
25 sense to me. It's narrow enough to allow us to do an

1 in-depth piece of work and has great promise with
2 respect to the challenges that the nation faces and,
3 indeed, the world faces.

4 I think the natural gas study also has some of
5 the same potential, although albeit a little bit
6 broader. That would be my comments, Larry. Thank you.

7 MR. L. NICHOLS: Thank you. It will be very
8 interesting to see how this unfolds next year when the
9 new Secretary is there and we can have the conversation
10 on these topics. And, of course, the old topics that
11 we approved last -- the reports we approved last
12 December on carbon capture, as well as infrastructure,
13 are going to be critical topics to be discussed going
14 forward. Having those studies available to us during
15 the coming year will be very helpful.

16 In fact, that is the next item on our agenda,
17 is to get an update on what has happened to those two
18 studies in the year that's passed since we last
19 approved them. First up is Amy Shank, who is the Chair
20 of the coordinating subcommittee that produced the
21 infrastructure study, Dynamic Delivery.

22 Amy, bring us up to date.

23 MS. SHANK: Thank you, Mr. Nichols. And I
24 wanted to say thanks to the members and staff at the
25 NPC, as well as the members of the DOE. So for anyone

1 who wasn't here last year when we presented this study
2 to the Secretary or doesn't sleep with it under their
3 pillow like many of, I'm sure, the committee members
4 who worked on the study do, I'm going to give you a
5 recap of the Secretary's request. I'm then going to
6 provide you with a brief overview of the key findings
7 and recommendations. And, then, finally, I'm going to
8 talk about the outreach that the study committee
9 members have done over the last year and what we still
10 hope to do.

11 So back in 2017, the Secretary of Energy, Rick
12 Perry, formally requested that the NPC perform a study
13 on oil and natural gas infrastructure, which eventually
14 became the outstanding body of work called Dynamic
15 Delivery: America's Evolving Oil and Natural Gas
16 Transportation Infrastructure. Secretary Perry asked
17 the NPC to provide an overview of the existing oil and
18 natural gas infrastructure and the need for additional
19 infrastructure to address potential changes as supply
20 and markets develop in new locations.

21 All infrastructure means truck, rail, marine,
22 and pipeline, and all commodities mean oil, oil
23 products, gas, and gas liquid products. He asked us to
24 review and understand any constraints and bottlenecks
25 that could arise, in particular, constraints that might

1 limit the industry's ability to continue to produce and
2 grow U.S. oil and natural gas production.

3 He asked us to evaluate technology advances
4 that can improve the efficiency, resiliency,
5 efficiency, and environmental performance of the
6 infrastructure system and to identify any regulatory or
7 policy changes that infrastructure development -- and
8 any potential solutions for bringing new technology
9 online.

10 He also asked us to look at any emerging
11 topics which really ended up being around the area of
12 cybersecurity. All of these topics are significant in
13 their own right, which is why the study required the
14 expertise from multiple perspectives and segments
15 within the industry.

16 Before we leave the slide, I want to take a
17 moment here to talk about how the study might be viewed
18 in the light of the economic impacts of COVID-19. The
19 COVID-19 pandemic certainly modified the near-term
20 supply and demand projections, but we believe that over
21 time, the trajectory of our findings will not change.
22 We're confident that this study provides insights and
23 recommendations that will be enduring for our nation's
24 oil and gas infrastructure moving forward.

25 Now we can move on. The beauty of NPC

1 studies, as compared to those conducted exclusively by
2 industry or government agencies, is the diversity of
3 the participants that the NPC seeks out. The NPC
4 infrastructure study included over 300 participants,
5 including representatives from most of the major oil
6 and natural gas companies, transportation companies,
7 including pipeline, marine, rail, and truck sectors,
8 various governmental agencies, such as the DOE, the
9 Department of Transportation, Department of State,
10 Department of Interior, FERC, and the Army Corps of
11 Engineers, as well as state government representatives,
12 Native American tribes, consulting and financial
13 sectors, NGOs, labor organizations or representatives,
14 academia, and many others.

15 You can see from the chart that less than half
16 of the participants who worked on the study are
17 actually in the oil and gas business directly. The
18 intent behind assembling such a diverse group was to
19 allow for different perspectives to be considered and
20 to make recommendations that will allow us to move
21 jointly ahead, rather than continue to have a very
22 divided perspective on how infrastructure is permitted
23 and constructed. Using a consensus process to
24 determine which findings and related recommendations
25 should make it into the final study report was our

1 goal.

2 The study took us to places that sometimes
3 made us uncomfortable. Sometimes, it was challenging.
4 In the beginning, I stated that when we got to the
5 place where no one got everything that they wanted we
6 would know that we'd found the right landing spot.
7 Next slide.

8 The Infrastructure Mapping and Analysis Task
9 Group analyzed the value of our existing
10 infrastructure, as well as its resiliency. It's
11 probably no surprise that this task group found that
12 there's been tremendous economic value generated in the
13 areas of economic growth, job creation, increased
14 exports, improved manufacturing competitiveness, and
15 market efficiency benefits to households and
16 businesses.

17 I'm going to highlight just a couple of these
18 benefit areas. In terms of economic growth alone, our
19 oil and gas infrastructure is responsible for 7.6
20 percent of our GDP, 10.3 million direct, indirect, and
21 induced American jobs, and \$714 billion in labor
22 income, and that was just in 2015.

23 I also think it's worth mentioning the ability
24 to use our existing infrastructure to align supply to
25 the customer's demand has led to stabilized or reduced

1 electricity prices and an increase in energy choices
2 for consumers. But it's not all sunshine and roses.
3 The IMA chapter found that our existing infrastructure,
4 while very flexible and resilient, has flexed about as
5 much as it can. To continue to have these benefits
6 into the future, more infrastructure is going to be
7 needed. Next slide, please.

8 This chart shows just a few of the different
9 demand scenarios we considered. When we were in the
10 midst of the study, just as there is now, there was a
11 lot of talk about how renewables are going to
12 significantly reduce or even eliminate the need for oil
13 and natural gas, but the data tells a different story.
14 One of the standout findings of the study is that no
15 matter what scenario you look at, even the low-carbon,
16 high-renewable scenarios, America's need for oil will
17 remain significant, and the demand for natural gas will
18 continue well into 2040.

19 This is in line with what I tell my kids who
20 think electricity comes from the wall, the reality is
21 that we're going to need it all. We're going to need
22 oil and gas and a smorgasbord of renewables to continue
23 to meet the demands of our nation. Next slide, please.

24 So as the demand for oil and natural gas will
25 remain significant, we know from history that the

1 supply locations will most likely continue to shift.
2 The Shale Revolution is a great example of shifting
3 supply centers and has been a monumental change for the
4 industry, resulting in significant shifts of supply
5 sources and changes in interview flows across the
6 country.

7 This chart shows the dramatic growth and shift
8 from 2005 to 2018 in both oil and natural gas
9 production. If you were to overlay the largest demand
10 centers, you would also see that the impact that all of
11 this has had on our infrastructure, truck, rail, and
12 marine have increased our capacity and rearranged their
13 shipping patterns to move oil to market. Pipelines
14 have been repurposed, reversed, or expanded in several
15 areas to ensure natural gas gets to where it's needed
16 most. Next slide, please.

17 So this is a great example of where a picture
18 is worth a thousand words. This is the permitting
19 process map for a single interstate natural gas
20 pipeline project. It is included in the study not as a
21 how-to but to drive home the key finding that
22 overlapping and duplicative regulatory requirements,
23 inconsistencies across federal and state agencies, and
24 unnecessarily lengthy administrative procedures have
25 created a complex and unpredictable permitting process.

1 Navigating these processes has become a
2 challenge and an unpredictable endeavor, making it
3 difficult for companies to properly evaluate and plan
4 these investments. The process is steeped in
5 regulatory bureaucracy made more difficult by unclear,
6 conflicting federal and state policies and limited
7 agency staffing.

8 A 2019 Council of Environmental Quality study
9 analyzed the length of all environmental impact studies
10 in a recent five-year period across all federal
11 agencies. The study found that the EISs that started
12 out to be about 150 pages back in the '70s and '80s now
13 average 669 pages with final appendices that average
14 more than 1,000 additional pages.

15 Permitting challenges often delay and
16 sometimes prevent construction of infrastructure, which
17 can lead to higher energy and electricity prices,
18 constrained economic development, and a lack of power
19 reliability in periods of high demand. Though the
20 study made several recommendations on how the process
21 should be clarified and streamlined, while still
22 maintaining the integrity of the review process, much
23 of the recommended language mirrors the language in the
24 CEQ's recent proposed rule language for modernizing
25 NEPA reviews. Next slide, please.

1 Another issue that makes permitting
2 infrastructure projects difficult is the increased
3 challenges of stakeholders that connect the development
4 of oil and natural gas infrastructure with the negative
5 impacts on climate. In the study, a key finding was
6 that the nation faces the dual challenge of providing
7 affordable energy while addressing risks with climate
8 change. The NPC shares this concern that climate
9 change is a serious issue requiring action but sees
10 fighting individual projects in the courts as an
11 inefficient way to achieve change.

12 The NEPA review process has become a leading
13 basis for litigation and challenging agency decisions
14 on energy infrastructure. The uncertainty over NEPA
15 interpretation has led to expanded reviews and delays
16 in permitting, but ultimately most projects -- about 80
17 percent -- have eventually moved forward. Next slide,
18 please.

19 Two of our key recommendations address climate
20 change concerns. The first is aimed at industry, while
21 the second is provided for the Government. The first
22 one is that oil and natural gas industries should
23 continue to work to improve their environmental
24 performance. The formal language is "all oil and gas
25 infrastructure companies should strive for outstanding

1 environmental compliance records and continue to work
2 to reduce greenhouse gas emissions from their
3 operations." This commitment to reducing emissions and
4 improving compliance performance can be demonstrated
5 through participating in many existing voluntary
6 programs like those listed on the slide.

7 The second recommendation was developed to
8 improve clarity to the NEPA review process while
9 providing a better process for stakeholders to address
10 their concerns about climate impacts. The two parts of
11 this recommendation are intended to be enacted
12 simultaneously and read that "Congress should clarify
13 that greenhouse gas assessments under NEPA are confined
14 to emissions that are proximately caused by the federal
15 action and reasonably foreseeable and that Congress
16 should enact a comprehensive national policy to reduce
17 greenhouse gas emissions and harmonize federal, state,
18 and sectoral policies. The policies should be economy-
19 wide, applicable to all sources of emissions, market-
20 based, transparent, predictable, technology-agnostic,
21 and internationally competitive." Next slide, please.

22 The last chapter of the study looks at
23 technology advancements that should be pursued to
24 improve safety, reliability, and environmental
25 performance. We make recommendations for where and how

1 investment can be made by both industry and the
2 Government, with many being recommended in partnership.
3 We also look at the regulatory requirements for
4 approving the use of new technology and make
5 recommendations to specific agencies about how the path
6 to approval can be safely shortened.

7 Finally, we took a deep dive into the
8 cybersecurity challenge that the oil and gas
9 infrastructure industry is facing. These challenges
10 are growing every day due to increased connectivity and
11 escalating threats. We make multiple recommendations
12 to improve the efficiency with which industry and the
13 Government are already working together in this space.
14 Next slide, please.

15 So before all of our travel plans were
16 suspended, we had several in-person meetings. Just to
17 name a few, Shawn Bennett and I presented at the
18 Natural Gas Committee of NARUC; the study leadership
19 presented and fielded questions from multiple
20 congressional staff and representatives as the list you
21 can see there. There was a well-attended event hosted
22 by BPC's principal and coordinating subcommittee member
23 Jason Grumet and Williams CEO and study chairman Alan
24 Armstrong and others. Members of the study committee
25 met with multiple federal agencies to inform them of

1 the study overall and the recommendations specific to
2 them. These included DOT, CEQ, FERC, DOE, DHS, and DOE
3 -- DOD.

4 For the balance of the year, we took advantage
5 of virtual platforms such as Webex conferences and even
6 recorded a podcast at CSIS. Many of these
7 presentations were recorded and are available for
8 viewing or listening at the study website:
9 dynamicdelivery.npc.org.

10 I also wanted to take a minute to mention that
11 many of the participating industry companies like
12 Williams have been utilizing the study to further their
13 ESG efforts and inform the way we talk about our
14 industry in terms of being a valuable and necessary
15 part of the transition to a lower-carbon future. Next
16 slide, please.

17 And, finally, this is a list of agencies and
18 organizations that we still have plans to pursue. The
19 study makes recommendations specifically to the members
20 or policies of this organization, and many are
21 important stakeholders who would benefit from knowing
22 more about the study.

23 So with that, I'll conclude my piece of the
24 presentation and either answer questions or hand it
25 back to Mr. Nichols.

1 MR. L. NICHOLS: Amy, thank you very much.

2 That study is just as timely today as it was a year ago
3 when we approved it. And it will see a whole lot of
4 activity, I'm sure, during the coming year.

5 Our next item is an update from Cindy
6 Yeilding, who was the Chair of the Subcommittee
7 that produced our CCUS -- Carbon Capture, Use, and
8 Storage -- report called Meeting the Dual Challenge.

9 Cindy?

10 MS. YEILDING: Thank you very much, Larry.

11 Good afternoon to you all, and thanks for having us
12 here today. It's been a year since Study Chair John
13 Minge and I shared the Carbon Capture, Use, and Storage
14 Team's finding and recommendations with you. On behalf
15 of the study team, we deeply appreciate the Council's
16 support of our work. The objectives of today's update
17 are to update -- to remind you of the key messages of
18 the CCUS study, to provide information on the report
19 and the engagement activities over the past year.

20 So on the next slide, we'll see here's where
21 it all started. In September 2017, the Secretary of
22 Energy requested that the NPC conduct a study to define
23 the potential pathways for integrating CCUS at-scale in
24 the U.S. Secretary Perry's letter highlighted some
25 specific lines of inquiry, including what is the energy

1 outlook for both the U.S. and the world, what technical
2 barriers must be addressed to enable us to move
3 forward, what policy, regulatory, legal, and other
4 issues must be addressed to progress investment, and
5 what actions can be taken to frame public policy and to
6 stimulate investment in CCUS here in the United States.

7 So in the next slide you'll see, as Amy said,
8 one of the best parts of an NPC study is the broad
9 range of participants. This study is the first to look
10 holistically at the entire CCUS supply chain and
11 economics, including all sources of CO2, not just oil,
12 gas, and coal. To address this, we assembled a team of
13 over 300 members. Only about a third of this diverse
14 group are from the oil and gas industry, while the
15 balance of study participants represent a broad range
16 of other industries, as well as academia, government,
17 NGOs, financial, and insurance sectors.

18 So when we talk about CCUS development at-
19 scale, as a study team, we debated the role of CCUS in
20 a clean energy scenario quite a bit. We'd like to
21 remind you that while carbon capture, use, and storage
22 is not the only answer, we determined that it's an
23 important role in an all-of-the-above solution to
24 reduce emissions and that, yes, CCUS should be a
25 critical part of the U.S.'s decarbonization strategy.

1 In addition, CCUS technologies under research
2 and development today offer the best potential
3 approaches to achieve a negative emissions scenario,
4 which may be required to reduce excess carbon dioxide
5 directly from the atmosphere. CCUS is one of the only
6 technologies that allows industrial sectors to
7 decarbonize -- certain industrial sectors to
8 decarbonize, including oil refining, chemicals,
9 ethanol, concrete, and steel sectors.

10 And, finally, as we shared with you last year,
11 in its fifth assessment report, the IPCC concluded that
12 the costs for achieving atmospheric two-degree-C world
13 would be twice as expensive without CCUS. So in that
14 conversation, we also spent an incredible amount of
15 energy defining sort of what "at-scale" meant. And as
16 a team, we agreed that at-scale deployment as capture
17 and storage or use of 500 million tonnes of carbon
18 dioxide per year would be a significant and robust
19 target for at-scale. This represents about 20 percent
20 of the current U.S. stationary source emissions, or 10
21 percent of the total U.S. CO2 emissions. Remember,
22 this starts from a baseline of about 25 million tonnes
23 of carbon dioxide capture today.

24 So just to remind you of some of the key
25 messages of the report, we framed the study in the

1 context of the dual challenge of providing more energy
2 to support growing global populations while reducing
3 greenhouse gas emissions. As you're all aware, this is
4 one of the fundamental challenges facing our society
5 today. The study reached ten findings and supported
6 these with data, insights, and sets of recommendations
7 as appropriate.

8 At the highest level, the key messages of the
9 study include the United States is the world leader in
10 carbon capture and is uniquely positioned to deploy
11 CCUS at-scale. CCUS can be deployed today; however,
12 the economics of carbon capture are challenging, and
13 deployment at-scale requires clarity, stable and
14 enduring policy and regulations, and incentivization to
15 catalyze development.

16 We also found that investment in research
17 development demonstration will very, very likely create
18 further applications and potentially drive down costs.
19 We believe that these actions can stimulate a new
20 industry in the U.S., creating jobs, capabilities, and
21 economic growth for a global marketplace. And,
22 finally, stakeholder engagement is critical to
23 successful implementation of CCUS at-scale in the U.S.

24 So three of our key findings were focused on
25 phases of deployment that we defined through detailed

1 economic modeling that we'll describe in a couple of
2 slides. Our initial phase -- activation -- is
3 delivered by mobilizing the industry through
4 clarification, a federal tax policy, and regulations,
5 something the U.S. has made great progress on this
6 year. Doing this is boosting investor confidence and
7 should allow the United States to double our current
8 annual CO2 capture capacity over the next five to seven
9 years.

10 Our next phase, the expansion phase, will
11 require the support of Congress and regulatory agencies
12 to update existing policies and increasing financial
13 incentives to create a durable legal and regulatory
14 framework. We predict these moves will actually enable
15 a five-time expansion of carbon capture in the next 15
16 years.

17 Finally, our analysis determined that moving
18 to at-scale deployment, by building on the policies
19 enacted in Phases 1 and 2, and in this case using
20 technologies available today, will require
21 significantly increased incentives, as detailed in the
22 report. With this support, we can reach at-scale
23 deployment within 25 years, enabling a 20 percent
24 reduction in U.S. stationary source emissions and
25 hopefully catalyzing a whole new industry for the U.S.

1 So on the next slide, as we've seen through a
2 similar commitment to renewables research, we believe
3 that additional RD&D will lead to further innovation,
4 performance improvements, and cost reductions over
5 time. The study included detailed analysis of current
6 and future capture, transport, use, and storage
7 technologies. Each of the technology teams did a
8 fantastic job of describing the current state of
9 technology development, as well as laying out a set of
10 priorities for RD&D moving forward.

11 These priorities became the basis for
12 recommendations on research and development, detailed
13 in the final report. At the highest level, the
14 recommendation of \$15 billion allocated for research,
15 development, and demonstration over the next ten years
16 reflects kind of a roughly threefold increase in
17 current budget levels.

18 So a little bit about the report. Since we
19 saw you last, we've actually completed the report, and
20 it's 600 pages long. So for your convenience, you'll
21 see on the next slide that we've also included a two-
22 page roadmap that summarizes the phases of development,
23 state of technology, and the highest priority
24 recommendations. So if you don't have time to really,
25 really dig into the study, the roadmap, which is

1 included in the executive summary and highlighted in
2 many of the talks, would be a great sort of quick
3 reference for the highest level study findings.

4 What we also wanted to highlight for you guys
5 today is as we began the study, it became clear that we
6 needed to understand the costs associated with CCUS
7 deployment in order to determine the actions necessary
8 to enable progress. We always called this the elephant
9 in the room, and it was -- you know, we had several
10 elephants, but this was one of them. And, so, the team
11 worked really, really hard to try to best understand
12 and compile the costs of doing CCUS across a number of
13 sources and technologies in the U.S.

14 This led to what we believe is one of the
15 differential elements of the study, the CCUS cost
16 curve, which is depicted here on the roadmap. The
17 purpose of this was not to identify or understand the
18 economics of any specific project but to understand the
19 level of financial value needed to incentivize and
20 catalyze the development of the CCUS industry using
21 available technologies.

22 We used a set of standard transparent
23 assumptions. They're all documented in the study, and
24 the study team calculated costs to capture, transport,
25 and store the largest 80 percent of stationary source

1 emissions in the U.S. from both the EPA's emissions
2 database plus emissions associated with U.S. ethanol
3 production.

4 So on the next slide, we just sort of
5 highlight what is actually in the report. So since the
6 last time we talked, we've actually published our
7 report. The final study is structured in three volumes
8 with the first volume being our executive summary, the
9 roadmap, and a summary of all the recommendations from
10 the study.

11 The second volume provides an analysis of CCUS
12 deployment at-scale, building the case for CCUS and the
13 role it could play and will play in the future energy
14 mix, describing the CCUS supply chain and its cost
15 based on using currently deployed technology. This
16 volume also describes the current and required policy,
17 regulatory and legal framework for deployment of CCUS,
18 and highlights the critical role of engaging
19 stakeholders to achieve deployment at-scale.

20 Our third volume provides an analysis of all
21 the current and emerging CCUS technologies across the
22 entire supply chain -- capture, transport, storage,
23 EOR, and use -- and builds the case for continued
24 research, development, and demonstration of those
25 technologies.

1 Volume 1 -- here it is -- is printed and
2 available in hard copy. And Volumes 2 and 3 will be
3 available in print before the end of the year. All of
4 these are available as -- and downloadable in PDF form
5 from the NPC website. And, of course, we encourage you
6 to download them and refresh your knowledge of the CCUS
7 study.

8 So, next, we'd like to update you on our study
9 outreach. So the CCUS Study Team and the NPC obviously
10 have a commitment to share study results. We created a
11 master set of study products, and those were developed
12 for outreach. And a subset of our coordinating
13 subcommittee, task group leaders, and researchers were
14 named to our communication team.

15 Despite the restrictions of the year, our team
16 has had over 40 opportunities to share the key messages
17 of the study and to direct folks to the report on the
18 NPC website for further information. We also have more
19 engagements scheduled in 2021, and if your organization
20 would like to know more, please contact John Guy at NPC
21 and he will happily arrange a presentation from us.

22 We'd also like to talk about some of the areas
23 of impact. In case you missed it live, we do have some
24 recordings of the study events available in video from
25 several of the presentations, and these can be found at

1 Meeting the Dual Challenge Report downloads on the NPC
2 study. We are happy to say that one of those
3 presentations actually led to a resolution from the
4 IOGCC endorsing the recommendations of the NPC report,
5 which we were very proud to receive.

6 A little bit more about one of the products
7 we created as we built the cost curve and did our
8 economic analysis. One of the most popular products
9 or tools from the study has been the cost assessment
10 tool, which was graciously developed and maintained by
11 GaffneyCline. A link to this tool can be found on the
12 NPC website. This includes online and spreadsheet
13 versions of the integrated cash flow model that
14 calculates the revenue required to fund installation
15 and operations for capture, transport, and storage.

16 These can help the user determine the impact
17 of project duration, CapEx scheduling, debt-to-equity
18 financing, depreciation, duration, and other terms that
19 help enable translation of the NPC CCUS study
20 assumptions into the user's own sort of specific
21 situation.

22 We're thrilled to say that we have over 400
23 users to date for the cost assessment tools, and they
24 come from a broad range of business, academia,
25 government backgrounds. So I'd encourage, if you've

1 got some questions and you'd like to run a couple of
2 different model scenarios, please head to the NPC
3 website and find your way to this tool.

4 Finally, a couple of publicly known
5 applications in the policy and economic foundation work
6 include the University of Houston's and Center for
7 Houston's future regional assessment of CCUS costs in
8 the Port of Houston area and Georgia Tech's regional
9 assessment of CCUS costs in the U.S.

10 We also believe that the study has provided a
11 foundation and a framework for the NPC members and the
12 broad participants in the study to help frame priority
13 issues and reflect diverse stakeholder views through a
14 consensus as -- on 45Q policy.

15 So I think with that we just can't end this by
16 -- without an acknowledgment to many, many different
17 entities. This was a global effort, and one that we
18 best describe as a labor of love. Our deepest
19 appreciation to the guiding lights at Team DOE, to the
20 National Petroleum Council team, and to our colleagues
21 in the infrastructure study.

22 And, finally, we'd like to thank -- to
23 recognize and thank the over 300 participants around
24 the world, the authors, the task group leaders, the
25 coordinating subcommittee, and our core team for their

1 commitment to the study. We benefitted greatly from
2 your broad range of experiences and your diverse
3 perspectives on CCUS, and you've made the study into
4 what we believe is one of the most comprehensive
5 studies to date on CCUS. Thanks to all of you for
6 sharing your experience, your passion, and, most of
7 all, your patience with us. Thank you very much.

8 MR. L. NICHOLS: Cindy, thank you. That
9 report is going to remain a valuable resource in this
10 area for many, many, many years to come. A herculean
11 effort, and you and all that team did a wonderful job.
12 So thank you.

13 MS. YEILDING: Thank you.

14 MR. L. NICHOLS: Our next update is to talk
15 about how these two reports have been used inside
16 government. And to do that, we want to call on Shawn
17 Bennett, who is the Deputy Assistant Secretary for Oil
18 and Natural Gas and Fossil Energy and is also the
19 Government Cochair for the infrastructure study.

20 Shawn?

21 MR. BENNETT: Oh, thank you, Mr. Nichols, and
22 thank you, Cindy and Amy. That was really great work.
23 And, you know, being part of the outreach team, I can
24 say the fact that you're able to achieve, you know, so
25 much outreach in such difficult circumstances is

1 nothing short of amazing. I can't really -- I can't
2 wait to hear about more future outreach, and hopefully
3 it will go from, you know, virtual to in-person as the
4 vaccine is distributed here over the next year or two.

5 And I really -- I can't say enough about the
6 roadmap that Cindy showed on the CCUS study. I think,
7 really, I mean, looking at it, it's really a great
8 piece of work, and I think it may need to be used more
9 when discussing the implementation of new ideas because
10 you guys really did the homework to show everything
11 that had to go into it to make it work.

12 Next slide, please. And, you know, again, I'd
13 like to say a big thank-you to the NPC members and
14 state participants for all their work on these two
15 studies. I think we had more people working on these
16 two studies than there are members of Congress. So, I
17 mean, it was a herculean effort to really bring both of
18 these studies to their final published state. And it's
19 really just, you know, again, the effort, the time,
20 and, you know, just the volunteers, it's really -- you
21 know, it's really awe-inspiring.

22 So I probably -- and, again, I think as Mr.
23 Nichols mentioned, I'll probably be talking a little
24 bit more about the Dynamic Delivery than Meeting the
25 Dual Challenges, just for the pure fact that I was

1 directly involved with that study and really worked
2 this in my role at the Department, but, you know, both
3 studies delivered a substantial amount of actionable
4 advice, and we've really gotten an idea of really what
5 the two studies cover.

6 But some of these are the top-line items that
7 the Department was hoping to learn more about and, you
8 know, think about, you know, enabling, you know, an
9 all-of-the-above energy transition to continue the --
10 to continue to deliver the benefits of America's energy
11 resources, both at home, as well as abroad,
12 infrastructure needs in the context of both studies,
13 you know, Dynamic Delivery for more traditional oil and
14 gas transport, where, you know, Meeting the Dual
15 Challenge for the transportation of captured CO2, and
16 areas where technology advances are needed for both
17 topics at hand, from materials sciences for pipelines
18 to innovative uses for captured CO2. Next slide,
19 please.

20 For each study, when looking at, you know, how
21 recommendations applied to the Department of Energy, we
22 sorted them really into a few buckets. For Dynamic
23 Delivery, those were streamlining the permitting
24 process, enhancing recent regulatory reform efforts
25 like FAST-41 and One Federal Decision, promoting the

1 development of energy resources to continue delivering
2 their benefits, both home and abroad, and promoting the
3 development and adoption of technologies to improve the
4 transportation, safety, and integrity, with
5 cybersecurity included.

6 And really for, you know, meeting the Dual
7 Challenge, you know, we saw those buckets as really
8 being understanding the CCUS supply chains and
9 economics, enabling the deployment of CCUS through
10 policy and regulation, and really the role of CCUs in a
11 future energy mix.

12 And, so, you know, with Dynamic Delivery, you
13 know, Dynamic Delivery asked for continued cooperation
14 and investment from government and industry on
15 midstream R&D. Some examples of the work we're
16 currently doing at DOE laboratories are really
17 improving the pipeline materials and inspection
18 technologies to boost resiliency and reliability for
19 our midstream infrastructure, looking at improved
20 transmission and distribution efficiency for natural
21 gas from the well head to the burner tip, and really
22 using AI and predictive analytic tools to identify,
23 measure, and mitigate methane emissions.

24 And this is something that, you know, we
25 continue to see more interest in, especially as we have

1 had a continued dialogue with the European Union and
2 some of those conversations, both with France and the
3 European Commission, and their focus on what we're
4 doing here in the United States and really how would
5 that be implemented in other parts of the world.

6 And, then, also developing conversion and
7 utilization technologies to reduce vented and flared
8 gas, essentially just upcycling that natural gas, you
9 know, potentially from turning it into hydrogen or
10 capturing it and turning it into carbon fibers, or even
11 into the typical, you know, butane -- b.techs and the
12 methanol. So, you know, these are all ideas that
13 really kind of came through the Dynamic Delivery that
14 we're already implementing within the Department of
15 Energy and FE30.

16 Next slide. Now, with Meeting the Dual
17 Challenge, you know, also requested significant R&D
18 investment, and the captured storage of CO2 included
19 enhanced oil recovery, and our ongoing work in that
20 area is really included in a lot of field labs. The
21 Department of Energy and the Office of Oil and Natural
22 Gas, you know, we have 17 field labs throughout the
23 United States, and we've already focused -- we're
24 focused on basin-specific strategies, so looking at
25 each one uniquely and seeing how we can get better

1 wells, whether it is through unconventional or
2 conventional development, whether it's new wells or
3 also enhanced oil recovery. So, you know, we currently
4 have enhanced oil recovery utilizing CO2 in, you know,
5 a handful of our projects in the Bakkan and
6 unconventional, in Michigan, partnering with Battelle,
7 and going in an oil carbonate formation there in
8 Michigan, as well as a couple in Texas as well. So,
9 you know, really seeing how we can utilize CO2 capture
10 -- capture CO2 with, you know, other gases as well to
11 see if we can improve the EOR of a lot of these wells.

12 And then applications of AI, big data, machine
13 learning to understand the reservoir conditions of both
14 storage and EOR purposes, and, you know, the continued
15 funding for cost share [brief audio lapse] that capture
16 and store CO2 emissions from [brief audio lapse] \$31
17 million announcement that we put out this past April
18 for initial engineer and design of CO2 capture from
19 industrial sources and engineering scale testing of
20 transformational combustion of CO2 capture technology.
21 So, you know, we really took the learnings from Meeting
22 the Dual Challenge and acting on those as soon as we
23 could because there's a lot of good work to be done in
24 that arena.

25 Next slide, please. Now, for the

1 infrastructure study, we analyzed the societal benefits
2 that America's increased energy production has brought
3 with it, both in terms of economic prosperity and
4 energy security and improved export capacities that can
5 really deliver more of those benefits, both at home and
6 abroad. So, you know, the Department of Energy has
7 sought to streamline the permitting process for LNG
8 facilities in our office, the Office of Oil and Natural
9 Gas, and remove those regulatory burdens to the
10 development of additional infrastructure -- export
11 infrastructure.

12 So recent approvals, West Coast facilities at
13 Alaska LNG and Jordan Cove really can improve our
14 access to the Asian markets for American natural gas,
15 as well as several projects in Mexico that will help
16 get into those Asian markets as well.

17 Next slide, please. Sorry. So for Dynamic
18 Delivery, you know, it really discusses the ways to
19 ease the regulatory burden on midstream operators,
20 adoption of both new and innovative technologies that
21 can improve the reliability, safety, and environmental
22 performance of our oil and natural gas infrastructure.

23 You know, this in-line inspection tool is
24 really just, you know, one example of that, you know,
25 this technology is better at detecting pipeline

1 features that may develop issues in the future, but,
2 you know, really the regulatory acceptance lags behind,
3 and the existing regulations can discourage operators
4 from using tools that pinpoint potential issues that
5 older technologies would have missed. So we're
6 collaborating with other agencies and industry to
7 develop an agile pathway for the adoption of these
8 technologies, because the quicker we can get them into
9 the field, again, the safer we can make our
10 infrastructure and make sure that we're bringing it all
11 up to date.

12 So, you know, with -- America's
13 infrastructure, you know, has been adapting to the
14 connectivity revolution by incorporating more sensors,
15 more controls, high-performance computing, predictive
16 maintenance strategies to really make energy production
17 and delivery more efficient and reliable; however,
18 while these devices can improve the natural gas supply
19 system efficiency, they can also pose security
20 challenges, causing utilities to rethink their
21 cybersecurity infrastructure. And Dynamic Delivery
22 discusses the cybersecurity issues for midstream
23 operators and details.

24 So, you know, the Department of Energy CESER
25 Office supports our -- supports the research and

1 development to identify and mitigate those potential
2 vulnerabilities and works with midstream operators to
3 share that information on threats that are identified.
4 So we -- once we finished the study in December, we
5 wanted to make sure that our CESER Office had that and
6 was able to implement that and use that the best way
7 possible over the past year.

8 And in really, you know, many scenarios with
9 decarbonization targets, hydrogen -- and Undersecretary
10 Winberg mentioned this here at the beginning -- you
11 know, hydrogen is an important part of that proposed
12 energy mix, and I really see hydrogen as sitting in
13 some ways at that intersection of these two studies.
14 You know, much of what applies to the natural gas
15 transport in Dynamic Delivery will also be important to
16 developing the needed hydrogen infrastructure, and what
17 we learn about the capture and storage of CO2 will
18 ultimately apply to, you know, some important methods
19 of hydrogen production.

20 So the Offices of Oil and Natural Gas and
21 Clean Coal and Carbon Management are collaborating on
22 the production and transportation of blue hydrogen.
23 So, you know, really one example of our work is the
24 materials science challenge associated with the
25 pipeline transport of hydrogen. So in theory, a blend

1 of up to 20 percent of hydrogen and natural gas can be
2 transported without modifying natural gas pipelines.
3 Modifying the same pipelines to carry pure hydrogen,
4 however, requires addressing a number of issues,
5 including the potential for embrittlement of some seals
6 and sealing difficulties at fittings that are tight
7 enough to prevent natural gas from escaping but not
8 possibly -- possibly, but not hydrogen. So, you know,
9 again, we recognize that hydrogen is playing a more
10 important role, and we want to make sure that from an
11 Office of Fossil Energy standpoint that we're really at
12 the forefront of a lot of that research and
13 development.

14 And moving forward, you know, I just can't go
15 without saying -- I really would like to acknowledge
16 that, you know, while certainly nobody working on these
17 two studies anticipated, you know, a COVID-19 pandemic
18 or its impact on the energy and really other world
19 markets, and while those unexpected events can cause
20 short-term uncertainty, you know, there is a trend
21 toward a strong energy market recovery, both at home
22 and around the globe.

23 You know, the oil and gas industry really
24 stands to be a big part of the United States' economic
25 recovery, and it's always been and continues to be an

1 important contributor of direct employment and economic
2 impact and also powers our economy and supports our way
3 of life with low-cost and reliable energy. And really
4 the insights and recommendation from both of these
5 studies really still ring true, even in the face of
6 this unprecedented situation. It really helped shed a
7 light on the path forward for the oil and gas industry
8 as we continue to navigate the energy transition.

9 So, you know, in closing, the Department of
10 Energy really looks forward to seeing more of that same
11 insight moving forward on topics that will really be
12 vital to America's energy future. And it has been a
13 pleasure to work with the NPC during my tenure here at
14 DOE and also working on the study topics project. This
15 has really just been a great opportunity, and thank you
16 all.

17 MR. L. NICHOLS: Shawn, thank you very much
18 for that report, and equally, thank you for all you've
19 done at the Department of Energy. It's been a real
20 help to our industry and to the country, and we
21 appreciate that and we acknowledge that.

22 MR. BENNETT: Okay, thank you.

23 MR. L. NICHOLS: So thanks.

24 But we now need to turn to two administrative
25 items. The first one is the Finance Committee, which

1 is headed by Byron Dunn as the Chair. After Byron's
2 report, we'll have a poll to indicate whether the
3 members of the Council approve, disapprove, or wish to
4 abstain from his report. We'll leave that poll open
5 for a minute or two to give you a chance to register to
6 vote.

7 So, Byron, take it away.

8 MR. DUNN: Thank you, Larry.

9 And in addition to reviewing periodic or form
10 its reports throughout the year, the Finance Committee
11 has met twice this year to discuss our Council's
12 finances, once in May and again in early -- late last
13 week. Our May meeting was called to order to reassess
14 the Council's 2020 budget and member contribution in
15 light of the daunting challenges faced by the industry
16 with the impact of the pandemic and, of course, the
17 corresponding role of price collapse.

18 At that meeting, the Council's officers, the
19 Finance Committee members, and staff conducted a very
20 rigorous examination of the Council's finances to
21 significantly reduce a previously approved budget for
22 2020 that we talked about last year. The cost-cutting
23 measures included salaries, rents, study operations,
24 and G&A reductions that resulted in a revised 2020
25 budget in the amount of \$3.6 million, which is some 40

1 percent less than our 2019 budget.

2 Concurrently, the Committee decided to set the
3 individual members' level contributions at the same
4 amount that the contributions were requested in 2019,
5 but we were offering those with hardship or with unable
6 to pay the full amount of the contribution to
7 contribute a minimum that will equal to 60 percent of
8 the 2019 contribution amount.

9 So early last week, the Committee convened
10 again to discuss a variety of topics, including the
11 review of Calendar Year 2019, and that's the draft
12 audit report, with Johnson Lambert & Company, the
13 Council's outside auditors. And I'm pleased, and I
14 know you will be, that the auditors provided the
15 Council a clean opinion letter, which agrees with our
16 financial -- which agrees that our financial controls
17 are sound.

18 The Committee also reviewed the 2020 projected
19 year-end expenditures and contributions collections.
20 The Council anticipates that 2020 spending will meet
21 the aforementioned revised budget target of \$3.6
22 million, so we're in good shape there, but it will also
23 include expenses needed to complete or -- expenses
24 we've already had before us to complete the editing and
25 preparation of the carbon capture and the

1 infrastructure study reports -- publications. And, by
2 the way, Cindy and Amy, you all did a great job.

3 As another sign of the times, the Council
4 printed only a limited number of copies of the study
5 for the participants as a thank-you for their efforts.
6 As you heard previously from Amy and Cindy, these
7 reports and related study materials are available to
8 download from the National Petroleum Council website.
9 Those wishing a hard copy have the option to purchase
10 it through Amazon's Print on Demand -- Amazon's Print
11 on Demand service.

12 Contributions collections are currently
13 anticipated to come in more than 75 percent of the
14 total amount requested, due mostly to the fact that the
15 majority of our members contribute the full amount
16 suggested, foregoing their offer to pay a discounted
17 level. I wanted you to know that the Council's
18 officers, the Finance Committee members, and the staff
19 understand and greatly appreciate the financial
20 sacrifice that these contributions represent.

21 Finally, the Committee discussed and agreed
22 upon the proposed 2021 budget in the amount of \$3.992
23 million. This proposal leaves in place all of the
24 discretionary spending cuts that we put forth earlier
25 this year, particularly in salaries and the GNA costs.

1 While we continue to manage at the current constrained
2 level, we have provided in this budget for actually
3 reopening in the second half of next year, including
4 the possibility of an in-person Council meeting. And
5 this budget proposal also provides initial funding to
6 begin work of any new studies that are requested by the
7 Secretary.

8 The Committee further recommends funding the
9 2021 budget with individual contributions at the same
10 amount that we requested for 2020, leaving in place
11 that option for those who are having a tough time and
12 aren't able to pay the full amount, they can pay a
13 minimum of 60 percent of our request.

14 The Finance Committee and the National
15 Petroleum Council management recognizes the dire
16 economic challenges facing Council members, and
17 accordingly we have worked diligently to scrutinize the
18 Council's annual budget line item by line item to
19 minimize costs in a way that reflects the industry's
20 continued hardships. Management -- your NPC management
21 have been sent a clear message and will continue to be
22 proactively frugal while being responsible to the
23 Council's mission. I believe this budget is reflective
24 of those efforts.

25 Subject to your approval, the budget and

1 contribution recommendations the Council will send --
2 we will send individual 2021 member contributions
3 request out early next year. I encourage you to
4 respond expeditiously upon receiving those requests,
5 and I have a little footnote. For those of you who
6 have not yet gotten around to paying your 2020
7 contributions, 'tis the season. Please consider doing
8 so before the end of the year.

9 Mr. Chairman, that completes the report of the
10 Finance Committee, and on behalf of the Committee, I
11 move that it be adopted by the Council membership.

12 MR. L. NICHOLS: Thank you, Byron, for your
13 help on this report and being -- serving in this job
14 for some time. But we now have a motion to approve the
15 report of the Finance Committee. If you have any
16 discussion, again, hit the raise hands. If there are
17 none, the poll will show up on your screen, and you can
18 take the poll and we'll announce the results.

19 While we're doing that -- and I will pause
20 here and make my own vote -- while we're doing that,
21 I'd just like to reemphasize a couple of Byron's
22 points. One is great appreciation for the very
23 positive response that most of you did by sending in
24 your full dues for the year. And second I wanted to
25 really recognize Marshall and his staff who did an

1 outstanding job back in March and April to immediately
2 identify the nature of the problem we had and take
3 extraordinary efforts in cutting their own salaries and
4 coming up with a budget, as Byron said, that was 40
5 percent below last year's budget between the team.

6 That puts us in a very sound financial footing
7 for this next year, and I heard your "merry Christmas
8 and send in your dues now" statement. The 2021
9 contribution request will go out sometime in January,
10 so we appreciate your prompt response to that.

11 And I now see that the finance poll has
12 exceeded a majority, so thank you very much for that.
13 And we'll move on to our final item today, which is the
14 Nominating Committee, which is chaired by Jim Hackett.

15 Jim?

16 Is Jim Hackett with us?

17 MR. M. NICHOLS: Jim Hackett is not logged in,
18 sir.

19 MR. L. NICHOLS: Okay. I guess we will not
20 have that report. It was the Nominating Committee,
21 which was going to reelect pretty much the slate that
22 we had. Do you want to go over, Marshall, that report
23 on the full nomination? I don't have that in front of
24 me.

25 MR. M. NICHOLS: I will be happy to do that,

1 and I'm sorry that Jim was having some difficulties
2 with his connection to the Webex.

3 The Nominating Committee has met to review its
4 nominations for the officers of the Council and the
5 members and chairs of the Agenda and Appointment
6 Committees, and the five at-large members of the
7 Cochair's Coordinating Committee. Accordingly, the
8 Committee has recommended for the Council Chair Larry
9 Nichols; the Council Vice Chair, Darren Woods.

10 For the Agenda Committee, the Committee has
11 recommended Alan Armstrong, Deb Caplan, Bob Catell,
12 Greg Garland, Ray Hunt, Gretchen Watkins, Bill Way,
13 Bill White, Mike Wirth, and Dan Yergin as members, and
14 Ryan Lance continuing to serve as the Chair.

15 For the Appointments Committee, the Nominating
16 Committee recommends for its members Nick Akins, Joe
17 Gorder, David Grzebinski, John Hess, Terrence Jacobs,
18 Mike Linn, Jeff Miller, Pierce Norton, Scott Tinker,
19 and John Walker, with Vicki Hollub continuing to serve
20 as the Appointment Committee Chair.

21 MR. HACKETT: Hey, Marshall, this is Jim. Can
22 you hear me?

23 MR. M. NICHOLS: Yes, I can, Jim.

24 MR. HACKETT: I am so sorry to you and Larry,
25 but I was muted by the host, as it turns out, so I

1 didn't have any ability to join in, for which I
2 apologize. You did a better job than me, Marshall, but
3 I'm happy to finish if it's more official.

4 MR. M. NICHOLS: Oh, well, you go right ahead.

5 MR. HACKETT: Thank you, sir.

6 MR. L. NICHOLS: You got here just in time.
7 We were about to elect you to some new job. I hadn't
8 decided what yet.

9 MR. HACKETT: Oh, gosh, I'm ready to go again.
10 Suit me up, Captain.

11 So in addition, we recommend the following to
12 serve as the five at-large members of the Cochair's
13 Coordinating Committee: Joe Gorder, Mike Graff, Doug
14 Suttles, Jim Teague, and Frank Verrastro.

15 And that completes the report of the
16 Nominating Committee, and on its behalf and with thanks
17 to its members, I move that the above slate be elected
18 until the next organizational meeting of the Council,
19 Larry, and thanks to you and Darren for offering to
20 lead us again next year.

21 MR. L. NICHOLS: Thank you, Jim. We have a
22 motion. We'll now have the poll appear on your
23 screens, so please vote for that. I don't see any
24 questions there, so while that poll is being tabulated,
25 I have some comments to make.

1 There's one piece of unfinished business.
2 Last year at our annual meeting, which was in person,
3 right after I had been promoted to the Chair, I planned
4 to say a few words but Greg Armstrong immediately
5 adjourned the session and I did not have that
6 opportunity. It is pure speculation on my part, but I
7 suspect he knew that if I had got a hold of the
8 microphone, I would have had the opportunity, which I
9 would have taken, to thank him for his extraordinary
10 effort in service as the Council Chair, not just for a
11 two-year term but for a three-year term because he took
12 over unexpectedly when Rex Tillerson, his predecessor,
13 stepped down as NPC Chair to go into the
14 Administration.

15 So we all want to thank again -- and I thank
16 you now, Greg -- for your service to the leadership of
17 this organization, which was, as I said, for three
18 years rather than two. If we were having this meeting
19 in person, you would undoubtedly be called upon for a
20 standing ovation, and this organization would have
21 stood up and given you a standing ovation.

22 We have now -- the polls have closed, and a
23 majority has voted for that slate. So we will carry on
24 next year, which should be a challenging but
25 interesting year. Ladies and gentlemen, let me --

1 before we adjourn, if there are any other members who
2 have any questions quickly raise this hand.

3 Seeing none, I will thank all of you for your
4 past help for this organization. Next year, we're
5 going to need it again, because we're going to have a
6 challenging situation, but we're well positioned, both
7 in terms of the topics we developed, as well as our
8 finances, to charge into next year, 2021, with some
9 enthusiasm.

10 So with that comment, I wish everyone a happy
11 holiday. We're adjourned. Thank you.

12 (Whereupon, at 3:35 p.m., the meeting was
13 adjourned.)

14
15
16
17
18
19
20
21
22
23
24
25

1 CERTIFICATE OF REPORTER

2

3

4 I, Karen Willoughby, do hereby certify that
5 the foregoing proceedings were recorded by me and
6 reduced to typewriting under the supervision of For The
7 Record, Inc.; that I am neither counsel for, related
8 to, nor employed by any of the parties to the action in
9 which these proceedings were transcribed; and further,
10 that I am not a relative or employee of any attorney or
11 counsel employed by the parties hereto, nor financially
12 or otherwise interested in the outcome of the action.

13

14

15

16

17



18

KAREN WILLOUGHBY, CER

19

20

21

22

23

24

25