

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NATIONAL PETROLEUM COUNCIL MEETING

WEDNESDAY, DECEMBER 14, 2022
9:00 A.M.

Reported by: George L. Quade, III, CERT

	I N D E X	
		PAGE :
1		
2		
3	Call to Order and Introductory Remarks	3
4		
5	Remarks by The Honorable Jennifer Granholm,	
6	Secretary of Energy	5
7		
8	Consideration of the Proposed Final Reports of	
9	the NPC Committee on Short-Term Actions	
10	and Transition Strategies	16
11		
12	Progress Reports from NPC Hydrogen Energy and GHG	
13	Emissions Committees	66
14		
15	Remarks by the Honorable Bradford J. Crabtree,	
16	Assistant Secretary for Fossil Energy and	
17	Carbon Management, U.S. Department of	
18	Energy	90
19		
20	Administrative Matters	105
21		
22	Discussion of Any Other Business Properly Brought	
23	Before the National Petroleum Council	112
24		
25	Adjournment	113

1 P R O C E E D I N G S

2 - - - - -

3 (Meeting called to order, 9:01 a.m.)

4 MR. WOODS: Good morning, ladies and
5 gentlemen. Welcome -- welcome to the 132nd meeting of
6 the National Petroleum Council. I will now call the
7 meeting to order.

8 Well, again, we welcome all of you, the
9 members of the Council, honored guests, and members of
10 the press and public. We have what I think today will
11 be a particularly productive and informative meeting.
12 We have a pretty full agenda, which includes the honor
13 of having Secretary Granholm joining us.

14 First, though, let me just start with the
15 customary safety announcements. There are no scheduled
16 fire alarms today. So if the alarm sounds, we will
17 evacuate through the back of the room, the back doors
18 there, and up the stairs through the lobby and out to
19 the street.

20 Now, if there are no objections, I will
21 dispense with the calling of the roll for the members
22 of the Council. The check-in at the Buchanan room will
23 serve as our official attendance record. Any member or
24 observer for a member who has not checked in, please do
25 so before you leave so we have an accurate record of

1 today's attendance.

2 We also have what has become familiar to many
3 of us, an online audience that will be able to watch
4 the live stream of our proceedings. This audience
5 includes council members unable to attend as well as
6 many of the individuals who contributed to the study
7 efforts that we'll be discussing this morning.

8 I'd now like to introduce to you, for the
9 record, the participants joining me at our head table
10 here. On the far right, we are pleased to have three
11 vice chairs of the NPC committee on short-term actions
12 and transition strategies: Greg Garland, Vice Chair,
13 Short-term Industries and Government Actions; Willie
14 Chiang, Vice Chair, Emergency Preparedness and
15 Planning; and Dan Yergin, Vice Chair, Evolving Markets
16 and Transition to Net Zero.

17 Next is Alan Armstrong, NPC Vice Chair, and at
18 my immediate right is Marshall Nichols, Executive
19 Director of the Council, and next to Marshall, The
20 Honorable Brad Crabtree, Assistant Secretary for Fossil
21 Energy and Carbon Management, and, of course, next to
22 him is The Honorable Jennifer Granholm, Secretary of
23 Energy, whose remarks are next on our agenda.

24 Madam Secretary, very nice to have you with us
25 today. You're -- have become very well known to the

1 members of the Council and very much respected. We
2 appreciate you joining us today here. I know we've met
3 many times virtually. It's good to see you in person.
4 And, of course, it's been a pretty volatile last couple
5 years in the energy market since you've come in, so
6 very much looking forward to your comments.

7 And so with that please join me in welcoming
8 Secretary of Energy Jennifer Granholm for her remarks.

9 (Applause.)

10 SEC. GRANHOLM: Great, great, great. Good
11 morning, everybody. So nice to see so many of you last
12 night at the cocktail party, and I loved chatting with
13 a number of you.

14 Darren, thanks for the introduction and for
15 your leadership; appreciate the candid conversations
16 that we've had as well. And I thank you all for coming
17 to Washington during the holiday season. I know that
18 you've all got stuff back home, and so it's really
19 important -- the topics we're addressing are really
20 important, and we really value your presence and your
21 input.

22 I just want to make sure everybody is familiar
23 with the folks on my team who've been interacting with
24 so many of you over the course of the past almost two
25 years. Of course, we're going to hear from Brad

1 Crabtree shortly, but Ryan Peay over here has been
2 working with a few of those here especially on the
3 reports that we're going to be hearing from this
4 morning.

5 Ryan, glad you're here, as well as I think --
6 is Bridget Bartol here? Bridget? En route? Okay. I
7 just wanted to make sure that people saw the folks who
8 many of you have been talking to, and we want to
9 continue those good conversations.

10 This has been a challenging year for all of
11 us. I mean, a good year for many, but also a
12 challenging year as we know with the global upheaval in
13 energy markets.

14 And, you know, I just want to acknowledge the
15 elephant in the room, which is that part of the
16 challenge that we've experienced together is really the
17 butting heads between the oil and gas industry and the
18 administration. And I raised this -- you know, I know
19 that a lot of those people in the room, maybe those
20 online, have experienced frustration in the heat of
21 disagreements, and that at times I do believe that we
22 have talked past each other even though I think there
23 are so many shared goals.

24 So I'm raising this not to rekindle those
25 feelings but really to underscore how appreciative I am

1 that through -- these honest conversations, these
2 disagreements, differences of opinion, we have still
3 found ways to work together and for the public good,
4 which we all care about.

5 For example, we've been able to have
6 productive conversations on production and refining
7 issues. We've been able to turn to you for advice on
8 the strategic petroleum reserve, on hours of service
9 waivers, on ethanol requirements. We've coordinated on
10 matters ranging from the movement of LNG supply to
11 Europe and the potential for the impacts of the rail
12 strike. We've turned to you recently, members of this
13 organization and beyond, for thoughts on whether the
14 industry can help with providing infrastructure
15 assistance to Ukraine in light of the bombing of
16 infrastructure there. You know, we're really grateful
17 for all of that, and the insights that you've shared
18 with us through those discussions have really been
19 invaluable.

20 And I want to offer on behalf of our team at
21 the Department of Energy and my colleagues from across
22 the Biden/Harris Administration deep gratitude for
23 coming to the table over and over again on these key
24 issues and more.

25 And I'm very much looking forward to the

1 presentations that will be made today on the studies
2 that we have requested on hydrogen, on greenhouse gas
3 emissions in the natural gas supply chain, on the
4 short-term analysis and the net-zero transition
5 strategy, the last of which I know you put together on
6 a super-expedited timeline.

7 I really want to thank the NPC and the work
8 that has gone into this as you'll see the significant
9 resources that you've committed to these studies, which
10 I know are going to clear avenues for new and enhanced
11 cooperation and collaboration going forward.

12 So open communication -- and we have had
13 really good open and honest conversations. I think
14 that's the first step toward progress, right? So in
15 that spirit, I want to be open and frank in this
16 meeting as well. I want to say, first of all, that the
17 Biden/Harris administration's commitment to a managed
18 transition is as strong as ever. And I want to
19 underscore the managed point, because as you have noted
20 in your reports and in your statements, that moving too
21 fast could end up creating unintended consequences that
22 will hurt people, cause backlash. This has got to be
23 done in a smart and thoughtful way in partnership.

24 So the first part of this managed transition
25 means meeting our energy needs right now, and that

1 means today, and as we have talked about with many of
2 you, increasing investment in production to unburden
3 Americans and really around the world. We have a
4 unique position in the world as this major energy
5 supplier. And so the world is really looking at
6 America for assistance with that, with managing that
7 transition, and really, as we look at this sort of
8 geopolitical realignment of the world around energy
9 supply. The role here in this room, of the oil and gas
10 sector, is just enormous. It's enormous.

11 So it means increasing production to meet that
12 demand, and it means finding, for example, as we have
13 spoken with a number of you, on the right approach in
14 the United States for increasing distillate storage in
15 areas where we need it; for example, in the New
16 England, the Mid-Atlantic area, PADD 1, especially
17 we're about 50 percent, I think, right now below the
18 five-year average on storage.

19 And, you know, again, I understand the market
20 at least up to a few weeks ago had not incentivized,
21 because of backwardation, any storage. However, we are
22 obviously in an era where these extreme weather events
23 can come upon us at any moment, and we just want to
24 make sure -- you all want to make sure, I know, that
25 people have access to the home heating oil and the ways

1 to get through this winter without crisis.

2 So this managed transition obviously means, as
3 well, keeping refineries operating safely. And safety
4 is, I know, your first priority; it's our first
5 priority, as well. At the same time, as we supply
6 Americans with the fuels that they need, we really
7 appreciate the fact that so many of you on the refining
8 side of things have really been cranking to get your
9 product out and have really focused on keeping workers
10 safe as well.

11 We all know that we can't afford unintended
12 outages. They're going to happen, not just in the
13 refining sector, but whether it's a pipeline or an LNG
14 terminal, we're going to see these things happen. We
15 want to minimize that as much as possible, and we want
16 to be partners in responding to those things as well.

17 We understand that this transition puts a
18 sector, for example, like refining, in a challenging
19 position. We're going to continue to work with
20 refiners as you manage capacity while you think about
21 creative options to reduce emissions in the future.

22 And so that's the now. But further ahead this
23 transition hinges, I think -- I think you all agree --
24 on making sure it's done well, making sure we
25 acknowledge that fossil fuel is not going to go away

1 any time soon, but that there is a moment for
2 diversification at hand right now. Our energy security
3 -- and when I say diversification, I'm talking about
4 expanding and growing the pie on this. Our energy
5 security, our economic security, our climate security,
6 I think all compel us to meet our needs today, but then
7 expand/invest in a widening array of energy sources.

8 We need this industry to play a lead role in
9 developing, deploying, these additional resources.
10 Some of you are, of course. This is an industry that's
11 full of innovators, and I know many of you know that
12 you are rising and can rise to this challenge.

13 We crafted the President's legislative agenda
14 with innovation in mind. The infrastructure law, the
15 Inflation Reduction Act, have created enormous
16 opportunities for oil and gas companies, truly. I know
17 the industry has taken notice of the 45Q tax credit for
18 carbon sequestration, along with the hydrogen tax
19 credit. I know that many of you are keenly following
20 our updates regarding the hydrogen hubs. In fact, some
21 of you may be participating in those. Some of you may
22 be planning on participating in those.

23 It is worth emphasizing that there are also
24 generous subsidies in my favorite, enhanced geothermal,
25 and in offshore wind and all renewables. But as I

1 understand the net-zero transition study included a
2 closer look at geothermal. I was encouraged to hear
3 that because the Inflation Reduction Act offers a huge
4 opportunity to turn the findings in that study into
5 action. When you think about it, I mean, geothermal
6 projects start with a 30 percent production or
7 investment tax credit. Thirty percent, which could
8 increase by 10 percent if prevailing wages are paid on
9 the construction, and another 10 to 20 percent if
10 they're located in a disadvantaged or tribal community.

11 Up to 60 percent tax credits for geothermal?
12 That's kind of irresistible when you consider the
13 skills and the know-how that this industry already has
14 in extracting energy from the subsurface. So we want
15 to partner with you on these expansive opportunities.

16 You know, the fact is this Administration with
17 the help, of course, of our allies in Congress has
18 delivered the most comprehensive and far-reaching
19 incentive structure that you'll find anywhere on the
20 planet now for infrastructure and energy products,
21 projects from renewables, to hydrogen, to carbon
22 management, and everything in between. So it's the
23 time to invest in these projects.

24 And I'll give credit where credit is due
25 because there are many oil and gas companies that have

1 publicly signaled intent to take advantage of the
2 incentives that are now on the table. Some have
3 expressed and have made plans to invest in offshore
4 wind given the expertise in offshore platforms, et
5 cetera, into commercial scale carbon capture, into CO2
6 transport, into storage for carbon capture, obviously,
7 to direct air capture, range of clean hydrogen
8 projects, solar. We've heard these intentions, and
9 it's very exciting.

10 And, you know, likewise we're encouraged to
11 see momentum building around transparency for methane
12 detection and abatement; so excited about that. And I
13 think Brad is going to talk a little bit about that
14 perhaps.

15 We hope to see all of these efforts progress,
16 and we want to see more of them launched in the year
17 ahead. This managed transition that we're pursuing, as
18 I say, I know it's not going to eliminate the use of
19 fossil fuels by 2050, as we have been having that 2050
20 net-zero goal. That's the reason why it's called
21 "net." The IPCC, any credible climate analysts, all
22 acknowledge that fact. So we've got to do all that we
23 can to decarbonize and work together on that
24 decarbonization strategy, even as we expand the pie and
25 add renewables to this plate, that growing opportunity.

1 But it does point to lower use, I think, of
2 fossil. And the question is how the industry adapts to
3 that change as well. As we've long said, we're ready,
4 we're eager to work with you on the answer to that
5 question. And, you know, we know that that question
6 will lead to hopefully responsibly meeting our energy
7 security needs to rapidly decarbonizing, especially the
8 natural gas value chain since there's such a huge
9 uptake to protecting American families and communities,
10 and to maintaining American competitiveness.

11 This work is going to involve more honest
12 conversations. We are under no illusions about that.
13 That's a good thing. That is a good thing. And if
14 there's one thing I know that we can all agree on, it's
15 that after the year we've had those kind of honest
16 conversations will open doors to progress. So I hope
17 we find ourselves having more frank and fruitful
18 conversations. I intend for that to happen in 2023. I
19 know you do, too, with your leadership.

20 I want to thank you all once again for being
21 here. I look forward to the presentations, and I thank
22 you again so much for the work that has gone into these
23 incredibly thoughtful and well-crafted presentations
24 and projects that you all have been working on. So
25 thank you so much.

1 (Applause.)

2 MR. WOODS: Thank you, Madam Secretary, for
3 your remarks. And maybe I'll just take a moment to
4 respond or comment on behalf of the industry.

5 I think we are collectively committed to many
6 of the same objectives in terms of significantly
7 reducing emissions both from our operations and the
8 products that we sell. And so I think the discussion,
9 and as you pointed out, the debate on how best to
10 achieve that in a managed way that meets all of
11 society's needs, including reduction of emissions,
12 including affordable and reliable energies, a critical
13 objective set that we're all working to.

14 I would just compliment you and your staff for
15 allowing for the frank and candid conversation. Having
16 participated in many of those myself, I can attest that
17 they are candid conversations, and very frank ones.
18 And I think that speaks a lot to the staff and your
19 willingness to listen to the other side of the
20 discussion, and to try to find the right kind of
21 solutions that meet all the objectives. So I
22 appreciate you and your team's work with our industry.

23 All right. Well, the next order of business
24 this morning is to consider the reports from the NPC
25 committee on short-term actions and transition

1 strategies.

2 We're going to discuss the findings and the
3 recommendations and then vote to adopt their proposed
4 final reports, and then we'll have a discussion with
5 the Secretary about those findings.

6 And I'd just comment, for the NPC this was a
7 fairly atypical request relating to what has been a
8 fairly atypical period in time here in the U.S and
9 really around the world, if you think about what's been
10 happening in Europe and for the citizens of Ukraine.
11 So I think, you know, a lot of things evolving and
12 rapidly changing, and so a very opportune time to dig
13 into that and to comment on what we see happening there
14 as an industry, and then options to respond to what
15 we're seeing.

16 I'll now call on Andy Madden, who's going to
17 present an overview of the two reports under
18 consideration today. Andy chaired the Committee's
19 subcommittee responsible for bringing together the work
20 of our three segments.

21 Andy?

22 MR. MADDEN: Thank you, Darren, and good
23 morning to everyone. I know some of the faces, but
24 clearly not all. So it's an honor to be here to be
25 able to present the material from the short-term action

1 and transition work. I think, Madam Secretary, your
2 comments cover the breadth of the areas that we're
3 going to go through here this morning. Obviously, I'm
4 presenting the work done by a very large number of
5 people, many of whom are in this room today.

6 What I'm going to do is run through a high-
7 level summary. I'll start with just a recollection of
8 the request which was made to us. As Darren said, it
9 was shorter than usual in terms of the reports, in
10 terms of the time we had to do the report. The
11 questions which are on there, some of which were for 30
12 days and some for 120 days, the report itself tries to
13 cover the whole area pulled all together at the end.

14 And we also -- there were some other questions
15 that were posed in the letter around areas like
16 emergency response, which we have attempted to roll
17 into the work so that we have a comprehensive piece of
18 work.

19 We did decide in the end to issue the report
20 in two separate parts, primarily because there are some
21 different audiences. While there's a linkage between
22 what's been happening short term and the transition, I
23 felt there were some different audiences, so we
24 actually have issued it in two parts -- the first
25 around what's been happening in the petroleum markets

1 and what can we do to make supply and make things more
2 resilient, and then the second around the principles
3 and initiatives that the industry's been taking on the
4 progress to net zero.

5 This was the organization which we had, and an
6 awful lot of people from across our industry and
7 including from the DOE who helped with the work. You
8 can see that we were divided into three subgroups. The
9 chairs of all three are there, and the study directors,
10 Jerry, Chris, and Atul, who did the majority of this
11 work with a very broad group of people from across the
12 industry, are here as well this morning.

13 So, with that, let me start with the first
14 report. So this is a piece where I'm going to give a
15 bit of background around what's been happening over the
16 last few years. I think as, Madam Secretary, you said
17 earlier, it's been a very unusual and a bit of turmoil
18 in the energy markets. I'll give a bit of context with
19 that and then look to the findings and recommendations
20 at the end of it.

21 So let me just start with -- and, you know,
22 the impacts of particularly the COVID pandemic, but
23 some other events that have happened through this
24 period. What the chart here shows is oil demand
25 through that period. You can see on the left it's

1 world oil demand and on the right is U.S oil demand.

2 From, you know, back to 2010, we'd had a
3 reasonably steady growth driven by economic activity,
4 you know, about 1 percent a year, maybe slightly over,
5 in world oil demand. And then we had the COVID
6 pandemic where across the world we had the lockdowns,
7 the lack of -- the loss of mobility and dealing with
8 the pandemic, and a very significant drop in demand as
9 we came into 2020.

10 As we've seen the world getting to live with
11 COVID, we saw that demand obviously recover, and she
12 has recovered back to a similar sort of level to where
13 we were just prior to COVID, as we speak today.

14 And that's the demand side. We've also seen a
15 number of impacts through this period on the supply
16 side. So firstly the cuts by OPEC Plus, or the
17 formation of OPEC Plus, with the broader group
18 including Russia, the cuts from OPEC Plus to get back
19 into supply and demand. We then have seen those cuts
20 ending as demand picked up.

21 We then also saw the Ukraine invasion earlier
22 this year, which obviously has some impact on the
23 ability to supply the oil markets and where they get
24 supplied from and the trade flows. So those supply and
25 demand balances, as severe as certainly in the 35 years

1 I've worked for the company that I've seen, have really
2 what's caused the gyrations in the markets over the
3 period.

4 And on the right-hand side is the U.S., which
5 obviously has less growth in the early period in oil
6 demand but very much a similar sort of impact from the
7 pandemic.

8 If I then move to prices, and recognize that,
9 you know, price of energy is a, you know, very
10 important parameter for consumers, for industry, for
11 the economy. And starting at the top, I have crude
12 price on this page, I have crude, I have gasoline and
13 diesel at the bottom, and natural gas as well, back to
14 the same period, 2010.

15 So when the -- when the COVID pandemic hit
16 back in 2020, oil prices fell below \$40 a barrel. It's
17 a price signal that the world had less demand, didn't
18 need the oil. And you can see actually there was the
19 famous day when it fell to negative 37. But really
20 those levels down sub-40 is what caused the very, very
21 low prices and caused us to pull back in terms of
22 production.

23 As demand recovered, and with some under-
24 investment in production and tightness in the markets,
25 we see that the oil price, even before the invasion of

1 Ukraine, was recovered back to \$80/\$90 a barrel. And
2 then in the early part of this year, we saw it back
3 around, you know, over \$100 a barrel. Some of the
4 disruption from the Ukraine invasion, on top of the
5 already tight supply, and then OPEC Plus keeping the
6 supply and, you know, somewhat limited.

7 If we then look at over the last few months,
8 it has moderated as the supply/demand balance has been
9 a little bit back in balance, back down to around about
10 \$70/\$80 a barrel today.

11 If we then move to gasoline -- gasoline, not
12 surprisingly, which is the main raw materials, crude
13 oil, for making gasoline, has followed very much the
14 same trend. You can see as the spike when crude oil
15 prices went up and coming back and moderating in recent
16 time.

17 And then diesel on the right, so diesel and
18 heating oil very much the same base fuel, diesel on the
19 right has a similar trend through time, although what
20 you can see is in more recent times it has been more
21 volatile and slower to follow crude back down. You
22 know, diesel has been more resilient in terms of
23 demand. It's used for commercial transportation
24 through the COVID period. And also with the Russian
25 disruption, with the sanctions and looking forward to

1 February when there'll be further -- the next steps in
2 the sanctions in Europe from importing Russian diesel,
3 we do see that diesel markets have stayed tighter,
4 albeit moderated a little.

5 Then on the top with natural gas, you know,
6 natural gas prices have been through most of this
7 period pretty steady and low, much lower than most gas
8 prices in the world, thanks to the abundance of supply
9 here in the U.S. We have seen with the Ukraine war
10 particularly, and the impact on gas prices, an increase
11 in natural gas price and volatility in the gas markets
12 in the earlier part of this year from that low base.

13 So with that let me go back to crude. And I
14 want now to look at the U.S. and what's been happening
15 through this period with U.S crude supply through the
16 pandemic and the recovery. So on the top left is the
17 production of crude oil through this period, and, you
18 know, often referred to with the shale revolution with
19 the hydraulic fracturing here in the U.S, the U.S
20 production has grown very healthy and become a
21 significant supplier to the world.

22 You can see in the 2020 period the drop from
23 the pandemic with the drop in demand and the price that
24 went with it, which then caused pull-back inactivity to
25 respond to those price signals and the drop in demand.

1 And then, you know, the nature of U.S production as the
2 demand has recovered, as the price has recovered, U.S
3 production has been recovering and is getting close to
4 being back to the pre-pandemic levels as we sit here
5 today.

6 Through this whole period, that growth in
7 production has led to obviously a change in the
8 balance, with demand about flat, of imports and
9 exports. You can see on the top right following the
10 lifting of the crude export ban, the U.S has become
11 right through this period a pretty significant exporter
12 of crude to the world. And imports on the bottom have
13 declined. You can see in red the total imports. And
14 I've put on there the Canadian imports, which we import
15 a fair bit of heavy crude from Canada, and Canadian
16 imports are now about 70 percent of what the U.S
17 imports with an overall reduction and slight growth in
18 Canadian crude.

19 The U.S. does -- you know, we export and
20 import crude as much as anything else to balance the
21 capabilities and processing of our refineries. We
22 export light crude and import heavy crude, which makes
23 for the lowest cost way of producing the products which
24 are needed in the U.S.

25 At the same time, just looking at natural gas

1 -- and it's not just crude that's been growing --
2 natural gas is also along, you know, the same dynamics
3 that have increased the crude production, have
4 increased natural gas production, to the growth in
5 natural gas, still a small effect of the COVID
6 pandemic. And at the top right there, the exports of
7 natural gas become a significant exporter of natural
8 gas to the world in the form of liquefied natural gas,
9 particularly from the Gulf Coast.

10 Natural gas liquids may be a little bit less
11 talked about than natural gas and oil, but natural gas
12 liquids, which are C2 through to sort of C5, come from
13 the production of natural gas as a liquid made at the
14 same time, have also been growing very significantly.
15 These products -- butane, propane, ethane -- are
16 feedstock for making chemicals -- also used for heating
17 and cooking around the world. And the U.S. at the same
18 time has become a very significant exporter of natural
19 gas liquids.

20 The increase in export of oil and gas and
21 natural gas liquids has clearly improved the resilience
22 of our industry in terms of being able to export and
23 have the products that we're moving to export, as well
24 as obviously good for the economy.

25 If I move to refining through this period, and

1 I've put on here the capacity of refining and the
2 actual runs, I would say one thing just to begin with,
3 which is about the best you can ever do is get to
4 around the low 90s percent on this metric. There's
5 always some maintenance and calendar day versus stream
6 day that we have. So when you're in the 90 percentish,
7 you're really running flat out in refineries. And
8 having spent most of my career working in refineries,
9 if we can get to that level it's a good place to --
10 it's a good place to be, and we're running well.

11 If I start with capacity at the top of the
12 chart, I see that on capacity having been growing
13 capacity, advantage crude production has meant that the
14 U.S. has been a good place to refine crude oil, have a
15 very sophisticated refining system and petrochemical
16 manufacturing system here in the U.S. That capacity
17 had been growing. We did see through the pandemic with
18 very low prices and very low margins for refineries.
19 We did see some of the less profitable refineries
20 close, and close for good. And so you can see that
21 drop in capacity as we went through that period.

22 You can also see the drop in refinery runs,
23 which was much more significant than the drop in
24 capacity because with the lack of demand we were
25 running, you know, the economics were such that we

1 wanted to run the refineries at very low throughputs,
2 and so our industry was kind of bumping along at a low
3 level through pandemic.

4 As we've recovered from the pandemic, the runs
5 have increased. The utilization is back up to as good
6 as it -- as good as it -- as good as it's been, and,
7 you know, everyone's doing their best to keep the
8 refineries running as reliably, safely. As you said
9 earlier, that's the top priority.

10 If we then look at the products that we make
11 from running our refineries, and so gasoline and
12 diesel. Let me just explain the chart very briefly,
13 which is for both gasoline and diesel, diesel on the
14 left, I have imports and exports. The solid line is
15 the net of the two, and then below the axis is the
16 imports and above the axis is the exports.

17 So for diesel -- this is back to 2005, a
18 little longer -- diesel has gone from being about
19 balanced at the beginning of the period to being a very
20 significant net exporter of diesel fuel, most of it to
21 Latin America, some of it to Europe as well, but the
22 U.S. is a very significant exporter of diesel.

23 And, in the same time period from gasoline,
24 we've gone from being a very significant importer of
25 gasoline into the U.S to being around about balanced,

1 slightly exporting at the margin. These are annual
2 averages. There's obviously variations seasonally
3 within each of these bars. But even though we're about
4 balanced, there's still significant imports and
5 significant exports as we interact with the world
6 markets and actually look to find the lowest cost way
7 of manufacturing and supplying the product.

8 Without the ability to have imported and
9 exported during the pandemic, we can see through the
10 pandemic we continued to import and export because
11 without that ability, we would likely have seen a lot
12 more refineries have ended up shuttering and not being
13 able to continue to operate.

14 I have a chart here from the EIA which shows
15 how those trade flows are balancing in the U.S. It's a
16 little bit of a busy chart; let me just explain. The
17 different colored arrows are crude in black and then
18 gasoline, diesel, and jet fuel in the red, green, and
19 blue, and natural gas in the purple, with the geography
20 shown.

21 Let me start with crude, which is the black
22 arrows. You can see a very significant import of crude
23 from Canada, which I mentioned before at the top of the
24 page. We're also importing crude into the west coast
25 and east coast to run the refineries which are situated

1 there. And then in the Gulf Coast from a crude point
2 of view you can see that's where most of the import and
3 export -- that's the light crude being exported and
4 heavy crude being imported into the Gulf Coast. Most
5 of that's from Latin America to be able to run the
6 refinery system as optimally as we can. And those
7 balances of crude are what -- I say what allows us to
8 produce products at the lowest cost we can.

9 On the product side, you can see on the east
10 coast we're a significant importer of gasoline, diesel,
11 and jet fuel into the U.S. The refining -- and
12 obviously a lot of demand in that part of the world --
13 and the refining capacity there is, you know, a lot
14 lower than what's needed to supply that product, so
15 there is import.

16 There's also some import and export on the
17 west coast, and then there's significant export of
18 products, whether, you know, a lot of our refining
19 circuit based in the Gulf Coast area, a lot of export
20 of products from the Gulf Coast.

21 The logistics, there's also a lot of product
22 moved by pipeline and marine movements from the Gulf
23 Coast up to the Mid-Atlantic and into the Northeast.
24 With those logistics being full from the pipeline point
25 of view, with the availability of Jones Act shipping

1 being one that's got some limitations in terms of being
2 able to have that shipping, that's why we need to be
3 exporting product from the Gulf Coast and importing
4 from the world markets in the Northeast and providing
5 the lowest cost supply.

6 So the last page which I have on the industry
7 is commercial inventories. These are U.S. And you'll
8 see in the report we have inventories broken down by
9 some of the areas like the Northeast where it's much
10 tighter. So the gray area is the five years pre-COVID
11 as a kind of typical range that we see, and then the
12 red line is where we've been this year.

13 So crude's been pretty steady. This excludes
14 the SPR. And commercial stocks of crude have been
15 pretty steady right through the period.

16 Natural gas at the top right has been around
17 the bottom end, but more recently has gotten into about
18 the middle of the range. And then look at the bottom
19 of the page. U.S gasoline, including ethanol in there,
20 has been through the last few months at the low end of
21 the range where it's been in the last five years, but
22 has been climbing more recently back into the range.

23 And diesel stocks, which is where the world is
24 tightest, have been low throughout the country. The
25 world markets are very tight for diesel for the reasons

1 I mentioned before, and have been recovering somewhat
2 recently.

3 And then I think, Madam Secretary, as you
4 mentioned before, if we look at the northeast it's an
5 even tighter position in terms of diesel, although,
6 again, some recovery, which is good as we head into
7 winter.

8 So that was the backdrop for the
9 recommendations that I'll get to on the short-term
10 actions in a second, and they're in the report. I
11 wanted just to talk about the emergency response work.
12 One of the questions that was in the letter was also
13 for us to look at the emergency response because
14 there's -- it's obviously -- we need to be able to
15 manage the supply during normal times but obviously
16 emergency responses when we get the extra stress on the
17 system. So the team which Willie chaired worked
18 through four areas, and I'll just touch on them
19 briefly.

20 The first was the resilience of the energy
21 system. And if we look at, you know, the increased oil
22 and gas production and exports we do have -- not to be
23 complacent, but the system is more resilient with the
24 exports than we had in the past just from that balance
25 of exporting across the board in terms of petroleum

1 products.

2 We did look in some depth at the
3 infrastructure-permitting process. There was a study
4 done by the NPC in 2019. Many of the recommendations
5 have been being worked, and the infrastructure-
6 permitting process remains a fairly complex one. And
7 you can see from the picture I have on the left, which
8 is the U.S pipeline, this is just the pipeline network.
9 It's an incredibly complex and extensive energy
10 infrastructure across both traditional forms of energy
11 and also the newer forms of renewable energy, and the
12 permitting process is an extremely important one to be
13 able to keep the resilience to be able to respond to
14 emergencies.

15 We did also go back and look at the 2014-2016
16 NPC studies on emergency response. The 2014 study was
17 after Hurricane Sandy, which was set up -- a very
18 comprehensive piece of work. And that was, you know,
19 very much a joint look back with DOE -- Mara (phonetic)
20 from the DOE and others who looked at it.

21 And I think one of the good things, though, is
22 we really have made across industry and government
23 very, very significant progress in responding to the
24 issues from that period. And there is a need to keep
25 sustaining that and keep improving it, and there's a

1 few suggestions in the report on that. But we're very
2 pleased with the progress that has really been made.

3 We also looked at potential new threats. And
4 the world continues to evolve around us. Obviously
5 cyber security, and there have been some very
6 significant threats to, you know, incidents with energy
7 infrastructure around cyber security; also looked at
8 the threat of physical damage to infrastructure and
9 damage from extreme weather, all of which we've seen
10 evidence of of late.

11 And the team had to look through those.
12 There's been good collaboration between government and
13 the industry. There are some -- again, some
14 suggestions in the report about how we can further
15 strengthen that.

16 And then last, the group looked at the
17 government and industry response, which we feel is back
18 to the 2014-16 study, is generally working well. But
19 we do have some areas where industry and government
20 collaboration could be further improved. I think we've
21 particularly picked up on some of the work that's in
22 other sectors, which where our sector around areas like
23 looking at how to -- in times of emergency, how do we
24 get the right folk from across the industry involved to
25 be able to respond at an executive level, is an area

1 that we picked that the electricity industry has done
2 well and that we can probably make some further
3 improvements.

4 So, with that, I mean these are the key
5 findings. I've touched on most of these, so I'll go
6 very quickly. The resilience has been increased by the
7 increase in oil and gas production. The global markets
8 have rebalanced, driven by those price changes which
9 have been very severe. The tightness we're seeing
10 today in crude and products is global.

11 The U.S. is a very key part of that. We
12 recognize that the price swings in both directions have
13 had significant impacts on consumers through the
14 period. We still believe that reducing barriers to
15 resupply and product movement is what will help ensure
16 resilience more than any other steps at the lowest
17 price. And then the emergency response has been
18 enhanced, but several potential improvements have been
19 identified.

20 And so with that the recommendations, again
21 which are detailed much more fully in the report, the
22 first is continue to support crude oil and product
23 exports. It's both improved the resilience of the
24 industry, it allows us to interact with the market and
25 helps us to have the lowest cost supply to the markets

1 in the U.S.

2 We do believe there's a good case to reform
3 certification and permitting of energy infrastructure
4 and logistics. And when I cover the energy transition
5 piece, that's both for traditional energy but also for
6 renewable energy and new forms of energy as well.

7 The Jones Act -- we recognized the Jones Act
8 is an important piece of transportation policy in the
9 U.S. It does add some constraint recognizing the
10 unlikelihood of us not having the Jones Act in place.
11 I think there are some opportunities to facilitate and
12 expand the waivers and the process which we use.

13 I think already the intent, which is to
14 postpone rebuilding the strategic petroleum reserve
15 while products are tight -- while supply is tight.
16 There are opportunities to relax fuel specifications
17 and labeling during times of supply disruptions.
18 Clearly relaxing fuel specifications has an
19 environmental impact as well. So the balance of the
20 environmental versus the supply side is an important
21 consideration.

22 The one part of the world where there is
23 under-utilization of refining today is in China. Now,
24 China has moved recently to increase their utilization
25 of that capacity, which is one of the reasons that we

1 have seen some moderation in the product markets. That
2 does remain an area where there are opportunities to
3 short-term to increase supply.

4 And then lastly the continued progress on
5 strengthening the ability of the U.S. to respond to
6 supply disruptions. And I've mentioned the sub-points
7 there as I went through earlier.

8 So that was a summary of the short-term and
9 emergency response piece. I think, you know, we did
10 very much appreciate having the opportunity to include
11 the energy transition. Many of it -- you know, with
12 with what we've seen through the last three years and
13 what did we learn from that in terms of making the
14 energy transition as manageable and managed as you
15 mentioned before, this was an opportunity to step back
16 with a separate set of people and look at how we do
17 that.

18 So, with that, let me move to a few slides on
19 that piece of it. So the principles and the industry
20 initiatives and technologies for progressing to net
21 zero now looking a lot further forward. And firstly
22 this is CO2 emissions. U.S CO2 emissions over the last
23 -- well, back from 1990 over the last 30 years, and
24 they have reduced while the economies continued to
25 grow. You see the impact of COVID at the very end.

1 This goes up to 2020. And those emissions actually
2 will have come back up since COVID as recovery and
3 demand.

4 The most critical aspect of this page -- and I
5 think you mentioned it earlier -- is the energy
6 transition. It is a CO2 emissions issue that we are
7 trying to solve -- and solve with some urgency. And I
8 think everybody in this room recognizes the urgency
9 with which we need to to move and to help solve that.

10 It is not a choice of fuel. It's the CO2
11 emissions that will change the choice of fuel, I think
12 as you rightly said earlier. But the primary driver is
13 CO2. And the more that we can -- one of the findings
14 is the more that the objective function of what we do
15 is indeed CO2 and greenhouse gas emissions -- the
16 better place that we'll likely be.

17 The energy mix is a piece of it, but not the
18 sole piece. You see the world energy supply, coal,
19 nuclear, oil, hydro, renewables in green and gas at the
20 bottom, have been growing through that period. The
21 U.S., that drop in GHG we had on the previous page, a
22 very large piece of it is the switch from coal to gas.
23 There's also the growth of renewables in this period.
24 But, as I say, this is -- energy source is just one.
25 There will be cases where switching energy source will

1 be the right way to reduce CO2, and there'll be cases
2 where it is to manage the emissions from existing --
3 existing fossil fuels.

4 We do recognize this is a very long chart,
5 back to 1750. It's in the report, which just to show
6 energy transitions, the gray line is the total energy
7 demand in the world, and then the shaded areas are the
8 transition from biomass through to coal, through to oil
9 and gas, and nuclear at the very top in the sliver, and
10 renewable solar and wind are in here, too.

11 And over time we've seen a couple of things
12 from this, which is historically the transitions have
13 taken time. We recognize that there is, you know,
14 urgency in terms of managing the CO2 and the climate
15 impacts. But then the energy system is a lot bigger
16 today than it was through many of these transitions.

17 And the last piece I'd say on it, as we've
18 gone through previous transitions, the previous
19 sources of energy have not gone away; they've been
20 supplemented. They may have changed in terms of size,
21 they shrunk, but they haven't gone away, which, you
22 know, when we look at oil and gas will be an important
23 piece of this transition and how do we find our way
24 through it both expeditiously and urgently, but also
25 which allows us to manage the transition needs to

1 recognize the size.

2 I don't do justice to the work on the next
3 page, which is the different technologies. The
4 team which Dan chaired and Atul led have looked
5 extensively at many of the technologies which leverage
6 the competencies of the oil and gas companies. And
7 indeed many of the companies in our industry -- and
8 academic institutions -- are already involved in many
9 of these -- different companies involved in different
10 ones. But they really do leverage many of the
11 competencies which our industry has.

12 You can see that everything from carbon
13 capture and sequestration, improving the energy
14 efficiency of what we do, reducing demand, direct air
15 capture, geothermal, which you talked about earlier,
16 renewable fuels, methane abatement, and hydrogen. And
17 there are more which are beyond the scope of this page.
18 But these were the large ones which we wanted to go
19 through.

20 And in each case we have the status of it and
21 some recommendations on how best to progress these.
22 And, as I say, there are many people in this room who
23 are spending a lot of their time working on doing just
24 that.

25 The group then looked at, well, what are the

1 principles to enable a successful, timely transition.
2 And I just wanted to run through these and then talk
3 about the recommendations to finish.

4 So the first one is the transition should be
5 focused on greenhouse gas reduction and the energy
6 source agnostic. It will cause some of the energy
7 sources to change, but the focus should be on
8 greenhouse gas reduction.

9 Increased technology collaboration will be
10 required in order to accelerate transition. Very lucky
11 in this country with such a strong industry, such a
12 strong academic environment, and of course the
13 government's involvement to be able to do that. It
14 will involve very significant investments to get there,
15 and effective policy support is required to be able to
16 get through the kind of transition which we aspire to,
17 and to do so in a cost-effective manner.

18 Policies that inadvertently cause shortages by
19 phasing out one energy source too early or deliberately
20 doing so should be avoided. And the oil and gas role
21 has a very essential role to play in helping reduce
22 emissions both from existing operations but also from
23 some of the technologies which I talked about on the
24 earlier page.

25 And clearly government at all levels,

1 especially with policy having to play such a key role,
2 it will be an essential partner with industry.

3 And so with that, the last page which I
4 have is the recommendations just summarized here,
5 clearly detailed more in the report. We should focus
6 the policies on reduction of CO2, and very closely
7 linked -- these are all very closely linked to those
8 principles, and avoid selecting favorite technologies
9 or industries. There are many examples around being
10 worked, such as low-carbon fuel standards, which do use
11 CO2 emissions as the objective function. And if we do
12 that, we have a much better chance of allowing
13 technology to flourish and to find the best solution
14 and lowest cost solutions.

15 Taking account of the uniqueness of the U.S
16 energy endowment means that the right answer for the
17 U.S may not be the right answer as they have in other
18 geographies in the world, and we should look at the
19 endowment which we have and how do we have the right
20 policies recognizing that, and avoid premature phase-
21 out of traditional energies, and in doing that focus on
22 incentives for renewable energy and decarbonization
23 technologies versus penalty for traditional energy
24 because we will need all sources of energy as we go
25 through this transition. And I think a focus on CO2 is

1 what will allow that to happen.

2 Consider energy security and economic
3 robustness, as well as greenhouse gas reduction.
4 Clearly the last three years have shown the importance
5 of energy security. And the country is in a good
6 position from an energy security point of view, but
7 that is clearly going to be an important factor as we
8 look for the policies. And then continue to accelerate
9 innovation and technology through government policy and
10 DOE funding. Great progress being made, but more that
11 we can do.

12 And then I mentioned permitting before in
13 the short-term work. It also came out very strongly in
14 the move to renewables. The predictability of
15 infrastructure permitting will be important for all
16 forms of energy as we go forward. So that kind of step
17 back and make that process as straightforward and clear
18 as we can will help.

19 And then last but not least, managing the
20 impact to consumers is vital for a fair and
21 well-managed transition in terms of keeping energy as
22 such an important part of everyone's daily life.

23 So that was an attempt to just run through the
24 high level of what we've covered. Clearly there's a
25 lot more in the report. And as I mentioned before,

1 there's many from across industry and government who've
2 helped us to get the report to where it was.

3 MR. WOODS: Thank you, Andy.

4 (Applause.)

5 MR. WOODS: Really nice job summarizing what
6 was a very long report into a very concise
7 presentation. I also would like to recognize all the
8 folks, you and your team members, the vice chairs, for
9 the work that they've done in this in a fairly short
10 period of time. And I think you'll see if you had a
11 chance to read the reports, it's a fairly comprehensive
12 coverage of the topic. So a lot of work's gone into
13 that, and appreciate that.

14 In a moment, I'm going to move that we adopt
15 these reports, to approve them, but before I do that I
16 just want to open it up to the membership for any
17 questions or comments that you might have for the
18 chairs or the subcommittee heads to address your
19 questions.

20 Any comments or questions from the membership?

21 MR. PEREZ: One comment. Jose Perez with
22 Hispanics in Energy. I just wanted to commend the
23 review, the staff, and the effort that went into this.
24 It's very comprehensive, and I really appreciate it.
25 We look forward to sharing this information with Latino

1 leaders across the country.

2 MR. WOODS: Thank you, Jose. Other comments
3 or questions?

4 (No response.)

5 MR. WOODS: I think that attests to how well
6 written these reports were. So without any other
7 questions or comments, I'm going to move that the NPC
8 approve these reports, subject to any final editing,
9 and make the study and related materials available to
10 the public through the NPC website.

11 Do I have a second?

12 MR. PEREZ: (Raises hand).

13 MR. WOODS: Second.

14 All in favor?

15 (Chorus of ayes.)

16 MR. WOODS: Any opposed?

17 (No response.)

18 MR. WOODS: Very well. The motion carries and
19 the reports are adopted without objection. Again, we
20 just thank the members of the committee, the
21 subcommittee, and the subgroups who helped in what I
22 think is a very important effort.

23 Madam Secretary, the council members have
24 adopted these reports in a response to your request for
25 advice and recommendations on these matters. The vice

1 chairs and I would now like to join in a conversation
2 with you and Assistant Secretary Crabtree.

3 And to start that off, I'm going to ask each
4 of the vice chairs to comment on the key takeaways for
5 their sections of the reports. And I'll start with
6 Greg Garland, who led the work on the short-term action
7 subgroup.

8 Greg?

9 MR. GARLAND: Thank you, Mr. Chairman. Well,
10 first of all, compliments to Andy. He did a very
11 thorough job in condensing that report. It's really
12 well done, and he didn't leave much for the vice
13 chairman to say. But maybe just a couple of things on
14 my mind this morning as I think about it.

15 There's no question we've been through
16 unprecedented times geopolitically, economically, also
17 in the global energy markets over the last few years.
18 A couple takeaways. One is markets work. It's not
19 always instantaneous, as fast as we'd like it, but
20 eventually the markets catch up. And we've certainly
21 seen the markets are rebalancing today.

22 Secondly, the United States is the world's
23 largest global energy producer, and we have a very
24 significant role to play. We export crude, we export
25 natural gas, natural gas liquids, refined products.

1 And that helps the stability and the resilience of a
2 global energy business, as it's good for our economy
3 and the balance of trade.

4 And as I think through the recommendations,
5 we've given you some tools of short-term actions that
6 you can use at your disposal, like waivers, but I think
7 more importantly, longer term, I think we need to
8 encourage investment in our domestic energy business.
9 And we need to encourage financial investments on all
10 types of energy, all the above and all the below. And
11 I think there's also an opportunity for all of us to be
12 champions of serious, thoughtful, permitting reform.
13 So I'll leave it at that, Madam Secretary.

14 MR. WOODS: Thanks, Greg.

15 Willie?

16 MR. CHIANG: Well, I'll ditto the comments on
17 Andy; well done. And from our perspective, when you
18 think about emergency response you tend to just kind of
19 focus on the event. But my observation is it's much
20 broader than that. And when I think about supply
21 chains and the efficiency that you can get materials
22 from point A to point B matching supply and demand, I
23 think it's very critical that we focus on streamlining
24 that as much as we can.

25 Because there's all those price signals, and

1 to Greg's point the markets do work, and if we can do
2 things around infrastructure to match that supply to
3 demand in a shorter period of time, not only can you
4 get things there more efficiently, hopefully it's lower
5 cost, which goes right back to the consumer as well as
6 the most efficient emissions -- lowest emissions
7 possible in getting energy from point A to point B.

8 And this applies not only to traditional energy sources
9 but to any energy source that we are able to develop.

10 And I would make one more point on permitting.
11 That was where I was trying to get to, is I think the
12 permitting is so key to allow some of this
13 infrastructure to get built. And I just draw the
14 observation as we watch Germany and the re-gas plants
15 that they've built in less than a year. So it can be
16 done, and obviously there's a balance for advocacy
17 engagement while getting projects done. But it can be
18 done in the world. And I think that's a great example
19 of how the world is responding to some of these supply
20 chain disruptions. Thank you.

21 MR. WOODS: Thank you, Willie.

22 And then finally Dan Yergin, who led the work
23 on a transition to net zero.

24 Dan?

25 MR. YERGIN: Thank you very much. I have to

1 say as somebody who's used to taking a little longer to
2 write things, 120 days is a really short time to get
3 something like this done. And the team -- Atul, the
4 team, Andy, it was great to do it and the amount of
5 effort that people put in.

6 So we had two sort of related focuses. One
7 was principles, and then the other is around
8 technology, and specifically the technology of the oil
9 and gas industry to meet these objectives.

10 On the transition, as we were writing this
11 clearly aware that it's become more complicated because
12 energy security, which had kind of faded, had very much
13 come back at the table as these other studies made
14 clear.

15 Secretary Granholm, you made clear that being
16 mindful of risk, and I think you talked about avoiding
17 unintended consequences, meeting energy needs, and in
18 that spirit it did seem worthwhile that one of the key
19 points we made is that indeed be careful of policies
20 that inadvertently lead to energy shortages with the
21 impact both on energy security and that impact on
22 consumers. Clearly what we were saying is it's
23 emissions that count, and therefore being fuel
24 agnostic.

25 I guess I just need to say the word

1 permitting, because of course that permeated our study
2 as well, but it's been addressed obviously very much in
3 the other studies. And I remember Secretary Granholm
4 earlier this year, the session that we did on the
5 permitting challenges for renewables, so it's across
6 the board.

7 I think the other thing that came clear to us
8 on principles is it's not a straight line. I mean, who
9 in their scenarios had COVID, who in their scenarios
10 had a war in Ukraine, and so things will happen that --
11 things will not go straight in that way. Our focus was
12 clearly on the United States, but we were mindful the
13 U.S has a 2050 goal, but two of the biggest emitters,
14 China is 2060 and India is 2070, so different speeds in
15 different countries.

16 So just quickly the key point was to focus on
17 emissions, not fuels, being agnostic. I think that
18 point about incentives that we saw, as opposed to
19 penalties, is the way to go.

20 The other part of the study was what the
21 industry -- the oil and gas industry -- is doing in
22 terms of the range of technologies it's applying. We
23 identified seven of them -- and, yes, Madam Secretary,
24 geothermal is among those seven, and it just shows, I
25 mean, how much activity is happening. And what we saw

1 as we were working the study is the tool kit that the
2 industry brings to bear. The challenge here is not
3 just technologies but the scale, and that's what this
4 industry does. It has its engineering and science
5 capabilities scale, and the ability to execute, and
6 that's unfolding.

7 You know, what this room represents here is
8 the spirit of the NPC, which grew out of the
9 cooperation between government and industry during the
10 Second World War, and that's very much on the table
11 here. That was one of the key things that we wanted to
12 stress, is that collaboration. And the U.S has a
13 unique energy ecosystem that no other country in the
14 world has, stretching from the national laboratories to
15 the marketplace.

16 National laboratory, we saw that amazing
17 announcement yesterday about fusion, basic science, and
18 then all the way to the marketplace. And right now
19 with the IRA, it is to promote things happening in the
20 marketplace. We're aware that the Department of Energy
21 is also this country's Department of Science, and that
22 collaboration all along that chain of that ecosystem is
23 very important, and we see really working together is
24 what will meet the objectives laid out in the studies
25 and really the objectives of bringing down emissions.

1 So we've all learned a lot doing this study,
2 and 120 days is a pretty short time to get anything
3 done.

4 MR. WOODS: Thank you, Dan.

5 I will add that many in the industry mentioned
6 to me they liked having 120-day deadlines. So there's
7 a balance to be struck here.

8 Madam Secretary, I'll hand the floor to you.
9 Where would you like to begin?

10 SEC. GRANHOLM: I have a couple of questions
11 and maybe a couple of observations

12 You know, on this permitting you're totally
13 right about it. I mean, it's insane how long it takes
14 to get something, you know, in the ground, on the
15 ground, in the United States. And, you know, we know
16 that Senator Manchin's Permitting Reform Bill sought to
17 address that. I know that Senator Schumer is giving
18 that one more chance on Thursday for a vote. Hopefully
19 it flies, but if it doesn't then it opens up more
20 opportunity for collaboration in the next Congress.

21 We just have to figure -- we have to crack the
22 code on how to do things faster, especially in an
23 environment where we all need access to affordable
24 energy. And so I think that's something that is
25 worthwhile to pursue both on the renewable, any clean

1 and fossil side.

2 Second, on the notion of incentives versus
3 penalties, the Inflation Reduction Act, other than the
4 methane fee, the Inflation Reduction Act was an
5 incentive. It's carrots. It's a series of carrots. I
6 mean, the Bipartisan Infrastructure Law, too. It's all
7 about carrots.

8 So I hope we agree, right, that the methane
9 fee notwithstanding, that was really a bill about
10 carrots. And I'm excited about that. I mean, really,
11 we view the energy transition and energy investment in
12 general is that it is government enabled but private
13 sector led, and that's why this partnership, the
14 collaboration, the NPC, its birth was noted as an
15 industry-government collaboration, but really it's the
16 private sector that does all of this.

17 And so figuring out how we can best allow the
18 private sector to do its work is what's embedded.
19 That's why tax credits are a nice thing, because, you
20 know, we're not owning any of these facilities; we're
21 just enabling the private sector to do it.

22 I have a couple of questions on the report,
23 and I don't know if I should address them to Andy.
24 Where is he? Where'd you go? Over there.

25 Andy, that was such a great presentation, so

1 crisp, et cetera. I'm wondering on the cyber security
2 -- and maybe this is a broader question on the cyber
3 side. In light of, for example, in the shooting up of
4 electricity energy infrastructure, how you all are
5 viewing and how the government can be of any
6 assistance, your cyber threats to, you know, some of
7 these, you know, it's a query, there's still an
8 investigation going on, but there seems to be something
9 more nefarious than a bunch of guys riding around just
10 shooting up infrastructure because, you know, it was
11 two substations, it was obviously planned.

12 If there is more of this nefarious activity in
13 the United States, how do you view your protection of
14 your assets? And I'm curious what else you need to
15 have that happen.

16 MR. CHIANG: Maybe I'll start with that.

17 SEC. GRANHOLM: Yeah.

18 MR. CHIANG: Obviously we've put a tremendous
19 focus across the industry on all infrastructure
20 facilities. At the end of the day, it's -- it's
21 difficult to cover 100 percent of all assets across,
22 you know, our country.

23 So in my opinion, we need to continue to
24 harden our assets to make sure we protect against bad
25 actors, whether it be cyber or physical security, but I

1 think the one thing that I would say is laws to
2 prosecute people that do need to be severe. And I know
3 a lot of that is state and local, but I can tell you
4 there have been other situations where people have come
5 in, shut valves on pipelines and done damage, and the
6 repercussions have not been as severe as I believe they
7 should have been. I think that's a key thing.

8 And then I think the other thing that I would
9 make a point on is whether it be physical or cyber,
10 back to emergency response and how the government and
11 industry are working together, I think there's some
12 very established protocols in working together to be
13 able to assess, manage, mitigate, and communicate
14 between government and industry and the public as we go
15 through any of these industries.

16 So I don't think you need to have separate
17 procedures for a cyber, a physical attack, a weather.
18 The systems that we've got right now do work.

19 MR. ARMSTRONG: Secretary, I would just add on
20 the cyber security note, first of all, Deputy Turk
21 actually raised that as an issue in terms of having
22 executive involvement, much like the electric industry
23 does today.

24 SEC. GRANHOLM: Yes, yes.

25 MR. ARMSTRONG: And so he did a nice job in

1 our steering committee meeting of raising that issue
2 and wanting to elevate those steering subcommittees
3 that exist within the structure, first of all.

4 Second of all, giving credit where it's due,
5 Administrator Pekoske from the TSA has done a really
6 nice job across the pipeline industry of really
7 listening and making sure that our approach towards
8 cyber security is practical and something we can deploy
9 in a time frame that's important. So I would tell you
10 I think that's been a really great example of
11 government and industry working together, and he's been
12 a really big leader in getting his organization to
13 listen to industry about what we can do in short order.
14 So great example of things working together well.

15 SEC. GRANHOLM: Great, great. I'm excited
16 that there is furtherance of replicating what we do in
17 the electricity sector because it really is effective.
18 It is one phone call, everybody gets on the line. This
19 has happened, you know, everybody's on high alert, this
20 is what we're seeing. I mean, it's just really helpful
21 to be able to have access to CEOs who talk together
22 about what they're doing to protect and what flags are
23 out there. So super, super helpful both on cyber and
24 physical.

25 Can I go a little more granular on that

1 permitting side of things? And I'd love to hear your
2 thoughts on if you're comfortable saying provisions of
3 the Manchin bill, or even separate from the Manchin
4 bill, what you would like to see, what have been the --
5 you know, some more detail about what you think should
6 be triage, if you triage your order priority in terms
7 of permitting, what needs to happen; does there need to
8 be a shot clock; there is sort of a shot clock on some
9 already, but what else would you like to see?

10 MR. CHIANG: Well, I'll take a stab at that.
11 Probably the most challenging piece, these are more
12 themes and principles --

13 SEC. GRANHOLM: Yes.

14 MR. CHIANG: There's just got to be certainty,
15 right? So a shot clock, a period of time for review.
16 We know there's a critical need for stakeholder
17 engagement, but it feels like we need to put some
18 structure around permitting where it can't go into
19 never-never-land. Right? And so I think there needs
20 to be a process that's respected, and then there needs
21 to be a ruling on the permit, yes or no. And the more
22 certainty we can give before people make these large
23 investments to move forward, the better off I think
24 we'll all be.

25 SEC. GRANHOLM: And I'm wondering for those of

1 you who have international organizations -- if there's
2 lessons from other places that you think who do it
3 well.

4 MR. YERGIN: I think one of the things that's
5 mentioned is the ability of agencies to talk to each
6 other.

7 SEC. GRANHOLM: Yes.

8 MR. WOODS: Well, in terms of international, I
9 think one of the unique characteristics of the U.S
10 challenge is the legal system and the legal challenges,
11 and the unending legal challenges that can end up
12 taking it -- once a decision is made, then later being
13 challenged, we've seen that with many infrastructure
14 projects. I think that's fairly unique in the U.S with
15 respect to the uncertainty that that introduces, and
16 then the timeline and the recognition that there have
17 been a number of examples in the U.S that, despite
18 approvals and initiation of work, that many years down
19 the road these projects get canceled.

20 SEC. GRANHOLM: Yes.

21 MR. WOODS: And I think that creates a lot of
22 disincentive to move forward.

23 MR. ARMSTRONG: I would just add the 2019
24 infrastructure study had some very detailed
25 recommendations on permitting, particularly dealing

1 with things like the Clean Water Act, 401 Water Quality
2 certificates from the states, and the judicial
3 standards for which that comes through the courts. So
4 today the court has to find that a state agency is
5 acting in an arbitrary and capricious manner. That's a
6 very difficult standard for a court to say that a state
7 agency is acting arbitrary and capricious.

8 So the judicial standards, coupled with our
9 very complex court system, really tends to lend a lot
10 of opportunities for handles on projects and allows
11 about anybody to step in and stop a project. So I
12 think there's some great detail laid out within that.
13 But clearly if you look back to the gas pipeline
14 industry, allowing the FERC to have more authority, and
15 crisper authority over things like the 401 water
16 quality certificates, would be a really big step in the
17 right direction, and actually very consistent with the
18 original Natural Gas Act as it relates to pipeline
19 infrastructure.

20 SEC. GRANHOLM: Okay. That's helpful. Can I
21 switch over to the opportunities in the infrastructure
22 and Inflation Reduction Act? I'm curious if you can
23 speak maybe from your particular perch about what you
24 think are the most promising areas for potential
25 collaboration or an opportunity just for investment

1 from your side. I'd love to hear how you're viewing
2 it.

3 MR. WOODS: I can comment on that because
4 we're pretty active in this space, as you know. So I
5 think if you look -- I'll take it in three stages.
6 Carbon capture and storage, which the IRA looked to
7 incentivize, I think has done a very good job of what I
8 believe will open the envelope in terms of the
9 opportunity set for capturing carbon. And one of the
10 challenges in this space is the more dilute the
11 streams, the more difficult it is to economically
12 justify capturing those streams.

13 And what the IRA has done is provided
14 additional incentives to open the aperture and bring in
15 more dilute streams of CO2. And I think our sense as a
16 company is that we're seeing those opportunities
17 manifest themselves. And, in fact, as a company we're
18 pursuing some of those opportunities. I think that was
19 a good step forward.

20 I think to make the advances that ultimately
21 are going to be required in that space will need
22 additional incentives, but let's get started on what
23 we've got and try to let the technology drive the cost
24 of capture down and see where we get to. But I think a
25 good incentive there.

1 I think on hydrogen I would say a really
2 positive element of the IRA is that it focuses on
3 intensity and carbon intensity and incentivizes
4 lower carbon intensity steps. I think those were
5 manufactured -- or they were engineered in a way to try
6 to drive colors, but our view is, you know, we
7 shouldn't focus so much on the colors as much as the
8 carbon intensity.

9 I think what will be very helpful and what
10 we've yet to see is as that legislation is translated
11 into the regulation and, you know, actually implemented
12 is how are those intensity measures judged and
13 evaluated. And our view is that we should keep in line
14 with Dan's report, agnostic with respect to, you know,
15 how you achieve those intensity levels. But to the
16 extent you achieve them, then that ought to qualify for
17 the credits. And, you know, we'll look to see, but I
18 think there's an opportunity there. And, again, I
19 believe we certainly see opportunities to invest in
20 that space, as I suspect the broader industry will.

21 And then I think the third area of biofuels,
22 actually there's a need to improve on the biofuels side
23 of the equation because it's prohibited co-processing.
24 So you mentioned refineries in your remarks and the
25 fact that we're seeing a transition come. We're a

1 fairly big refinery, as I know there's some big
2 refiners in the audience here. You know, we shouldn't
3 ignore the fact that, you know, those facilities can be
4 used in the transition to process biofuels.

5 And recognizing it is a transition and one
6 that we want to manage and have a trajectory towards,
7 we ought to be open to utilizing those facilities in a
8 mixed mode so that you continue to process hydrocarbons
9 as necessary, or oil, but at the same time open that up
10 to biofeeds and allow the co-processing, which I think
11 today's legislation doesn't incentivize that or allow
12 for that. But I think that's an opportunity that we
13 could improve upon that would facilitate more
14 cost-effective, faster transition to lower emission
15 sources.

16 Any other comments from anybody?

17 MR. GARLAND: That's good. I think that that
18 does work in the United Kingdom, so you can co-process
19 in the United Kingdom. And so, I mean, what we do is
20 molecule management, and so that's what this industry
21 is really good at. And so renewables are going to have
22 a role to play, and, you know, many of us in this room
23 are prosecuting that. Certainly in transportation
24 fuels for diesel, but also sustainable aviation fuels
25 can be very, very important in the future as we work to

1 decarbonize airline travel. So that's one segment we
2 just don't want to forget.

3 SEC. GRANHOLM: Right.

4 MR. WOODS: The other thing I would add, you
5 know, there's a lot of focus on colors of hydrogen, and
6 I think Andy made the point in the report, but we
7 should not ignore the natural endowments and the
8 solution set as you move around the world will be, I
9 think, fairly tailored to the circumstances of where in
10 the world you are. And so, as an example, here in the
11 U.S, we have, you know, the advantage of cheap natural
12 gas which we can convert to hydrogen. Many places in
13 the world don't have that advantage. And so blue
14 hydrogen for them doesn't make as much sense.

15 We also have the advantage of a lot of storage
16 facilities. So we can convert natural gas to hydrogen,
17 store the CO2 that comes from that process, and achieve
18 the objectives of lower emissions at a lower cost by
19 utilizing the natural endowments that the U.S has.
20 Europe won't have the same opportunity set, so the
21 solution set in Europe may very well be different. We
22 should be open to the possibility that that solution
23 set and mix will change as you move around the world,
24 based on the circumstances and the context in which
25 you're progressing those.

1 SEC. GRANHOLM: Yes.

2 MR. WOODS: One size will not fit all.

3 SEC. GRANHOLM: 100 percent. 100 percent.

4 And, you know, some countries -- I mean, Africa is very
5 interested in green. We don't like the use of colors
6 either because I do think -- and nowhere, whether it's
7 the Bipartisan Infrastructure Law or the Inflation
8 Reduction Act, do they talk about colors. They do talk
9 about carbon intensity, so to your point on that. But,
10 yeah, I mean, some places of the world it's green
11 hydrogen to green ammonia, you know, the opportunity's
12 there.

13 You know, on that side, we have to get the
14 cost of electrolyzers down, and on the fossil side --
15 on the natural gas side, in particular, we've got to
16 figure out the upstream and downstream, you know,
17 buttoning down methane and CO2. So I think there's a
18 technology add-on that really makes that. And, you
19 know, we'll be discussing -- the department will, I
20 think, before too long here -- the initial cut from the
21 hydrogen hubs, Bipartisan Infrastructure Law, where we
22 invited concept papers to see what it looked like. And
23 then there will be a down selector at least to
24 encourage versus discourage letter that goes out. And
25 so that will happen fairly quickly, and we'll sort of

1 see what the mix looks like.

2 The law requires a certain number of inputs,
3 if you will, fuels to base the hydrogen from. So we'll
4 see how that comes out. But it's exciting because
5 every region of the nation is a little bit different,
6 in addition to the world. We have to have these
7 place-based strategies.

8 One other question because I know I've got
9 to leave at the bottom of the hour. You know, my
10 obsession, of course, as I have said with the
11 geothermal side of things, I know you manage molecules,
12 but, you know, you can manage a lot of things, too,
13 right?

14 MR. WOODS: We drill holes as well.

15 SEC. GRANHOLM: You drill holes, yeah. You
16 go beneath the surface. You know where it is. Yeah.
17 And fracking really opens up this huge opportunity for
18 enhanced geothermal. So I say this because in the
19 report on page 58 -- this is on page 58 on the
20 transition strategies report at the bottom -- you talk
21 about the Production Tax Credit, and you say although
22 the PTC -- this is the addition -- but the PTC in
23 general works well for solar, wind, and battery
24 storage.

25 Geothermal will find it difficult to meet the

1 sunset date because the statute has these specific
2 technologies identified and then sunseting, but it
3 flips over immediately to a technology neutral credit.
4 So the geothermal as well as all these other clean
5 energy credits will continue, but in a technology
6 neutral fashion. So just to let you know that the
7 incentive is still there and will be there for the next
8 10 years to be able to take advantage of that.

9 MR. YERGIN: We got it.

10 SEC. GRANHOLM: All right. So those were my
11 questions and comments.

12 MR. WOODS: Thank you, Madam Secretary.

13 Brad, any questions you had?

14 MR. CRABTREE: I actually don't have any
15 questions. I have some observations. I can either
16 offer them in my closing remarks or I can do them now.
17 What's your preference?

18 MR. WOODS: We can save them for your closing
19 remarks.

20 MR. CRABTREE: Okay.

21 MR. WOODS: I know that you've got a tight
22 time table.

23 SEC. GRANHOLM: I do. And unfortunately I
24 have to leave before Brad speaks. So you'll just have
25 to relay your observations to me separately. You know

1 where my office is.

2 MR. WOODS: Well, we appreciate your time this
3 morning, Madam Secretary, and your engagement on these
4 important topics, and your engagement with the
5 industry. And, as I said at the podium, your
6 willingness to have frank and candid and honest
7 conversation, very much appreciated for what is a very
8 complicated space but one I think that we all are
9 aligned on in terms of what we're trying to achieve.

10 And I think given the history of our industry
11 and the history of innovation in the U.S., a lot of
12 confidence that we can make good progress in meeting
13 all of society's objectives, including emissions
14 reduction. So, again, thank you for your time and your
15 active engagement.

16 SEC. GRANHOLM: Thank you, thank you all so
17 much.

18 (Applause.)

19 MR. WOODS: Okay. All right. Well, the draft
20 reports approved today will be posted on npc.org while
21 the final editing is being completed.

22 We'll move now to our next agenda item, which
23 is to hear the progress reports on the two other
24 studies requested by the Secretary. Austin Knight
25 chairs the NPC coordinating subcommittee on hydrogen

1 energy, and he will provide an update of their
2 progress.

3 Austin?

4 MR. KNIGHT: Good morning, and thank you, Mr.
5 Chairman and Madam Secretary. So it's exciting to be
6 here. It's a dynamic and exciting time in energy,
7 obviously. My name is Austin Knight. I'm the vice
8 president of hydrogen at Chevron, and I am the
9 coordinating subcommittee chair for the study, which is
10 called deployment of low-carbon intensity hydrogen
11 energy at scale.

12 This is a progress report today. It's
13 intended to describe the request, how we're organizing
14 for the study, and what to expect. I will not be
15 sharing any preliminary findings or analysis today.

16 But first for some context, NPC member Daniel
17 Yergin speaks to the energy transition in one of his
18 recent books, The New Map. He mentions the words
19 "energy transition" are the two most used words in
20 talking about the future of energy, and he adds there
21 is certainly no consensus as to the speed of the
22 transition nor as to what will the transition look like
23 decades from now, nor as to the cost, nor as to how it
24 is all to be achieved. He goes on to remind us that
25 these transitions in energy are not new, as we saw in

1 the last report.

2 One thing is certain, is that all serious
3 views of the future of energy, especially when
4 considering lowering carbon emissions, include a role
5 for hydrogen as an important vector for achieving
6 affordable, reliable, and ever-cleaner energy in a
7 growing world.

8 And so it's in that framework that we talk
9 about hydrogen? Now, what is hydrogen all about and
10 how is it linked to the reduction of CO2 emissions:
11 First, hydrogen is potentially a low-carbon intensity
12 energy source for hard to abate industries, industrial
13 processes, transportation, power, and heating. This is
14 especially true in sectors that are not easily
15 electrified. Technologies already exist today to
16 produce and distribute this hydrogen, although at
17 varying levels of technical and commercial readiness.

18 The U.S has abundant natural resources for the
19 production of hydrogen both in natural gas and also
20 wind and solar. And there are multiple production
21 pathways then to produce this low-carbon intensity
22 hydrogen at scale.

23 And finally recent policy and legislation,
24 such as the Inflation Reduction Act and the Bipartisan
25 Infrastructure Law, provide incentives for the scale up

1 of this hydrogen. It's quite appropriate given the
2 topic of the last study and the discussion we just had.

3 So it's within this context that Secretary
4 Granholm has requested the NPC to study the deployment
5 of low-carbon intensity hydrogen, and the request is
6 timely. We certainly appreciate it, and we believe
7 it's extremely important. She has posed the seven
8 questions shown here in her request. Now, I won't go
9 word by word through these, but I will hit some
10 important elements included in each.

11 First, the request is for recommendations for
12 policy, regulatory, and other actions that we recommend
13 to be implemented. Next, to evaluate the key drivers
14 and various hydrogen forecasts, and to help in the
15 evaluation of understanding the drivers behind those
16 forecasts and make recommendations around that.

17 Third, to comment on infrastructure
18 requirements to integrate all of these solutions.

19 Fourth, to look at the role of hydrogen
20 transportation alternatives for moving hydrogen, such
21 as ammonia or other hydrogen carriers.

22 Fifth, of course, make sure we address health,
23 safety, and environmental considerations to facilitate
24 the acceptance of hydrogen in the energy system.

25 Sixth, dive deeply into the environmental and

1 economic impacts of hydrogen compared to other
2 alternatives, and in particular consider pollution,
3 environmental justice, job creation, and other factors
4 resulting from that.

5 And then finally research and comment on
6 existing R&D gaps and describe pathways to address
7 what's needed in research.

8 And so to answer these questions we've
9 organized under this structure, you will see that we
10 formed a study committee of approximately 60 NPC
11 members. The study is chaired by Mike Wirth, the
12 chairman and CEO of Chevron. It is co-chaired by
13 Deputy Secretary David Turk. A portion of those
14 members from the study committee sit on the steering
15 committee, and then I lead the coordinating
16 subcommittee, the CSC, along with my government
17 co-chair, Dr. Jennifer Wilcox, also supported by Dr.
18 Sunita Satyapal.

19 We have about 30 participants that sit on the
20 CSC, and that group drives the direction of the study,
21 has developed the work plan, and has organized into
22 five task groups with leads from the CSC that have
23 invited in additional participation to support the
24 development of chapters beneath that. And those seven
25 chapters and that participation is what we will talk

1 about next.

2 So we've structured the study to be deep and
3 to be wide. We want to cover the full hydrogen value
4 chain, economic modeling, provide policy analysis and
5 recommendations, and of course make sure that we
6 appropriately address societal considerations and
7 impacts. And it's important to note that throughout
8 the chapters, safety, technology, and environmental
9 impacts are themes that run throughout all of these
10 chapters. And so that will be well integrated in as we
11 proceed through.

12 I'll spend a bit of time describing each
13 chapter. Chapter 1 will cover generally the role of
14 low-carbon intensity hydrogen in the U.S, providing an
15 outlook now and as that economy scales.

16 Chapter 2 will look at the demand side, where
17 could possibly hydrogen play a role in the energy
18 systems, how will it be used, and what are the
19 alternatives and drivers for using hydrogen.

20 The third chapter will look at the supply
21 pathways to produce that low-carbon intensity hydrogen.
22 There are many different pathways. There is varying
23 carbon intensities associated with those pathways, and
24 we want to evaluate all of that and be very clear on
25 carbon intensity and those boundary conditions.

1 Chapter 4 covers infrastructure to tie all of
2 this together and connect those ecosystems.

3 Chapter 5 will look at integrated economics, a
4 deep and rigorous techno-economic modeling of these
5 value chains to really unlock and help share the
6 potential and the impact that hydrogen can have and
7 where it best fits across the value chain.

8 The 6th chapter will look at and make
9 recommendations on policy. We'll review the legal and
10 regulatory landscape for scaling hydrogen in the U.S.

11 And then 7th is safety and what we call SCI,
12 societal considerations and impacts. I will talk more
13 about this in a moment, but, again, safety and societal
14 impacts, these are themes that run throughout. It's
15 not Chapter 7 as an afterthought. These themes will go
16 through the rest of the chapters on supply and demand
17 and infrastructure, but we did find them important
18 enough to call out these topics in a specific chapter
19 that would cover a broad range of considerations,
20 including environmental justice and equity.

21 So that's how we're organized in the chapter.
22 And we found it extremely important to bring a
23 cross-section of views, diverse views and voices, to
24 the topic to address it holistically. And so you'll
25 see here that we have a study team, a wide range of

1 more than 170 participants across 50 different
2 organizations, participating already today in the
3 development and formation of the content within those
4 chapters.

5 This is not just an oil and gas study. You
6 will see participation from oil and gas, of course,
7 also industrial gases, the power sector, EPCs,
8 manufacturers, equipment OEMs, infrastructure
9 companies, management consulting, we have non-profits
10 and NGOs and universities participating with us. It is
11 a diverse group, and we believe that is extremely
12 important in addressing the topic holistically,
13 recognizing and addressing skepticism, looking for gaps
14 that may exist in order to comment on real world
15 deployment with impact.

16 And we are progressing very well at this
17 stage. Here you'll see a bit about our progress
18 Hydrogen's role in the future of energy is extremely
19 important. We want our output to be relevant. We want
20 it to be timely, and we want it to have lasting impact.
21 We recognize that within that framework governments and
22 policies, private sector, actors, continue to advance
23 actions in this space while we are still performing our
24 efforts. This moves in parallel and it's very dynamic.

25 And so where possible we will be looking to

1 consider information from existing work products, but
2 we intend to draw our own conclusions independently.
3 And we are finding that in many cases a lot of the
4 information that exists out there does not necessarily
5 go deep enough for our own purposes and looking at full
6 deployment of hydrogen at scale with regional impacts
7 and full well-to-gate life-cycle assessments of carbon
8 intensity. And so here we will also be working with,
9 and have started working with, the IEA, MIT, and the
10 EIA, to align on data and baseline assumptions and
11 model in detail those full impacts and tradeoffs.

12 Here it's worth noting again SCI, the societal
13 considerations and impacts, we've structured very well
14 for this. This is a topic that is very important to
15 this administration. It's also a newer topic in terms
16 of the emphasis that's coming to be placed on that
17 topic within the NPC studies. And we're advancing this
18 very intentionally to make sure that the benefits and
19 any impacts of hydrogen development on local
20 communities, and society as a whole, are fully
21 evaluated and communicated clearly through the
22 framework of environmental justice and equity.

23 The safety aspects certainly apply there. And
24 we hope also to bring some best practices around
25 community engagement that we can share with the members

1 and with DOE for addressing local stakeholder needs as
2 hydrogen is deployed at scale.

3 And so finally we are close to the halfway
4 point of our effort so far. It is an ambitious and
5 aggressive schedule. We have mentioned we want it to
6 have strong impact, but we recognize that the world is
7 not waiting on our report in order to advance these
8 topics and make decisions. So it's extremely important
9 that we do work very closely together and very quickly
10 in order to deliver something of high impact in a
11 timely manner.

12 Here you see we aim to deliver the final
13 report by about this time next year, by the end of
14 2023, and so I hope and look forward to being here
15 again with you about a year from now to go through the
16 full analysis and the recommendations and have more
17 detailed conversation around low-carbon intensity
18 hydrogen energy being deployed at scale.

19 So I thank you for your support, for your
20 company's support, your organizations, everyone that's
21 participating in this study. And I'll hand the floor
22 back to you, Mr. Chairman.

23 MR. WOODS: Thank you, Austin.

24 (Applause.)

25 MR. WOODS: As a progress report, there's no

1 action required by the Council, but we can take the
2 opportunity of Austin being here if you have any
3 questions or comments or guidance you'd like to provide
4 him. Open the floor to any comments.

5 Yes, over there?

6 MR. LIEUWEN: Yeah, hi. I'm Tim Lieuwen, I'm
7 at the Georgia Institute of Technology. I'm also chair
8 of the Electric Power Research Institute's advisory
9 council. So it's actually in that role, that hat, that
10 I wanted to frame up this comment.

11 So outstanding study. It looks like a really
12 comprehensive team. I just really want to encourage
13 you to engage EPRI, Electric Power Research Institute.
14 They have launched a fairly significant set of hydrogen
15 initiatives, particularly around engaging the end-use
16 application; some really exciting demonstrators on
17 modern low Nox gas turbine technologies.

18 You know, a lot of the -- for example, the
19 societal concerns, a lot of these societal concerns
20 today come around Nox emissions from hydrogen. And so
21 what's really exciting about these EPRI demonstrators
22 is they've -- you know, one was with NYPA, the New York
23 Power Authority, as well as with the The Southern
24 Company, was they utilized modern really ultra clean
25 gas turbine technology. So, anyway, I'd just encourage

1 you to engage because there's a significant thread
2 that's happening there as part of their LCRI program.
3 Thank you.

4 MR. WOODS: Very good. Thank you.

5 MR. KNIGHT: That's really appreciated. Thank
6 you.

7 MR. WOODS: Other comments or questions?
8 In the back?

9 MS. TAYLOR: Thank you. This is Cindy Taylor
10 with Oil States in Houston. And we're on the
11 manufacturing service and supply chain side of the
12 equation. And your question six is key to me, which is
13 how are you going to really assess the environmental
14 and economic costs and benefits not only of hydrogen?
15 I could apply this to solar and wind and compare --
16 it's a broader question, really, for the committee and
17 the Council, I think.

18 As a supply chain participant, as an example,
19 we're investing in floating offshore wind largely in
20 Scotland, but the problem with that it -- and that's
21 because the permitting process is so far advanced
22 compared to what we're doing in the United States,
23 whatever we develop will be beneficial in the U.S, but
24 I always say I have no visibility into owner economics,
25 meaning it seems like a good thing but I have no idea

1 what the cost per kilowatt hour is ultimately going to
2 be if I do a floating installation offshore Scotland or
3 anywhere else.

4 And so the question is, it sounds great. What
5 is the road map to answering those two questions on
6 both environmental and economic costs and benefits for
7 this transition broadly, and does that create a road
8 map for other investments?

9 MR. KNIGHT: Okay. Thank you for your
10 question. And as you'll see, we've organized to
11 respond to the specific seven questions, and then
12 beyond that, of course, we have many other questions we
13 aim to answer in order to get to a comprehensive study
14 that addresses all of this. And a part of that will be
15 recognition that within the U.S the resources are not
16 uniform and there will be regional advantages in
17 different parts of the U.S for different production
18 pathways, there will be different value chains.
19 They're to be considered, and so that analysis, I
20 think, will answer your questions. And it's intended
21 to bring that view.

22 MS. TAYLOR: Thank you.

23 MR. WOODS: The economic equation is a
24 fundamental element of this transition. I think one of
25 the modeling that we're doing and the work is to make

1 sure that we can answer that question so that as a
2 policymaker you have to choose. There is a cost to
3 every benefit, and that we're weighing those off
4 appropriately. And more importantly for limited
5 resources, funding being one of those, is that you're
6 choosing the lowest cost/highest emission reduction
7 steps available. And so it's a critical point to these
8 studies, as we did with the carbon capture study.
9 It'll be critical to these as well.

10 Other questions or comments for Austin?

11 (No response.)

12 MR. WOODS: Okay. Pardon? Do you see one,
13 Willie?

14 Okay. All right. Well, thank you, Austin.
15 We appreciate your leadership on this, and the team's
16 work, and look forward to the report out. Good luck.

17 MR. KNIGHT: Thanks.

18 (Applause.)

19 MR. WOODS: Next we have John Dabbar, chair of
20 the coordinating subcommittee of the NPC committee on
21 GHG emissions, and he'll report on the progress of
22 their work.

23 John?

24 MR. DABBAR: Thank you, Mr. Chairman. So
25 today I'll be providing an update on the natural gas

1 GHG study. This was commissioned by Secretary Granholm
2 and voted out by the NPC. We kicked off that study
3 late last year. We've reached a couple of useful
4 milestones that I'll discuss, but we are far from
5 having any recommendations or findings, so I won't be
6 able to provide any update on that.

7 The key message as we went into the study is
8 that natural gas can continue to provide reliable and
9 affordable energy, and the emission footprint can be
10 reduced. You know, as we looked at the content of GHG
11 emissions in the natural gas value chain, looking at
12 how that compares to kind of the overall GHG and
13 methane footprint, you know, we see, for example, that
14 although there are other sources of GHGs and methane
15 emissions, and notably the agriculture sector produces
16 as much methane as the oil and gas sector, that's
17 really the focus of this study, is the natural gas
18 value chain in the oil and gas industry.

19 And the scope we determined -- and this was
20 approved in the work plan -- is emissions from drilling
21 and completions up to delivery to the final consumer,
22 or delivery to the LNG export location. So that is the
23 value chain. We then broke that down into different
24 elements. That's described in some more detail.

25 We're going to be assessing the reduction

1 plans across the value chain, and a big part of that is
2 identifying where are there opportunities within each
3 segment of that value chain to reduce emissions.

4 We're following the standard NPC process with
5 respect to governance. We broke it down into task
6 groups, which I'll describe in a bit more detail on a
7 following slide, addressing the DOE requests, and a few
8 additional questions that arose as we reviewed them,
9 and with the milestones that we've completed and the
10 approval of the work plan and the target completion in
11 2024.

12 So this is a summary of the key points in
13 Secretary Granholm's letter. I won't repeat them. In
14 fact, you voted on them, so we'll proceed to implement
15 them. One of the key areas we did as we organized this
16 study was to map all six requests into an actual cogent
17 work plan so that we could give people an opportunity
18 to sit down and work on this. And that's what I'd like
19 to talk about in a bit more detail.

20 One of the key areas that the last two points
21 here on tradeoffs and evaluation, one of our challenges
22 is to evaluate quantitative and qualitative metrics
23 associated with GHG reductions. We would like to
24 quantify everything where possible, but there will be
25 some qualitative effects that we'll have to also take

1 into account.

2 This is where I'd really like to spend some
3 time on how we've organized. The five task groups
4 address the various questions that the Secretary asked,
5 and the additional questions that arose in our review.

6 So the first is around the baseline and
7 pathways. So when we talk about expected pathways, the
8 study scope is not to create a brand new way of
9 mitigating GHG emissions and methane, but rather to
10 look at what are the known and well-defined regulatory,
11 policy, industry actions, and voluntary ways to reduce
12 GHG, including methane emissions through the value
13 chain, that if more broadly adopted would have a more
14 effective way of reducing that. And that'll then feed
15 into the tradeoff. So that's what is known, how can
16 they be better implemented, better adopted.

17 We're also assuming all existing laws,
18 including implementation of the regulations that will
19 come out of the IRA, knowing that there's some
20 concurrent work that's going on during the study. The
21 EPA is not sitting on their hands waiting for our final
22 report, but are progressing on their regulatory front.
23 So we have an integration effort, great support from
24 our DOE team to help bring in EPA and other regulatory
25 agencies.

1 The detection and quantification -- and I
2 think Secretary Granholm mentioned that, also, the
3 detection and abatement. That's a core part of the
4 study that we're working on here. And we're looking at
5 the detection for mitigation as well as the
6 quantification for GHG inventory and methane inventory.
7 We also hope and have included in our work scope to
8 deliver DOE with an integrated recommendation on the
9 various technologies, the various platforms, and their
10 cost effectiveness at detecting GHGs and especially
11 methane, quantifying, where appropriate; providing
12 detection and mitigation actions, where appropriate.

13 The cost of those is going to be one critical
14 input into the tradeoffs analysis. We have a group
15 working on life-cycle analysis. The key there is how
16 to attribute GHG emissions over the value chain, over
17 the life of a particular segment of that overall value
18 chain. It's also a core integration with the hydrogen
19 study, where, for example, the life-cycle analysis of
20 methane delivered to hydrogen production is an input to
21 the hydrogen study and fits into their life-cycle
22 analysis.

23 We're also working effectively with the LCA
24 team on hydrogen to make sure that methodology
25 standards, definitions, segments, are all common, or at

1 least if there's a difference there's a reason why
2 they're different.

3 Our analytics and tradeoffs group, that is
4 essentially the decision analysis team that's going to
5 be looking at the cost effectiveness and the
6 quantitative and qualitative tradeoffs that we have to
7 address.

8 The three key levers that were in Secretary
9 Granholm's letter that we're able to consider on the
10 tradeoffs are what are the technology market and policy
11 options that can be used to implement all of these
12 different tradeoffs on GHG emission reduction.

13 And then finally the societal considerations
14 and impacts team will be really taking sort of two key
15 areas. The first is to provide the evaluation of
16 benefits, co-benefits, and the impacts in the value
17 chain and in different elements through the attribution
18 of GHG emissions to see how those benefits and
19 co-benefits can be equitably distributed while also
20 providing each one of the task groups with consistency
21 on how the terms of societal considerations are
22 considered within those task groups, and then pulling
23 it together also with the hydrogen study -- and thanks
24 to the Cynthia and George Mitchell Foundation for
25 agreeing to represent on both studies and providing the

1 glue between the two studies on societal impacts.

2 So we've fully staffed up the study. The
3 coordinating subcommittee with my co-chair, Ryan Peay,
4 and his deputy, Christopher Freitas. We also have
5 co-chairs named for all the task groups and active
6 participation from both DOE staff and national
7 laboratory staff supporting what we're doing.

8 We strove to have a diverse membership on the
9 coordinating subcommittee, and this describes
10 categorically roughly half come from the value chain
11 participants and roughly half from other NPC members
12 representing groups from the service and construction
13 side, financial consulting services, state and
14 regulators, academics, and also tribal interests.
15 We have now kicked this off and we've got a fully
16 formed CSC, and we're up and running.

17 Our integration with the concurrent NPC study,
18 oh, you'll notice that there's a bit of overlap and
19 handoff between the study, so most importantly from the
20 STATS study the input from the stat study -- excuse me,
21 the output from the stat study becomes input to the
22 study that we're working on, and we're going to pick up
23 the ball and run with it. That would be the metaphor,
24 is I've gotten what Atul had written and he was
25 creating a big part of my to-do list. So, thank you.

1 Also, a lot of integration with the hydrogen
2 study, as I mentioned earlier, and then, you know,
3 working with the SCI work, societal considerations,
4 that's overreaching on all the studies. A lot of life-
5 cycle analysis, integration between the hydrogen and
6 GHG studies, which I mentioned earlier.

7 I won't dwell on progress to date, but rather
8 I'd like to talk about our path forward. So in
9 addition to Atul and the team -- and a big thanks to
10 the Pioneer Natural Resources folks who had ownership
11 on the methane section, they were very strongly
12 coordinated with us as they developed the chapter
13 content so that we knew what we would be picking up and
14 running with. And that was a direct feed into a lot of
15 the detection and quantification work that we're going
16 to be doing.

17 Again, I mentioned the life-cycle analysis and
18 SCI work. We have identified study membership gaps,
19 and I will have a request to you in a moment. One of
20 our key aspects that Ryan Peay and I have agreed to is
21 that we're going to manage scope growth. It's tempting
22 to have more scope. It's tempting to take on more
23 things. We don't want to do that unless we have a
24 conscious decision to do it. We don't want to
25 sleepwalk into additional scope. We may add it, but

1 it'll be something coming back to the study committee
2 and steering committee if it's beyond what he and I can
3 agree to.

4 And then we're already starting on development
5 of communication plans and stakeholder engagement. And
6 I'll talk more about that in a moment. And then
7 finally a shout out to Austin and your team for all the
8 collaboration on the hydrogen study with us. Thanks.

9 So our timeline, we were initiated by
10 Secretary Granholm a bit later than the hydrogen study,
11 but we're working hard to catch up. So the good news
12 is we do have a pretty fully staffed coordinating
13 subcommittee. We do have a request that if there are
14 subject matter experts in the NPC in any of your
15 companies that you feel would contribute to something,
16 something that we're maybe not addressing fully or
17 where you have unique capacity to provide that input,
18 please contact me and the NPC staff and we'll get your
19 subject matter experts incorporated.

20 The second one is around our stakeholder and
21 engagement plan. This is a key area where both the NPC
22 membership and the DOE are going to collaborate on how
23 do we communicate and when with the various government
24 offices, both in the administration, at states, and on
25 Capitol Hill, and then also starting to prepare what

1 our communications are going to be and plans to get the
2 plan out there once it's finally published.

3 If we do a great study and it sits on the
4 shelf and nobody reads it, well, it doesn't really
5 contribute much. So we're already going to plan from
6 day one how do we communicate that there are findings
7 and here's what we recommend you do, and here's what
8 industry wants to do.

9 And then finally -- and this is my request for
10 you. We do need support on task group 4, which is the
11 analysis and tradeoffs group. If you have expertise in
12 decision support, decision analysis, business strategy,
13 that can help us evaluate qualitative and quantitative
14 tradeoffs in a way that you would do it in your
15 company, we would welcome in particular additional
16 members to that task group.

17 Mr. Chairman, that's the end of my report.
18 I'm happy to answer questions.

19 MR. WOODS: Thank you, John. And like
20 Austin's report, no action is required by the Council,
21 but let's take the opportunity for any questions,
22 comments, or guidance to share with John for his team.

23 Any comments?

24 Yes?

25 MR. NEWELL: Yeah. Thank you, John, for that

1 very thorough description of what the study is up to.
2 Question regarding -- Richard Newell, Resources for the
3 Future. Question regarding the baseline assessment
4 piece of this, which you alluded to but maybe you could
5 give us a little bit more color. There seems to be
6 continuing evolving evidence from various different
7 approaches for what the current state of methane
8 emissions is. And, you know, as one is confronting,
9 you know, steps that might be taken to reduce, that
10 baseline assessment piece seems like there still needs
11 to be, you know, evidence synthesis and kind of -- to
12 the degree we can, a consensus around the current
13 situation as we make progress on it.

14 Could you say a little bit about how this --
15 whether the study will be tackling that, and, if so,
16 how it will be doing that.

17 MR. DABBAR: Yeah. Yeah, that's an important
18 subject that our baseline task group is working on.
19 There's obviously published data or known data, and we
20 can all read an EPA greenhouse gas inventory and say,
21 well, this could be absolutely correct. What we're
22 really looking at is how do we take what is a known
23 inventory and how do we measure improvements towards
24 it.

25 I think it's unlikely that we will be able to

1 do sort of a calibration of these or exactly the
2 differences between a current GHG inventory and some
3 future GHG inventory. What we're really looking at is
4 through the test group 2, the quantification part of
5 this, is how do we both -- as industry but also with
6 the collaboration with EPA in a regulatory world --
7 create more accurate emissions factors through
8 detection and quantification.

9 In terms of a baseline, one of the things
10 we're not doing, Richard, is we're not going to try to
11 compare U.S natural gas with all other energy sources.
12 So, you know, Salacion (phonetic) lignite or West
13 African wind, we're not going to try to get into a
14 comparison baseline but really just more of an absolute
15 baseline; this is what we know the oil and gas sector
16 emissions are that we can then compare against.

17 MR. NEWELL: Thanks.

18 MR. WOODS: Any other comments or questions
19 for John?

20 (No response.)

21 MR. WOODS: Okay. John, thank you very much,
22 really good summary of the work.

23 (Applause.)

24 MR. WOODS: I think you can see with both of
25 these studies very timely with respect to a lot of the

1 policies being considered and as really governments all
2 around the world look at how to effectively transition
3 to a lower carbon-intensity energy system. I think,
4 you know, we keep calling for more thoughtful policy,
5 long-term policy. These studies I think are really
6 important in contributing to that thoughtful policy.
7 So appreciate the effort that you and your teams are
8 putting into this.

9 You will have seen on the slides -- the org
10 charts that showed Deputy Secretary Turk as the
11 Secretary's representative at the study committee
12 level. Brad Crabtree, the assistant secretary for
13 fossil energy and carbon management, and his staff are
14 DOE's day-to-day point of coordination for the Council
15 and the work and support the subcommittees and the task
16 groups that are executing the study plans that we've
17 been discussing here this morning.

18 Brad came to the DOE from the Great Plains
19 Institute, where he cofounded and directed the carbon
20 capture coalition, which works to advance carbon
21 management technologies. And, Brad, I think the
22 members would appreciate any perspective that you'd
23 like to share with us, please.

24 MR. CRABTREE: Great. Thank you, Darren, and
25 members of the Petroleum Council. It's an honor to be

1 here. And Deputy Secretary Turk was obviously supposed
2 to speak. Dave got called away to an important trip to
3 Europe on short notice. I'm glad to be here. I've
4 actually worked with your industry extensively for 20
5 years, and it's very important to the current job I'm
6 in as well.

7 Let me just start by thanking all of you for
8 this extraordinary commitment that's reflected in the
9 report that was presented and approved, but also the
10 forthcoming reports that were just presented. There's
11 obviously a huge commitment at the staff level in your
12 companies and organizations.

13 What I've noticed in my role is real personal
14 time from the leadership of the company, some of the
15 largest companies in the United States, in the world.
16 That hasn't gone unnoticed. Ryan and I have made that
17 point internally to leadership at the Department of
18 Energy, to the Secretary. She appreciates it; I
19 appreciate it.

20 Also, of course, the NPC staff. You know,
21 this is a tremendous undertaking. Given my policy
22 background, I've also been parts of efforts like this,
23 and it's a daunting -- especially some -- that you're
24 at the beginning of some of these reports, it can feel
25 daunting before they start to take shape.

1 The other thing I want to just take a step
2 back separate from the reports and just thank you for
3 your commitment to decarbonization. You know, in all
4 the years I've worked with the industry, I've seen sort
5 of in society how energy and climate issues have
6 evolved and how the industry has responded to that.
7 And it's worth both recognizing and emphasizing that
8 you are laying out a body of work and recommendations
9 here that accept decarbonization and net zero emissions
10 as both an opportunity and an obligation. And part of
11 what you need to do as companies, and as an industry, I
12 think that's very meaningful. And I just felt it was
13 important to note that.

14 Also, it's been an extraordinary several years
15 for your industry, from the very, very lows to now the
16 very, very highs. That's actually not all that
17 different than the history of the industry. I
18 recognize that. But, Andrew, your presentation was a
19 real tour de force and I think illustrated that. So
20 thank you for that overview.

21 And the other thing that I want to take a
22 moment to do -- and I always do this when I meet with,
23 you know, the oil and gas industry -- is to acknowledge
24 and thank you and your industry for stepping up at a
25 critical moment in the world today. The Russian

1 invasion of Ukraine, you can't overstate the impact of
2 that on the world. In my role, I've had the
3 opportunity in recent months to make two trips to
4 Europe, meet with my counterparts in countries like
5 Germany, U.K., France, the EU officials, and I just
6 have to tell you that the commitment we've made to
7 supply energy to Europe at this critical moment -- at
8 this moment of need -- it has really improved our
9 standing in the world. And your industry has been an
10 extraordinarily important part of that.

11 And, you know, personally I'm old enough to
12 have been a student in Europe at the end of the Cold
13 War in West Germany and had the opportunity to visit
14 East Germany and East Berlin, and that was a formative
15 experience for me. And I really understood what our
16 country did after World War II to defend -- during and
17 after World War II -- to defend Western Europe. We're
18 now doing that for our allies again, and so thank you
19 for your contribution to that.

20 And I'll just say on the natural gas side,
21 which is maybe where this is -- obviously oil matters,
22 but natural gas at this moment is especially critical.
23 We're seeing that, and that we have -- our production,
24 we've become the largest LNG exporter in the world,
25 roughly 12 billion cubic feet per day. I think we're

1 going to be close to 14 -- well, it depends now, but
2 we're going to be close to 14 when Freeport comes
3 online, and by 2024 that will increase again. And
4 we're projecting by 2030 we'll be at 20 billion cubic
5 feet per day of export. That's an extraordinary --
6 coming from a country which was an energy importer and
7 we were building a gasification -- regassification --
8 we're about to build regassification terminals in the
9 United States, and then shifted gears to develop LNG
10 terminals, and we now have become the largest exporter
11 of LNG in the world. It's just an extraordinary
12 transformation.

13 And I want to echo some of the comments that
14 were made in your recommendations and the emphasis that
15 some of you put on those recommendations and the
16 importance of markets and ensuring a robust role for
17 markets going forward. I echo that, and we're seeing
18 that in the transformation of the United States from an
19 energy importer to an exporter and being in this
20 enviable position in the world today.

21 And, by the way, I had prepared remarks that I
22 brought with me, but after reviewing the report last
23 night and this morning and listening to this
24 discussion, I wanted to just share some specific
25 thoughts. And so if it's a little rougher, I apologize

1 for that.

2 I also appreciate the willingness that in
3 these reports and in this discussion to look hard at
4 the transition -- as the Secretary talked about, a
5 managed transition. It's not easy. I've often
6 counseled in my discussions with others that we need to
7 approach this with a bit of humility. Transition is
8 not only -- it's not something new, and as Dan Yergin
9 has pointed out, takes a long time.

10 We also don't have a lot of experience with
11 doing it intentionally, and so we are in a situation --
12 and I've been part of the discussions with some of you
13 in the room, with the refining sector, which is a
14 really key example of managing a transition like this
15 where you have a future that's changing dramatically
16 for that sector but decades of time where the refined
17 products that are being produced by that industry will
18 be essential to society.

19 And so this report starts to provide some
20 recommendations for how to support that kind of
21 transition. But I think it's fair to say that this
22 report in this realm is really just a start. I think
23 this is something we're all going to have to work on
24 really hard together, and the refining sector is not
25 the only one. I think we're going to face a series of

1 these challenges, and we have to spend a lot more time
2 thinking about policy that addresses transitions, as
3 much time as we spend on policies to incentivize the
4 new things that we're trying to accomplish.

5 On policy, as the Secretary said and some of
6 you acknowledged, this is a really extraordinary
7 moment. If you take the infrastructure bill from last
8 year that passed, the Inflation Reduction Act that
9 passed in August, this is not hyperbole. We literally
10 have the most robust incentive framework in the world.

11 Again, in my recent trips to Europe, one of my
12 meetings was with counterparts in Germany, and we had
13 long discussions about the Inflation Reduction Act.
14 They -- as I think you know -- and they're not -- it's
15 not the only country. They are deeply concerned
16 because they face extraordinarily high domestic energy
17 prices, and now we have this very, very ambitious
18 incentive framework in the United States, and they are
19 literally concerned about de-industrialization.

20 And so when you all talk about in your
21 recommendations, in your report and your comments about
22 the enviable position we're in, we have that in terms
23 of a resource endowment now for -- I think -- for the
24 first time in terms of energy and climate policy we
25 also have that in terms of a federal policy framework.

1 So one of the things I guess I wanted to say -
2 - and it's a bit of a request -- is that in the context
3 of this report, and your communication about the
4 report, and the work going forward -- and I want to say
5 this is not in the spirit of taking political credit.
6 I think it's really important to highlight, and if I
7 did have maybe a critique I don't think the report
8 maybe spells this out enough, how important these steps
9 are, how transformative they are, what's already
10 enacted.

11 And the reason I say that is that there's
12 years of bipartisan policymaking in Congress that went
13 into the infrastructure bill, and into the Inflation
14 Reduction Act. The latter was legislation that passed
15 on a party-line vote, I grant that. But if you look at
16 the provisions that matter most to your industry, to
17 having the incentives that you need to innovate and
18 deploy technology and infrastructure, to decarbonize
19 and build new business models, the bulk of those
20 provisions involve years of work and prior bipartisan
21 legislation that was then rolled into these bills.

22 And so I think it's really critical that that
23 be recognized because the policymakers that took these
24 steps, they took a lot of -- they have and continue to
25 take a lot of criticism for this legislation.

1 And I would note that Republicans even more
2 than Democrats have been criticized. So the more that
3 you can do to highlight how valuable this is, I think
4 that's really critical.

5 So I'd just note -- just quickly on that
6 point, in thinking of the incentives and as they most
7 relate to your industry, you know, first of all it's
8 great to see the -- thank you, Austin, for the -- I'm
9 not sure where Austin -- there, sorry -- for the report
10 on the hydrogen work coming forward. I think it's
11 great timing for that. I'm very excited because I'm
12 having meetings with companies here and overseas who
13 are literally changing their decisions about
14 investments to move forward with projects because of
15 the policy that we already have.

16 And there's been some discussion about ways
17 that, as we implement this policy and some of the
18 regulations associated with it, we can make sure that
19 it delivers for all hydrogen production pathways, and
20 we very much support that.

21 On carbon management, I think for those of you
22 who know me and my background, that's been my focus
23 over the years, and, of course, the enhancements to
24 45Q. We met recently -- I didn't, but colleagues met
25 with an engineering firm that's tracking carbon

1 management projects that would in different ways either
2 benefit from or claim directly the 45Q tax credit. And
3 they're tracking over 200 projects in the United
4 States, and there's over a hundred that are publicly
5 announced.

6 Think about, we have 12 commercial scale
7 operating carbon capture projects in the United States
8 today, and there's over 20 times that -- so about 20
9 times that number at least on the drawing boards right
10 now in various stages. And there's analysis not from
11 the federal government, but from the Rhodium Group that
12 by taking the infrastructure bill, together with the
13 Inflation Reduction Act, the federal investments
14 coupled with the tax credits, that we could see by 2035
15 annual additional carbon capture and storage capacity
16 of 215 to 250 million metric tons per year; up to a
17 quarter of a gigaton. Now, there's a lot of factors
18 that go into that, but it's just the fact that there's
19 even incredible analysis suggesting that that shows how
20 far we've come.

21 So that gets me to the recent discussion that
22 I chose not to comment on following the Secretary, the
23 importance of putting steel in the ground.

24 And, Darren, you and I talked about that and,
25 you know, Darren's company and others have made these

1 policy commitments -- not policy, sorry, project
2 commitments -- and I think that's vitally important.

3 One of the concerns which I share is that a
4 lot of the climate policy debate -- and you discussed
5 this in the report and discussed it today -- that we
6 should be focused on emissions and not on the resource.
7 The challenge is social and political in that regard
8 more than it is policy.

9 And if we want to get back to a place where
10 we're focusing on the outcome in the emissions and not
11 the resource, we need to overcome the skepticism that
12 is rife in our country around all types of projects,
13 be that -- not just in your industry, and real results
14 on the ground, real facts on the ground, about
15 emissions reductions, jobs created, all kinds of other
16 benefits -- it's the most powerful argument we will
17 have for getting to that kind of a policy framework,
18 which is consistently about emissions and incentives
19 and so forth.

20 So in fairness that leads us to permitting.
21 And so I welcome the recommendations on permitting. I
22 appreciate the fact that you've addressed them. You
23 can tell the Secretary cares a lot about that. And I
24 think it's fair to acknowledge that it's -- permitting
25 is a real challenge substantively and politically.

1 We'll see what comes out of this lame duck
2 Congress and whether we take steps legislatively before
3 the close of the Congress, but I think that's an area
4 where we should continue to work together to try to
5 make progress, because back to my points about the
6 infrastructure bill and the Inflation Reduction Act,
7 the level of deployment that the investments and
8 incentives in this legislation is going to drive will
9 be unprecedented, perhaps anywhere in the world,
10 certainly in the United States. And our greatest
11 challenge will be to actually be able to build these
12 projects across the country.

13 And it's not just carbon capture at a refinery
14 or developing a regional geologic storage site. It's
15 transmission lines, it's wind farms. It's going to be
16 across the board. I personally lived through battles
17 over wind farms as a township officer on my ranch in
18 North Dakota, and the opponents of the wind projects
19 were conservative ranchers who stood to benefit
20 financially from the wind farms and still were opposed
21 to them. So, I mean, we face a real deep-seated
22 challenge here that goes beyond just this industry.

23 And so that leads me to my other observation,
24 which is building community engagement and support.

25 Willie, I think you made an observation about

1 that, and I want to thank both Austin and J.D. and the
2 teams involved in the forthcoming reports because you
3 are integrating environmental justice and community
4 engagement throughout that work, and that starts to get
5 us towards the public acceptance that will both allow
6 for project success but also create the political space
7 for a more proactive approach, and more accelerated
8 approach to permitting.

9 And it isn't just environmental justice.
10 We're seeing around the country growing opposition from
11 local government officials, from farmers, from
12 ranchers, across the political spectrum. So it's
13 definitely the work you're going to do in integrating
14 the environmental justice and community environmental
15 perspectives into this work is vital, but it's really
16 kind of stakeholders across the spectrum.

17 And then I'm going to end on natural gas. I
18 was very excited to see the one slide, J.D., about the
19 focus in your report on gas, because in our office at
20 fossil energy and carbon management we are very, very
21 focused on developing a new approach to natural gas.
22 As a country, we do not have legislation or a
23 regulatory structure in place that is what you would
24 expect from a natural gas exporter, the Natural Gas
25 Act, as it comes from the 1930s, and until about 10

1 years ago weren't considering exporting natural gas.
2 And so we are now the world's largest natural gas
3 producer and exporter.

4 We also have very, very ambitious climate
5 commitments, net zero by 2050, and over a 50 percent
6 reduction by 2030. So we have a challenge, and I don't
7 think it's an inherent conflict. I think it's a
8 challenge of reconciling our role of being a natural
9 gas supplier to the world and all the benefits, energy,
10 security, and political freedom and everything else
11 that that entails with our commitment to climate
12 stewardship.

13 And so across that value chain, from methane
14 mitigation, to carbon capture in natural gas, power
15 generation, industrial combustion of natural gas,
16 liquefaction at the terminals, all these areas where we
17 can, either through electrification or carbon capture,
18 manage emissions, we're working on that. We have the
19 incentives now and the investments in federal policy to
20 support that.

21 And then I'm especially excited to see the
22 emphasis on life-cycle analysis and basically the whole
23 realm of measurement, monitoring and reporting and
24 verification. We are actively trying to -- we're not
25 trying -- we're actively working with industry and

1 other governments on how we develop a common global
2 framework that allows the participation of the private
3 sector in certification of the greenhouse gas
4 intensity, of natural gas production, and exports in
5 the form of LNG, while providing that really credible
6 third-party validation and verification of those
7 systems. And we would like that not just to be a
8 system that has credibility in the United States but
9 that governments, investors, companies, all over the
10 world can use that information, and that it's credible.

11 So that's an area where I think the work
12 you're doing, it's absolutely in parallel with the
13 efforts we're undertaking right now at DOE and in the
14 federal government, and in partnership with others, to
15 develop this broader strategy and framework for natural
16 gas across the supply chain.

17 So I think if we can accomplish those things,
18 we have great potential to take advantage of, I think,
19 two themes we've heard today, this extraordinary energy
20 endowment that we have in the United States, and our
21 history of technology innovation and commercialization,
22 and our contributions to global energy security, and to
23 reconcile that with climate stewardship.

24 And so I want to just thank all of you for
25 this great effort and would encourage you to obviously

1 engage with Ryan and the team, but if there are ways
2 that in my role I can be supportive of these efforts
3 going forward, I look forward to doing that. Thank you
4 very much.

5 (Applause.)

6 MR. WOODS: Thank you, Brad. And I would tell
7 you we very much appreciate your pragmatic and reasoned
8 approach to addressing the challenges that we've been
9 discussing today, and I know we'll continue to discuss.

10 Moving on with the agenda, before addressing
11 the administrative matters on this morning's agenda I
12 have two announcements.

13 First, our webcast will now conclude. For
14 those in the online audience, we thank you for watching
15 our proceedings this morning and encourage you to
16 download and read the draft report approved today,
17 which will be posted to npc.org following the
18 adjournment of the meeting.

19 Second, for the members of the media here
20 today, 10 minutes following the meeting's adjournment,
21 the short-term actions and transition strategies study
22 leaders and I will be available here at the head table
23 to respond to your questions regarding the reports and
24 today's meeting.

25 Now, I'll turn to the administrative matters.

1 Our first administrative item this morning is the
2 report of the finance committee. Byron Dunn, chair of
3 the finance committee, will present the committee's
4 report.

5 Byron?

6 MR. DUNN: Thank you, Mr. Chairman. In
7 addition to reviewing periodically the performance of
8 every year, the finance committee met twice this year
9 to discuss the Council's finances. We met in August
10 virtually and then we met again yesterday face to face.

11 Our August meeting included the review of the
12 calendar year 2021, the audit report, and the IRS form
13 990 review with Johnson Lambert and company, which is
14 outside counsel auditors. The auditors provided a
15 clean opinion letter, which is great because it shows
16 that our financial controls are sound and in control.

17 Yesterday afternoon the finance committee
18 covered a variety of topics, including 2022's year to
19 date projected year-end expenses against the
20 contributions that we expected. The Council
21 anticipates that 2022 spending will be just under what
22 we budgeted, which was \$5.3 million, which includes the
23 initial expenses of the hydrogen and the greenhouse gas
24 studies, along with the approved short-term actions and
25 transitions study reports. So we got all that in there

1 in last year's budget.

2 Contributions and collections currently
3 anticipate that we'll end up at around 92 percent if
4 nobody in here writes a check. If you owe us a check,
5 we'd appreciate you doing that so we could finish a
6 little stronger, so prompt payment is encouraged.

7 A number of new members were appointed to the
8 Council in May, and they were poster children because
9 they all responded quickly and paid quickly and
10 responded favorable to that request. So, thank you,
11 new members.

12 And yesterday we also discussed and agreed
13 upon a proposed 2023 budget, spending authority in the
14 amount of \$6,242,000 to provide what we hope -- and I
15 underline that word "hope" -- will be adequate
16 resources to substantially complete the hydrogen and
17 the greenhouse gas studies.

18 A lot of discussion on that, and we chipped
19 away at it to keep it at that number. But,
20 nevertheless, that's a 17 percent increase over the
21 Council's '22 budget. I think you've said that the
22 National Petroleum Council's efforts are daunting. I'd
23 also say they're expensive. They're both.

24 But as part of the finance committee's
25 recommendation, the existing membership will ask each

1 of you for an average of 9 percent increase in the
2 contributions request over that which we provided last
3 year, and it should bring us to a net of \$5.4 million
4 in new funds of operations to finance those studies.
5 But 9 percent increase against a 17 percent total
6 increase, you should know that the remaining balance
7 will come from the Council's contingency fund.
8 We have one, thank goodness, and we're going to dip
9 into it to kind of cover this and smooth over the
10 significant increase in the studies cost.

11 The committee anticipates the complexity of
12 the study efforts discussed today and the need of the
13 Council to provide requisite support of the group. We
14 fully recognize that the real cost of the NPC studies
15 is the people that contribute their time to this
16 process. And because of that, there's a lot of
17 expenses associated with the generous company support
18 of that effort, the Council will continue to be prudent
19 in managing the cost, and we will communicate that to
20 each of those work groups.

21 And one last thing I want to discuss.
22 Yesterday's universal agreement over the value of the
23 NPC's unique ability to provide credible and actionable
24 advice to the Secretary, and we think that's pretty
25 special.

1 So subject to your approval, the budget and
2 the contributions, the recommendations, the Council
3 will send the 2023 invoices, or contribution requests,
4 to those who have not made the -- they'll send them out
5 early next year. And for those of you who have not yet
6 ponied up for 2022, you will get a friendly reminder
7 from our chairman.

8 The Council's mission is to encourage and
9 inform governance, and it's never been more critical
10 than it is today in this transition period.

11 So, with all that said, Mr. Chairman, this
12 completes my report, and I do move that this report be
13 adopted by the Council.

14 MR. WOODS: Thank you, Byron. I have a motion
15 to adopt the report of the finance committee. Do I
16 have a second?

17 MR. PEREZ: (Raises hand.)

18 MR. WOODS: I have a second. Any discussion
19 we need to have before voting?

20 (No response.)

21 MR. WOODS: I would just emphasize the point
22 that Byron made in terms of if you look at the period
23 that we're in today, the importance of the policy being
24 discussed here in the U.S. and all around the world
25 providing these studies and doing the hard work behind

1 those studies to really make sure that we've got
2 thoughtful recommendations and a good basis for these
3 policies to be established, I can't think of anything
4 more important for our industry. And so while we
5 debated these additional costs that Byron laid out, we
6 felt like now's the time to spend that in order to get
7 this understanding broadly distributed so we've got a
8 good foundation for the policy going forward.

9 Okay? No other comments or questions? All
10 those in favor of adopting the finance committee
11 report?

12 (Chorus of ayes.)

13 MR. WOODS: Any opposed?

14 (No response.)

15 MR. WOODS: Very well. So done. The report
16 is adopted. And as Byron noted, the contribution
17 requests will go out shortly after the first of the
18 year for your prompt action, hopefully. And I will be
19 sending out a friendly letter for those who are
20 delinquent in this year.

21 Okay. Moving onto the next administrative
22 matter is the report of the nominating committee. John
23 Walker chairs the nominating committee and will now
24 present the committee's report.

25 MR. WALKER: Well, as the last speaker, I'll

1 be the fastest. At least that's the objective. The
2 nominating committee has agreed on its recommendations
3 for NPC officers, chairs, and members of the agenda and
4 appointment committees to the Council, as well as five
5 at-large members of the NPC co-chair's coordinating
6 committee.

7 Accordingly, on behalf of the committee, I'm
8 pleased to offer the following nominations: NPC Chair,
9 Darren Woods; NPC vice chair, Alan Armstrong.

10 For the agenda committee, we recommend the
11 following as members: Deb Caplan, Bob Catell, Joe
12 Gorder, Ray Hunt, Jeff Miller, Gretchen Watkins, Bill
13 Way, Bill White, Mike Wirth, and Dan Yergin. And Ryan
14 Lance will serve as chair of that committee.

15 For the appointment committee, we recommend
16 the following as members: Kim Greene, David
17 Grzebinski, John Hess, Dave Lawler, Mike Linn, Pierce
18 Norton, Lorenzo Simonelli, Scott Tinker, and myself,
19 with Vicki Hollub as the chair.

20 In addition, we recommend the following at-
21 large members of the co-chair's coordinating committee:
22 Kevin Book, Rusty Braziel, Willie Chiang, Kim Greene,
23 and Lorenzo Simonelli.

24 This completes the report of the nominating
25 committee on its behalf. I move the above slate be

1 elected until the next organizational meeting of the
2 Council. Thank you.

3 MR. WOODS: Thank you, John. Could we have a
4 motion to adopt the report of the NPC nominating
5 committee? Do I have a second?

6 MR. PEREZ: (Raises hand.)

7 MR. WOODS: Second. All those in favor -- or
8 any comments, I should ask first?

9 (No response.)

10 MR. WOODS: Any further nominations?

11 (No response.)

12 MR. WOODS: Okay. All those in favor, say
13 aye?

14 (Chorus of ayes.)

15 MR. WOODS: Any opposed?

16 (No response.)

17 MR. WOODS: Thank you for that. The report is
18 adopted, and thank you, John.

19 All right. Before the final item on the
20 formal agenda, let me ask if any council members have
21 any other matters to raise at this time?

22 (No response.)

23 MR. WOODS: Okay. Hearing none, do I have a
24 motion for adjournment?

25 MR. ARMSTRONG: So moved.

1 MR. WOODS: Thank you very much. And without
2 objection, the 132nd meeting of the National Petroleum
3 Council is hereby adjourned. Thank you for your
4 attendance.

5 (Applause.)

6 (Whereupon, at 11:33 a.m., the meeting was
7 adjourned.)

8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

I, George Quade, do hereby certify that the foregoing proceedings were recorded by me and reduced to typewriting under the supervision of For The Record, Inc.; that I am neither counsel for, related to, nor employed by any of the parties to the action in which these proceedings were transcribed; and further, that I am not a relative or employee of any attorney or counsel employed by the parties hereto, nor financially or otherwise interested in the outcome of the action.



GEORGE QUADE, CERT