

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NATIONAL PETROLEUM COUNCIL MEETING

TUESDAY, DECEMBER 12, 2023
9:00 A.M.

Reported by: George Quade, CERT

1	I N D E X	
2		PAGE :
3	Call to Order and Introductory Remarks	4
4		
5	Remarks by The Honorable Jennifer M. Granholm,	
6	Secretary of Energy	6
7		
8	Remarks by The Honorable David M. Turk,	
9	Deputy Secretary of Energy	14
10		
11	Progress Report of the NPC Committee on	
12	Hydrogen Energy	37
13		
14	Progress Report of the NPC Committee on	
15	GHG Emissions	61
16		
17	Remarks of the Honorable Bradford J. Crabtree,	
18	Assistant Secretary for Fossil Energy and	
19	Carbon Management, U.S. Department of	
20	Energy	79
21		
22	Administrative Matters:	
23	Report of the NPC Finance Committee	90
24	Report of the NPC Nominating Committee	93
25		

1	I N D E X (Continued)	
2		PAGE :
3	Discussion of Any Other Business Properly Brought	
4	Before the National Petroleum Council	96
5		
6	Adjournment	97
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

National Petroleum Council Meeting

12/12/2023

1 P R O C E E D I N G S

2 - - - - -

3 (Meeting called to order, 9:04 a.m.)

4 MR. WOODS: All right, let's go ahead and get
5 going. I appreciate everybody's attention this
6 morning. I'm going to call the 133rd Meeting of the
7 National Petroleum Council to order and begin by
8 welcoming all of you, the Council Members, honored
9 guests, members of the press and the public.

10 We have what I think will be a productive and
11 particularly informative meeting this morning. We have
12 a full agenda, a copy of which is in your papers
13 amongst you, in front of you. We have the honor of
14 having the leadership of the Department of Energy with
15 us this morning and throughout the session.

16 First, before we begin, let me just make the
17 customary safety announcements. There are no scheduled
18 fire alarms today, so if an alarm sounds, it's real.
19 We'll ask you to evacuate the room through the back
20 doors, head up the stairs and through the lobby to the
21 street. The muster point will be immediately in front
22 of the hotel on Pennsylvania Avenue.

23 If there's no objections, I'll dispense with
24 calling the roll. For the members of the Council, the
25 check-in is at the Buchanan Room and it will serve as

1 our official attendance record. If any member or
2 observer or member has not checked in, please do so
3 before you leave so that we can get an accurate count
4 of who attended the meeting today.

5 In addition to the audience in the room, we
6 have an online audience. They'll be able to watch the
7 livestream of our proceedings. This audience includes
8 Council Members unable to attend today, as well as many
9 individuals who are contributing to the study efforts
10 that we will be discussing this morning.

11 I'll now take the opportunity to introduce the
12 folks here at the table with me for the record. To my
13 left, we're pleased to have Ryan Lance, who is chairing
14 NPC's -- the NPC committee on GHG emissions; Mike
15 Wirth, Chair of the NPC Committee on Hydrogen Energy;
16 and then next to me is the Honorable David Turk, the
17 Deputy Secretary of Energy. To my right is the
18 Honorable Brad Crabtree, Assistant Secretary for Fossil
19 Energy and Carbon Management; and next to Brad is Alan
20 Armstrong, NPC Vice Chair, at least for now.

21 (Laughter.)

22 MR. WOODS: It's a little foreshadowing. A
23 little foreshadowing.

24 And then next to Alan, of course, is the
25 Honorable Jennifer Granholm, Secretary of Energy, whose

1 remarks will be next on the agenda.

2 And I'll just say this is my second meeting as
3 the Chair and my last meeting, and I know this is your
4 second meeting, Madam Secretary. And I'd just say it's
5 been a great pleasure working with you and your agency
6 and really developing advice on some -- on very
7 important topics over the last couple of years. And I
8 think, as you'll hear this morning, some very good
9 ideas and discussions coming out of the work that we've
10 done on the hydrogen and the GHG studies, which you
11 requested. So I look forward to that conversation.

12 Honored to have you with us this morning, and
13 with that, I'll turn it over to you and any remarks
14 you'd like to make.

15 SECRETARY GRANHOLM: Great. Should I do it
16 from here?

17 MR. WOODS: Sure, or you can do it at the
18 podium, whichever you'd like.

19 SECRETARY GRANHOLM: Let me go to the podium.

20 MR. WOODS: Okay.

21 SECRETARY GRANHOLM: Thanks so much. I
22 appreciate it, Darren. Thanks to all of you for being
23 here. Thanks to our DOE team who is here in the front.
24 Great to see you all. So much work to do together.

25 So exactly 44 years ago today, which was at --

1 right at the height of the 1979 oil crisis, and at the
2 beginnings of the clean energy economy, as it was
3 starting to take shape, the then-Secretary of Energy,
4 Charles Duncan, delivered a message to the folks that
5 are sitting in your seats, and he used these words. He
6 said, "We've got to manage this transition, or this
7 transition is going to manage us."

8 And, of course, we're here at that same -- not
9 at that same -- much -- many years later, but those
10 words are more true than ever. I know you feel it.
11 Certainly, we feel it. Change is here. It is an
12 accelerating freight train, and the demand for zero
13 carbon energy is inexorably growing. It's loud. It's
14 being debated right now at COP as we speak.

15 The calls for phasing down, phasing out fossil
16 fuels will be louder every year as they have continued
17 to be amplified. And those voices cannot be silenced
18 because you cannot silence the climate. 2023 was the
19 hottest year on record, as many of you know. It's
20 going to be the coolest year that we will have ever
21 experienced, unless we get our act together.

22 And, so, when we hear about the island
23 nations who are so understandably angry because their
24 islands are being subsumed, swallowed, by sea rise,
25 when we hear about people across the globe continuing

1 to die from extreme weather events that have been
2 accelerated as a result of climate change, we know
3 that as temperatures rise, people's tempers will
4 continue to rise. And this issue is not going to be
5 papered over, covered over. It will only continue
6 to rise in importance. And for you all here, this
7 is -- this is -- this is where your existence, your
8 leadership, can have the biggest impact, not just in
9 the U.S. but across the planet.

10 We all have to recognize -- and I know many of
11 you do -- that we just cannot continue to operate
12 business as usual. It's urgent, and there are no
13 groups that are better to turn the tide on this than
14 you all.

15 In fact, your ingenuity, the investments that
16 you've made and that you are making and have made in
17 technology, I mean, if it weren't for this industry, we
18 would, you know, still be using whale oil candles and
19 wood stoves. So you've got a history. This industry
20 has a history of innovation. And we need you to --
21 many of you are stepping up on this and really grateful
22 that that's happening, but we need to just really put
23 the pedal to the metal on investing in those innovative
24 solutions that has you investing at the level that
25 people will trust that you understand and can meet the

1 moment of this crisis.

2 First, I think we all understand the
3 importance of eliminating methane emissions. We need
4 everybody not just to commit to it but to prove it with
5 transparent and accurate measurements. I appreciate
6 the fact that many of you agree on this, and we'll
7 talk, I think, a bit about this today. Brad Crabtree
8 is here and has -- and our fossil energy and carbon
9 management team have been working on this.

10 Second, for those of you who have been
11 investing in solutions beneath the subsurface, like
12 geothermal, carbon capture, sequestration, thank you to
13 you. And let's continue to do that and amplify and
14 move quicker.

15 And, third, I think it's just -- this I want
16 to pause on for a moment because for us at the
17 Department of Energy, this has been a really important
18 focus, which is on engaging with communities. Now, I
19 know that many of you do this, but I don't think even
20 those who've got investments in people who are engaging
21 with communities, I just don't think it's at the level
22 -- I know it's not at the level that is necessary to be
23 able to ensure that the success of those communities is
24 part of your bottom line as well.

25 So we -- I appreciate the fact that the

1 hydrogen and GHG emissions in the supply chain reports
2 take on the subject of societal considerations and
3 impacts. I just can't underscore enough how important
4 this is. I just came from a tour of the River Parishes
5 in Louisiana and in the refineries and the community in
6 Port Arthur, and, you know, the communities there that
7 have been affected by the refineries that have grown up
8 around them, you know, have not had as loud of a voice,
9 and they are starting. They've got a megaphone now.
10 They are amplifying, and it is that issue of community
11 benefits plans which we are evaluating all of our grant
12 opportunities through, that you don't get awards --
13 funding awards from the Department of Energy without
14 having a community benefits plan. And that plan has to
15 engage and take account of what community needs are.
16 So important.

17 You would not want to -- you would not move
18 your family next to a refinery. You wouldn't want your
19 family's home right now to have a refinery come up next
20 to it. You wouldn't want to live within a stone's
21 throw of storage tanks or distillation units or flare
22 stacks. You would not want to. You would not want
23 your kids to be breathing benzene or NOx. You wouldn't
24 want that.

25 That's what's happening in these places, the

1 cancer rates, et cetera. You've heard these stories.
2 When you see these families and you go to their homes
3 and you see what has grown up around them, it is very
4 deep and very important. And when you hear the stories
5 of family members who have died and the increases in
6 asthma, I don't know, it's just very powerful. And
7 it's those voices that now are really rising.

8 I mean, in the past, you know, I think a lot
9 was done to try to buy people's property and have them
10 move out. It's their home; they don't want to move
11 out. But buy people's property and then move out or,
12 you know, do some small-level investment, try to hire
13 folks, it's just not happening at a rate that gets
14 communities to be accepting. It's just not, and it has
15 to. It has to.

16 Your success and the communities' success
17 are inextricably bound in a mutual garment of destiny.
18 And these community benefit plans are a key part of
19 how we heal and address some of the harms that these
20 communities have experienced. So I just want to
21 underscore it is a priority for the Department of
22 Energy.

23 And, then, finally, I just want to say I think
24 it's really important and I'm grateful to those who
25 have been investing in these clean energy solutions

1 like lithium, Darren, the investments in geothermal, et
2 cetera. I appreciate all of that, offshore wind, very
3 important. We've got federal dollars to be able to
4 incentivize more of these investments.

5 Obviously, we're going to talk about clean
6 hydrogen, direct air capture, et cetera. But we think
7 that there's just opportunities for all manner -- bless
8 you -- of clean energy across the spectrum for you to
9 participate in. So to reach our net zero goals as a
10 nation, we'll need about \$10 trillion in additional
11 capital investment by 2050. \$10 trillion. For those
12 doing the math, it's about \$300 billion every year in
13 the U.S. alone.

14 And, so, we are offering these unprecedented
15 incentives to the private sector, which is 10 years of
16 these tax credits -- clean energy production,
17 investment, manufacturing -- a decade of tax credits.
18 We're trying to make it easy for investors to make the
19 decision to invest in clean energy. And between the
20 Bipartisan Infrastructure Law, the Inflation Reduction
21 Act we've got hundreds of billions of dollars more for
22 clean energy products, in addition to the tax credits.
23 So it is a real opportunity for folks in this room,
24 outside of this room to take advantage, and it's a
25 priority.

1 I think we're making real progress in some
2 areas. The EPA's final rule to strengthen the methane
3 standards, for example, very important. Last month,
4 the U.S., along with 12 other countries, the European
5 Commission, and the East Mediterranean Gas Forum, we
6 announced a multinational working group to develop
7 methods to, you know, measure, monitor, report, and
8 verify GHG emissions along the natural gas value chain.
9 I'd like to thank those in this room that have
10 committed to supporting that effort, and I hope the
11 rest of you will join us.

12 And, then, of course, at COP, at COP28, the
13 Biden Administration highlighted what we're doing on
14 the Global Methane Pledge. Earlier this year, the
15 Administration initiated the Methane Finance Sprint,
16 and alongside an array of partners, we announced over a
17 billion dollars in new funding to help us cut methane
18 emissions across all sectors with a focus on low- and
19 middle-income countries.

20 So since the days of the petroleum
21 administration for war in World War II, this industry
22 has partnered with the Federal Government to take on
23 these tough problems. The DOE and the NPC have
24 witnessed the rise of OPEC and the fall of the Soviet
25 Union. We've tackled challenges from synthetic liquid

1 fuel production costs to natural disaster preparedness.
2 We may not always see eye to eye -- in fact, a lot of
3 times we don't -- but we're all committed to secure,
4 reliable energy -- and cleaner, I hope.

5 Today, we aren't where we need to be yet, but
6 I think we can get there. And the question is for all
7 of us, are we going to get onboard that freight train,
8 or are we going to be run over by it. I think we can
9 do it. Let's get to work.

10 (Applause.)

11 MR. WOODS: Thank you, Madam Secretary. The
12 Secretary has agreed to take questions, but we're going
13 to do that in more of a conversation with Deputy
14 Secretary Turk after he gives some of his remarks.

15 At this time, I'll invite the Deputy Secretary
16 for any comments you'd like to make.

17 DEPUTY SECRETARY TURK: Thanks, Darren, and
18 we'll keep this brief and just complement and
19 supplement a few of the things the Secretary mentioned.
20 And let me also first also express my thanks for
21 everyone being here today, and I want to particularly
22 thank those folks who worked on these two reports that
23 we'll talk about, not only from the companies here but
24 my DOE colleagues, our DOE colleagues, a number of
25 nonprofits and others as well. It's always useful to

1 thank the people who are actually doing the work, and
2 so thank you very much for all the time, effort that's
3 gone into these two reports.

4 Maybe just a couple thoughts on each of these
5 reports and broader context that may be helpful as we
6 get into today's discussions. First, on the clean
7 hydrogen side, I think it's worth noting and taking a
8 step back at all of the new tools in our tool belt from
9 a Federal Government perspective to really accelerate
10 clean hydrogen -- accelerate clean hydrogen, which is
11 seen as a really incredibly powerful tool to deal with
12 some of our harder-to-decarbonize sectors.

13 So to just give you a sense of the breadth and
14 the amount of funding going into these areas, aspects,
15 the hydrogen hubs get an awful lot of attention and \$7
16 billion of federal taxpayer funding going into these
17 hubs across the country, but that's only one part, one
18 tool in the tool belt to accelerate this clean hydrogen
19 revolution.

20 We've got a billion dollars in a very creative
21 demand-side stimulation mechanism. This is something
22 that our phenomenal colleagues at DOE came up with to
23 really use that billion dollars to complement what
24 we're doing with the hubs and make sure we're working
25 on the supply end and demand pieces. And I think

1 that's one of the recommendations of the hydrogen
2 report that's come through.

3 We've got literally billions more that we've
4 spent for decades to accelerate cost reduction with
5 clean hydrogen, especially on the electrolyzer side of
6 things. We've got an eagerly awaited -- I know it's
7 very eagerly awaited -- hydrogen production tax credit
8 that we've heard from stakeholders across the country
9 and, frankly, across the world as well, up to \$3 per
10 kilogram for the cleanest of hydrogen. That is a
11 generous tax credit. That's a big deal in terms of the
12 tools in the tool belt.

13 We've got an interagency task force where
14 we're trying to leverage everyone from EPA to
15 Department of Defense to make sure we're all working as
16 a unified government. And we've got for the first time
17 ever a national clean hydrogen strategy where we've got
18 very ambitious goals -- 10 million tons by 2030 and
19 five times that by 2050. So that's just a sampling.
20 There are other tools in our tool belt, but just to
21 show the Biden Administration breadth and depth of what
22 we're trying to do to accelerate the clean energy
23 transition, again just in hydrogen, and we could use
24 that in other examples of areas that we're trying to
25 accelerate as well.

1 The second piece I'd like to mention on the
2 hydrogen piece in particular, and the Secretary so
3 eloquently spoke about this, and that's community
4 acceptance, environmental justice, doing right by the
5 communities that we all work in. I think that's
6 particularly important in hydrogen. We've heard that
7 from communities. We're listening to communities, as
8 the Secretary herself has said.

9 Our phenomenal leadership team -- Shalanda
10 Baker who heads our newly renamed Energy Justice and
11 Equity Office, we're spending an awful lot of time, I
12 think, in coming on -- all of us -- to listen to
13 communities, to work with communities, if there's going
14 to be acceptance in those communities of this clean
15 hydrogen economy -- economy buildout. So that's the
16 hydrogen report. Again, just a few broader thoughts.

17 The second report is focused on natural gas
18 emissions. Just a couple comments there. One is we'll
19 get into, in particular, this report's scope is
20 limited, limited in particular to more Scope 1, Scope
21 2. It does not touch the Scope 3. So it does not get
22 into the end use of natural gas in our country or
23 around the world.

24 The couple comments I'd make on this report in
25 particular, first on methane emissions. A lot of us

1 have worked on methane emissions for many, many years.
2 I see Mark Brownstein from EDF. Our EDF colleagues, I
3 don't know how many years you've been working on this,
4 Mark, quite a few.

5 MR. BROWNSTEIN: My hair was not gray.

6 DEPUTY SECRETARY TURK: Maybe I'd like to say
7 I had hair when I started work here, but that's not
8 true. I've been bald for quite some time.

9 Reducing our methane emissions is the biggest
10 no-brainer that I can think of in the energy space to
11 make real-world progress, to make it -- make it urgent.
12 I think this report and this analysis will provide even
13 more light on that in terms of both the cost-effective
14 nature of what we need to do to step up to the plate.
15 I think it's terrific, and I feel incredibly proud to
16 be part of this Administration with our colleagues over
17 at the Environmental Protection Agency requiring and
18 mandating, and I think that's appropriate.

19 It's a no-brainer. Everybody should be doing
20 it. We need to have a floor. As we talked about
21 yesterday, companies and others can do even more than
22 what's in the floor and reduce emissions even more, but
23 we should have a level playing field. Everybody should
24 be held, and my hope is countries around the world step
25 up to the plate on that as well.

1 The second point I'd like to make on that
2 report, again, just to emphasize, this does not deal
3 with Scope 3, just because this report doesn't deal
4 with Scope 3 doesn't mean we shouldn't discuss and deal
5 with Scope 3. Just to give you a sense of how big
6 Scope 3 emissions are, there's a very helpful chart in
7 the draft report page 34 for those who have the draft
8 report. It says 28 percent of total U.S. CO₂ emissions
9 are from natural gas end use.

10 Now, if you want to kind of round that out, 41
11 percent are from petroleum products and 19 percent from
12 coal. The coal number used to be a lot higher. We're
13 reducing our coal use and coal emissions, but that
14 gives you a sense of just the scale of those end-use
15 emissions. And, again, just because this report
16 doesn't deal with it doesn't mean we don't need to deal
17 with Scope 3 emissions. Everybody needs to do their
18 part.

19 Just one concluding thought on the transition
20 itself, a few data nuggets. I used to work at the
21 International Energy Agency, and so data is something I
22 live and breathe. But just to share, as the Secretary
23 said, this transition is happening. It's not happening
24 fast enough, but we're starting to see some significant
25 numbers of what's happening, not only in the U.S. but

1 around the world. So just a couple nuggets for further
2 reflection, a little bit bigger picture.

3 In 2000 [sic], around the world, 1 out of
4 every 25 cars sold -- again around the world -- was an
5 electric vehicle. That number in 2023 is one of five.
6 So in just three years, we've gone from 1 of 25 cars
7 sold being an EV to now 1 of every 5 cars sold is an
8 EV. In that period of time from 2020 to 2023, we've
9 increased globally clean energy investment 40 percent.
10 That's a big deal. Now, it's not the level that
11 everyone says that we need to if we're going to meet
12 our rightfully so climate -- ambitious climate
13 objectives, not only in the U.S., internationally.

14 The other -- I think it's gotten some
15 attention, it probably deserves to get even more
16 attention, for the first time ever, my former employer,
17 the International Energy Agency, said that within this
18 decade, we're not only going to see a peak in coal
19 demand; we're going to see a peak in oil demand. This
20 is their reference case scenario. This is not some
21 1.5-degree scenario. This is their reference case
22 scenario.

23 We're going to see a peak in coal; we're going
24 to see a peak in oil; and for the first time ever a
25 peak in natural gas as well. So there's some data

1 points of transitions happening. As the Secretary
2 said, it's not happening fast enough certainly to meet
3 our climate objectives out there, and I think incumbent
4 as we go through these two reports to take a step back,
5 all of us self-reflect, are we doing enough as the
6 Secretary said to be part of the solution and part of
7 what we all need to do to step up to this incredible
8 historic challenge. So we'll leave it there, but,
9 again, terrific to be with you all.

10 MR. WOODS: Thank you.

11 (Applause.)

12 MR. WOODS: I'd just like to, in addition to
13 thanking you for your comments, Dave, thank you for the
14 pragmatic work you've been doing with both of the
15 studies. It's been good to see your engagement and
16 participation in all the discussions going on at both
17 those very important studies.

18 As I said, we're going to take some questions
19 from the Council Members. I'm going to exercise the
20 prerogative of the Chair, though, and ask the first,
21 and then ask anybody on the panel at the table if
22 they'd like to ask, and then I'll turn it over to folks
23 in the audience. And there's a microphone that will be
24 passed around so that we can hear you.

25 So the first question I'll start with is just

1 maybe I'd appreciate perspective from either one of you
2 around the work that the U.S. has been doing with
3 respect to reducing emissions and how that was received
4 at COP28 in any other perspective and feedback that
5 you're getting from around the world as countries all
6 work to reduce emissions and how they see our efforts.

7 SECRETARY GRANHOLM: Yeah, I'm going to ask
8 Dave to take a stab at this because he just got back
9 from COP. I was representing the country at the
10 Argentinian president inauguration, so I didn't get to
11 go to COP.

12 So, Dave, do you want to say that?

13 DEPUTY SECRETARY TURK: Yeah, happy to give a
14 few, again, numbers, maybe, and I felt incredibly proud
15 to be at the COP representing the U.S. Government and
16 this Administration in particular and representing
17 Secretary Granholm in all that we're doing.

18 I referenced all the things we're doing on
19 hydrogen, but that's only one example. We've got \$100
20 billion in grant funding that the Department of Energy
21 alone is working with private sector partners and
22 others to accelerate our clean energy transition, let
23 alone the hundreds of billions, the dollars in tax
24 incentives. We've got a couple hundred of our folks
25 working with Treasury and IRS. We've got a loan

1 program with \$400 billion worth of loan authority, et
2 cetera, et cetera.

3 So the scale and scope of what we're doing, I
4 think, shows incredible leadership from this
5 Administration, this country, and it's not just the
6 U.S. Government; it's state government, it's local
7 government, it's companies stepping up and walking the
8 talk. And we're starting to see that in the numbers.

9 Our emissions actually decreased in 2023. So
10 a 3.1 percent decrease is what the latest numbers are
11 showing in the energy sector, which is the bulk of
12 emissions. That's despite robust GDP growth,
13 especially given the broader economic issues the world
14 has faced over the last few years.

15 The other nugget -- again it's not enough --
16 is this Administration along with these historic pieces
17 of legislation, we were already decreasing our
18 emissions, but just over the last few years, everything
19 that we've been doing, the estimates are that we're
20 going to double that amount of decrease in our
21 emissions. So the latest estimates are we're going to
22 get to a 40 -- even 41 percent reduction in our
23 emissions by 2030.

24 Now, the President's goal, rightfully so, for
25 us to do what we need to do to be part of this net zero

1 transition is to get to 50 percent. So we've got more
2 work to do, but I think it's incredibly encouraging to
3 see these kinds of emission reductions, the scale of
4 what we're doing in the U.S. And the U.S. needs to
5 lead, and I think the rest of the world responds to
6 that U.S. leadership, and that's certainly what I saw
7 at the COP.

8 MR. WOODS: Thank you.

9 Any other questions from the head table before
10 I turn it over to the group? Council Members?

11 Okay, there was a question in the corner
12 there. Yep.

13 JOHN WALKER (Off microphone): Yes, with
14 several LNG facilities coming out over the next few
15 years, where does the incremental 10 to 12 BCF value
16 come in?

17 SECRETARY GRANHOLM: Where does the
18 incremental 10 to 12 come from?

19 MR. WALKER: Yes.

20 SECRETARY GRANHOLM: Okay. Well, we're
21 currently on LNG exporting, what, 13 BCFs. We're at
22 record levels. There's another -- or 12, 12-point-
23 something. There's another 12 that are under
24 construction, so there are 12 BCFs that are under
25 construction. There's another 20-something that have

1 been approved, permitted, haven't begun construction
2 yet. So -- and the estimates of what the market will
3 bear by 2030 is something like 45 for us.

4 So we're already at -- we're already well on
5 track to meet what the market will demand, and that
6 additional amount, as being the world's largest
7 exporter right now, will be doubled over the next
8 couple of years, so I think the -- it speaks for
9 itself.

10 Did I answer your question?

11 MR. WALKER: Well, the concern is that I
12 believe that we might have with the Tax Reduction Act,
13 we might lose 300,000 gas wells. And, so, if we're
14 increasing gas production, my basic question is where
15 do we get that incremental gas production from.

16 SECRETARY GRANHOLM: I don't know what you're
17 referring to in terms of losing the wells.

18 MR. WALKER: The incremental tax --

19 SECRETARY GRANHOLM: Oh, I see.

20 MR. WALKER: -- will cause 300,000 gas wells
21 to be shut in.

22 SECRETARY GRANHOLM: Yeah, I have not seen
23 that data. The incremental tax because of the methane
24 requirement is what you're referring to?

25 MR. WALKER: (Off microphone): (Inaudible).

1 SECRETARY GRANHOLM: Well, I -- I'd need to
2 see that study. That's not the information that I
3 have.

4 MR. WOODS: Okay. Any other questions?

5 J. ROBINSON "ROBIN" WEST: Thank you. There's
6 obviously a lot of discussion about COP and what's
7 happening at COP. And I was struck with two
8 conflicting experiences. One was yesterday afternoon
9 the Deputy Secretary sat for several hours working on
10 the GHG study, which is a serious effort, and the
11 Department has contributed some excellent people and a
12 lot of resources, as has the private sector. And I got
13 the strong impression that there's a real will on the
14 part of the companies and the Administration to deal
15 with this issue.

16 Then, when you go to COP, and, frankly, the --
17 what some of the people were talking to describe the
18 industry, you'd have no sense whatsoever in any way
19 that the oil industry is trying to come up with
20 solutions, the oil and gas industry. And is there a
21 way to kind of temper the discussion to make it clear
22 that this is an industry which is really, I think, very
23 serious about finding solutions and that, frankly,
24 solutions won't be found if the private sector isn't
25 actively engaged, where there are some people who just

1 vilify the industry. And, you know, do you think
2 that's constructive?

3 SECRETARY GRANHOLM: I do. I appreciate this
4 question because I think this is -- this is the
5 challenge, right? There are many who are doing these
6 investments in clean energy solutions and have really
7 stepped up and have made commitments -- public
8 commitments, board commitments -- to doing that. And,
9 then, there are many, as you know, who have not, and
10 there still is a huge amount of emitting, and that fact
11 is, you know, even though our emissions have reduced,
12 the fact that we are still emitting and contributing to
13 climate change is also a fact.

14 So I think that there's a trust deficit, no
15 doubt, and I think that this must be something -- I
16 know that, you know, a number of us have been protested
17 off the stage as a result of the impatience that's out
18 there and the lack of trust that people view that both
19 government and the private sector are not moving at the
20 pace that meets the challenge.

21 So I think that bold and loud and clear not
22 just promises, but verified action is really important.
23 I think that the commitment to investing in these new
24 technologies and amplifying that is really important.
25 I don't know that it's -- you know, people on both

1 sides of this are not going to hold hands and sing
2 Kumbaya. I think that that's hard to see happening,
3 but I do think that there is an opportunity for those
4 represented by those in this room to continue to
5 amplify what you all are doing on investing and in
6 curbing emissions and in honestly reporting and
7 verifying.

8 David, I don't know if you want to add
9 anything from the COP perspective.

10 DEPUTY SECRETARY TURK: Yeah, maybe just three
11 pieces and, again, coming at this having looked at the
12 numbers. The numbers here are incredibly unforgiving,
13 right? We're already seeing the significant signs --
14 manifestations of climate change in our country, other
15 countries. I won't go through the parade of horrors
16 here. I think people are familiar with what's going on
17 and we're all seeing it with our own eyes and
18 experiencing it ourselves, our families, our
19 communities.

20 To get to where we need to get to, net zero by
21 mid-century, A, mid-century is not too many years off,
22 right? That's just a few decades off. And we not only
23 have to clean up electricity, but it's transportation,
24 which is the largest source of our U.S. emissions.
25 It's industry, it's buildings, all of that, in just a

1 few decades' period of time.

2 So that is unforgiving math. Math is math;
3 science is science. And I think we all need to
4 acknowledge that. So I think that's part of the
5 frustration that you see being expressed by many folks
6 at the COP, frankly by many of us, certainly myself and
7 the Secretary included.

8 Secondly, I think it's terrific, as I said in
9 my opening, that we are making progress, including on
10 methane emissions. Again, a no-brainer. We should
11 have done it a decade ago when Mark's hair wasn't as
12 gray as it is now, but great that we're making
13 progress.

14 I think having the EPA step up and hopefully
15 other countries step up, we need public/private
16 leadership, but there is a role, I think, for
17 regulation in there in dealing with Scope 1 and Scope 2
18 emissions, but I think there's a lot of frustration,
19 and this COP has focused a lot on Scope 3 emissions,
20 that is end use for natural gas and oil in particular,
21 given who the host is and given the discussion.

22 One other nugget there is when I look at the
23 numbers, I see Scope 3 emissions, that is the products
24 when they get -- they get used ten times larger than
25 Scope 1 and Scope 2 for many oil and gas companies. So

1 there's a lot of focus, rightfully so, on the Scope 3
2 piece of it. And, again, we all need to reflect on
3 ourselves of what we're doing on that front. So I
4 think there's been that, that part of the COP.

5 And, then, the third piece is follow the
6 money, right? Like, rhetoric is one thing, and there's
7 an awful lot of rhetoric at these climate conferences.
8 I tend to follow the investment picture and who's
9 investing where, and I think there's some stark numbers
10 there as well.

11 Right now, an estimate has been done. Oil and
12 gas producers account for only 1 percent of total clean
13 energy investment globally. And more than 60 percent
14 of that comes from just four companies. So, again,
15 let's have a real discussion on where the numbers are,
16 what's included in that category, but let's take some
17 of these numbers and issues head-on, and I think that's
18 where there's some frustration that's boiled over, over
19 at the COP when they look at some of those kinds of
20 numbers.

21 MR. WOODS: And maybe I'll just add to that,
22 because I had the opportunity to attend the COP this
23 year, which was a little unusual for our company and
24 myself personally. Actually, for a long time, this
25 discussion has been dominated by I think a fairly

1 narrow but loud group that saw the solution to
2 addressing climate change as purely a wind, solar, and
3 EV solution set. And while I do recognize that that is
4 an important part of the solution, it is just a part.
5 It's necessary but not sufficient.

6 My sense from the conversations at COP is
7 there's a growing recognition and a much broader set of
8 constituents coming into the tent. To David's point,
9 do the math as to how you get from where we're at today
10 to where the world wants to go with respect to lower
11 emissions. And not only doing the math, but
12 considering all aspects of the problem, not just
13 emissions but how you continue to provide affordable
14 and reliably energy to people all around the planet who
15 desperately, one, rely on it for their modern living,
16 but, two, for the billions of people who don't have
17 access to that. And I think more realism coming into
18 the conversation, which is good because there is a lot
19 of math that needs to be done.

20 I think there's a recognition that you've got
21 the electronic, the electric solution, the electron
22 solution, and then you've got molecule solutions, which
23 is the hydrogen. Biofuels, I think, will play a role;
24 carbon capture and storage. And, so, recognition that
25 we need more solutions, not less, and we need to figure

1 out how we implement those solutions at scale, which I
2 think, again, is starting to enter the conversation.

3 How are we going to address such a large,
4 complex challenge without the largest companies with
5 the capabilities to do large projects at scale not
6 involved? And, so, I think if you look at the industry
7 as a whole, we have the technology; we have the scale;
8 we have the project expertise; we have the experience
9 of building brand new value chains all around the
10 planet. And, so, who better equipped to then try to
11 address this than the industry that built the existing
12 energy system to weigh in and focus on shifting the
13 energy system to something with less emissions, less
14 emissions-intensive, without compromising people's
15 standards of living?

16 So my sense is, while it's still a small
17 movement, there is a growing recognition. This is a
18 hard problem. It is a big problem, and it needs more
19 people at the table trying to solve it, less
20 aspirations, less hope-setting out there, and more
21 rolling up our sleeves and developing a plan from how
22 you get from here to there in a way that doesn't
23 penalize people.

24 And, so, it's early, but that conversation has
25 to grow if I think society's going to be successful

1 here.

2 Other questions? Yes.

3 MS. BURMAN: Diane Burman, New York State
4 Public Service Commission. Can you talk a little bit
5 at how you reconcile zero emissions while also allowing
6 infrastructure delays, which includes CCS, hydrogen, as
7 well as natural gas, and ensuring reliability, because
8 that seems mutually exclusive to me?

9 SECRETARY GRANHOLM: How do we reconcile the
10 permitting delays? Is that --

11 MS. BURMAN: So how do you reconcile? So we
12 have your zero-emission targets, but we also have these
13 infrastructure delays, and we're needing to ensure
14 reliability. So how do we deal with that issue?

15 SECRETARY GRANHOLM: I mean, there is no doubt
16 that the delays on deployment of clean energy
17 infrastructure and solutions -- delays in permitting in
18 general in infrastructure have been a huge challenge
19 inside of both the Federal Government and on the local
20 level as well, right? For us, we've been trying -- I
21 mean, I know that there's a lot of talk about a
22 permitting bill. You know, I feel like that talk has
23 gone on for a couple of years. Congress is focused now
24 other things, so we're trying to figure out on the
25 executive side how we can streamline what we can.

1 So one example -- just an important example --
2 is on transmission infrastructure, which, of course,
3 has a huge NIMBY problem to begin with, but the
4 transmission on public lands, which for the Federal
5 Power Act gives the Department of Energy the ability to
6 accelerate the permitting and the NEPA reviews for
7 transmission, which we are doing on public lands, we
8 have a rule out, getting comment. We should be able to
9 turn that around by January.

10 It's a two-year shot clock on the ability to
11 complete permitting for transmission, which
12 historically has taken decades. It's been ridiculous.
13 We'd like to see that example be an example that is
14 used in other ways, which is why the national
15 permitting streamlining effort is important. That
16 doesn't just address transmission. But we need to all
17 continue to amplify the importance of speed in making
18 this happen because you are right.

19 And we've been -- there's been a lot of
20 deployment. I will acknowledge that, but if we don't
21 have the connective tissue to get the deployment of
22 clean energy to where it is needed, whether it is, you
23 know, in any fashion, especially -- but especially on
24 permitting, then we're not going to meet these goals.
25 And, so, we share that sense of urgency of getting

1 Congress to act as well as doing what we can on the
2 executive side.

3 MR. WOODS: We've got time for one more
4 question.

5 MS. TAYLOR: This is Cindy Taylor, and I just
6 want to amplify that point if I could. I run -- we're
7 not all the size of the people that are sitting at the
8 table up there. We are public, but we're small cap,
9 and we have a lot of manufacturing capabilities and
10 technology readily adaptable into new applications, and
11 we're very focused on deep water minerals and metals
12 recovery, offshore wind, pretty easy to do, geothermal,
13 CCS. But we're small. We're constrained by our free
14 cash flow, right?

15 And I would love to say I can build brand new
16 manufacturing facilities in the U.S. and just bring it
17 to bear. That's going to take me a long time, so I'm
18 leveraging infrastructure I already have in place, and
19 permitting matters. A lot of my offshore wind
20 investments, minerals investments are overseas. Sadly,
21 even though I'm a U.S. company, I can't qualify for IRA
22 credits because I'm going to leverage what I've got --
23 people, talent, infrastructure, and those investments
24 now are being made in Japan, offshore, Norway,
25 Scotland, because permitting is already in place,

1 particularly for offshore wind.

2 Now, the U.S. will absolutely benefit, the
3 world will benefit by these investments, but the first
4 dollar is going, obviously, to where I have the right
5 to put it in the water. And that's all I want to say.
6 It's like the IRA money is great. Companies like we
7 can't access it, at least to date.

8 I had a presentation last week, and the
9 research development dollars, the infrastructure
10 spending will help long-term, but we can't qualify
11 today. And I don't know that there's an answer to
12 that, but I want to throw that out that a lot of
13 companies like us do have technology readily adaptable,
14 as long as we have money to invest.

15 SECRETARY GRANHOLM: Yeah. I appreciate you
16 raising that as an example of why we need to move
17 rapidly on this and that it's -- we have given a whole
18 array of suggestions to Congress about how to make this
19 happen. We just have to get it across the finish line.
20 Some of it we are not able to do via executive order.

21 MR. WOODS: Well, thank you, and thank you for
22 your questions, but for the sake of the schedule, I'm
23 going to ask us to move on here. And I thank Secretary
24 Granholm and Deputy Secretary Turk for your time and
25 your answering the questions.

1 The next order of business this morning is to
2 hear progress report from the NPC Committee on Hydrogen
3 Energy. Mike Wirth chairs the committee and will
4 update us on their progress.

5 Mike?

6 MR. WIRTH: All right. Thank you, Mr.
7 Chairman, for the opportunity to present this progress
8 report. I've been doing the math on the agenda and the
9 time we have, and I will be brief in my comments so we
10 can get on with things.

11 First of all, I just want to acknowledge again
12 the good work done by the team. I see a number of
13 people in the room that have worked tirelessly now for
14 many, many months on this project from a variety of
15 different organizations, and I want to thank each of
16 you for the resources you've committed to this. I
17 think you're going to hear from Austin Knight when he
18 updates you here in just a moment that hydrogen can
19 play an important part in the future energy mix in this
20 country as a lower carbon intensity product,
21 particularly as Deputy Secretary Turk mentioned in
22 these more difficult-to-decarbonize sectors of our
23 economy.

24 So the study team has done detailed analysis
25 on the potential role of low carbon intensity hydrogen,

1 and it will speak to the demand sectors where we see
2 the opportunity for this to penetrate first and to
3 grow, where it provides the most benefit relative to
4 alternatives. He'll talk about the -- the study looked
5 at the potential scale of production, including
6 production methods and regional deployment. Different
7 regions in the country have different inherent
8 opportunities on both the demand side and the supply
9 side. And the study has gone down to that level to try
10 to help inform all of us on where these things will
11 start first, how fast they can grow in different parts
12 of our country.

13 It'll talk about the enablers required to
14 activate this ecosystem, both in the near term, which
15 can then expand to achieve at-scale adoption of lower
16 carbon intensity hydrogen and also the importance of
17 societal considerations, which we've heard a lot about
18 already this morning and the importance of stakeholder
19 engagement in gaining acceptance and development of new
20 production facilities, infrastructure to transport low
21 carbon hydrogen to consumers.

22 To be clear, the adoption of low carbon
23 hydrogen won't just happen. It will require a number
24 of things, including placing economic value on the
25 abatement of CO emissions and mobilizing significant

1 quantities of capital at scale, and that is an
2 important consideration that the team has been
3 addressing in order to provide a very transparent and
4 helpful view of what remains to be done for all of us.

5 So the study is well along, and Austin Knight,
6 who is the Chair of the coordinating subcommittee will
7 provide an update on the progress, and we'll try to
8 leave a little bit of time for questions.

9 So, Austin, please join us.

10 MR. KNIGHT: Thank you, and good morning. At
11 least year's NPC meeting, I opened with a quote from
12 Dan Yergin about the energy transition and added that
13 all credible views aiming towards achieving climate
14 goals through energy transition have a role for
15 hydrogen. The open questions were around where does it
16 have the most impact, at what speed will adoption be
17 gained, and what does it actually take to get there.
18 And, so, those are some of the questions that were
19 posed by the Secretary to NPC to evaluate as part of
20 this study.

21 I'm pleased to state that we have made a lot
22 of progress. We have a lot of those answers that we
23 will describe today and give some insight to. And the
24 -- today, we will give really an idea of the findings,
25 the modeling work that we've been doing, where we might

1 be going with recommendations, and those final
2 recommendations will come out in the detailed report in
3 the spring.

4 And, so, we talk about low carbon intensity
5 hydrogen, LCI hydrogen. If I say hydrogen today,
6 that's mostly what I mean unless I say unabated
7 hydrogen. And, so, I'll use all of those
8 interchangeably.

9 The existing policies that we see in place
10 today do a lot to help activate LCI hydrogen. And, so,
11 we do have a lot of new tools in our toolbox. Thank
12 you for that. But to achieve deployment at scale, it's
13 not enough. And you'll see additional targeted policy
14 actions are needed to close the economic gap between
15 hydrogen and higher carbon incumbent fuels and
16 feedstocks, and it's important that we do all that in a
17 way that addresses societal concerns and benefits, as
18 Mike mentioned.

19 And, so, we're thankful for DOE's partnership
20 in this study. We believe what we're doing is very
21 complementary and additive to the other recent reports
22 released by DOE, such as the hydrogen roadmap, the
23 lift-off report, recent progress like the hydrogen
24 hubs, all definitely contribute to the positive
25 trajectory that this report supports.

1 So just a quick reminder on the diversity of
2 the perspectives we have in this study. This study
3 right now has had participation from over 200 different
4 participants from more than 100 organizations. It's a
5 wide range of entities, including oil and gas
6 companies, industrial gases, energy and power,
7 manufacturing and distribution, EPC companies, plus
8 nonprofits, academia, and government. It's extremely
9 diverse, and that's one of the unique attributes of the
10 study.

11 This expert input is informing technoeconomic
12 modeling that I'll talk about in a minute that has been
13 done hand-in-hand with MIT. We could go quicker with
14 this study if we did not have the diversity opinions in
15 the room, but because of who we have, we will go
16 farther. The study will be robust, and it will deliver
17 long-term impact because of the work that we've done
18 here.

19 This provides much more clarity on the role of
20 LCI hydrogen in the ecosystem. It will address what it
21 takes to achieve emissions reduction at the lowest cost
22 to society, and it includes regionality. No other
23 report that we've found in the public domain goes into
24 specific U.S. regional details that this report will,
25 and we think these outputs are truly unique.

1 A quick word on the modeling. So before going
2 into more detail, I wanted to make sure that you
3 understand the basis of what you'll see from all of
4 those experts. The NPC partnered with the MIT Energy
5 Initiative to conduct a very complex model in support
6 of this study. It starts by looking at all elements of
7 the energy system. It projects over time with expert-
8 informed inputs. We used the IEA World Energy Outlook
9 from 2022 as one of the main inputs, as well as support
10 from government entities. We looked at federal and
11 state policies, and we had experts providing inputs on
12 technology trajectories to deliver two main key
13 scenarios.

14 And, so, what you'll see, we refer to stated
15 policy scenario. That's based on current policies that
16 are currently implemented, including the IRA and
17 including state-level policies. And then we have
18 forced a net zero by 2050 scenario. And, so, that
19 works with the MIT tools to optimize achieving a lowest
20 cost to society by using a carbon budget on the whole
21 energy system to get to net zero.

22 I just want to say that this model is meant to
23 be useful. The team finds it extremely useful. It is
24 not a crystal ball. And, so, the report details come
25 from a lot of expert analysis and debate that's

1 informed by the modeling but with recognition of the
2 modeling limitations.

3 So let's get into some of what those findings
4 actually are. The first important result of the study
5 was to look at the trajectory of U.S. greenhouse gas
6 emissions and the role that hydrogen plays in
7 supporting the U.S. climate goals. The graph on the
8 left, you see the emissions over time under each
9 modeled scenario. In current policies, we see
10 reductions in greenhouse gas emissions, but we are not
11 on track to meet net zero in the current situation.

12 So achieving net zero is not only a hydrogen
13 story. Many solutions are needed, but you see at the
14 bottom when -- on the trajectory to net zero, low
15 carbon intensity hydrogen does have a key role to play,
16 focused on the abatement of emissions in the hard-to-
17 abate sectors that we'll talk about in a minute. And
18 through that hydrogen, about 350 million tons of CO₂
19 can be abated per year, and that's the 8 percent that
20 you see there in the note.

21 On the left side, we look at the total cost to
22 society of achieving net zero as a function of U.S.-
23 projected GDP, and our study estimates that the cost of
24 reaching net zero will cost about 3 percent of GDP.
25 Again, that's not just for hydrogen deployment, but

1 that's as an optimized deployment of all solutions.
2 And if LCI hydrogen were not to be deployed, the cost
3 to achieving those same results would increase by about
4 half a percent to a full percent of GDP, so up to 30
5 percent more costly to reach net zero without hydrogen.

6 So, therefore, we believe it's clear that LCI
7 hydrogen does have a role. It needs to be targeted,
8 but it's an important role in supporting U.S.
9 emissions.

10 As just an additional reference here, the
11 model does include assumptions for deployment of all
12 technologies, including DAC, which is one of your
13 higher abatement solutions here. And while the average
14 cost of abatement in net zero in terms of cost of
15 dollars per ton of CO₂ is about \$230 per ton of CO₂, at
16 the upper range, the marginal abatement is as high as
17 \$700 per ton in what we're showing here.

18 So what sectors are going to benefit the most
19 from hydrogen deployment relative to other solutions?
20 When we look at the demand side, this is generally what
21 we call the hard-to-abate sectors. And, so, you see
22 industry here. This is heavy industry like refining,
23 chemicals, steel, or others. Some of these industries
24 are using hydrogen already as a feedstock, and some are
25 using natural gas, coal, other energy sources with

1 resulting carbon emissions. But in all cases, those
2 heavy industries are looking for reliable, high-heat
3 solutions to run their operations.

4 What you also see here is heavy-duty
5 transportation can be considered a hard-to-abate
6 industry, and that includes not just heavy-duty truck
7 transport but also aviation and marine fuels. And
8 then, furthermore, you'll see that we continue to have
9 a need for dispatchable power. And, so, there,
10 hydrogen can help ensure resiliency of the electrical
11 grid. And, finally, we anticipate exports as well. So
12 much like the U.S. today is an exporter of LNG, we
13 believe in the future there's a role for hydrogen
14 exports, either as hydrogen or hydrogen derivatives --
15 ammonia and methanol -- products like that.

16 And, so, in the stated policy scenario, you
17 see a modest adoption across these sectors, with
18 industry taking the bulk of the demand, but basically
19 overall demand growing from a little over 10 million
20 tons a year today to a little over 20 million tons in
21 2050, so still a doubling. But in the net zero
22 scenario, we're required to go much further. Demand
23 will reach up to 75 million tons a year, which is a
24 seven-times increase to today's demand.

25 And, so, if activated with these additional

1 policies, that demand would still be primarily for
2 industrial heat being the main driver of about half the
3 total, with demand for heavy-duty transportation,
4 dispatchable power, and export about equally split
5 across that remainder.

6 So let's talk about how that hydrogen will be
7 produced. So we focus on two main pathways for
8 production, namely electrolysis with renewable
9 electricity. This is sometimes renewable hydrogen;
10 it's sometimes called green hydrogen. And the second
11 pathway from natural gas reforming with carbon capture
12 and storage, sometimes called low carbon hydrogen or
13 blue hydrogen.

14 So under stated policies, we see that most of
15 what's produced today that is unabated hydrogen will be
16 shifting to abated with CCS, and we see a modest
17 increase in adoption of electrolytic hydrogen. The
18 scaling that's required to support the net zero case
19 results in the abatement of all currently unabated
20 hydrogen production, plus a massive buildout of
21 relevant facilities and infrastructure to supply that
22 increasing demand.

23 And, so, for the natural gas with carbon
24 sequestration pathway, that requires reforming
25 technology supply chains; it requires CCS and related

1 infrastructure. For the renewable pathway, it means
2 reducing the electrolyzer cost, establishing strong
3 manufacturing capabilities at scale, and the
4 development of renewable power. Of course, all of this
5 needs to be able to be permitted; it needs to be
6 accepted in the local communities; and it needs to be
7 operated safely.

8 That scale-up represents a sizeable challenge.
9 Our modeling estimates that it would cost up to \$1.9
10 trillion of capital investment between now and 2050.
11 That's for the production side alone, without
12 addressing the switching cost. Ninety-five percent of
13 that total would go to the renewable pathway because of
14 all of the infrastructure and renewable buildout that
15 would need to happen in that case.

16 When we look at where the deployment will
17 occur, our study is going to go into a lot of regional
18 details. So look at what anchors demand, where that
19 demand occurs, and what the required infrastructure is
20 across the scenarios and across time. So this is just
21 an example. This is what you'll see on the demand side
22 in the net zero case, showing 2030 and 2050. Primarily
23 here, you see largest demand sectors in the U.S. Gulf
24 Coast and the U.S. West Coast. The Great Lakes region
25 and the Midwest region, they show the most adoption.

1 The regions that activate first are where we
2 have existing anchoring demand, policy support,
3 including the recently announced hydrogen hubs and
4 areas that have advantage renewables, advantage natural
5 gas resources, or access to infrastructure. While we
6 don't show the hydrogen hubs here, we do believe
7 there's good overlap and that those are necessary and
8 needed for the early activation across all of these
9 regions.

10 As we mentioned, with the existing policies,
11 you still expect to see a doubling of the existing
12 hydrogen demand, but to move to the expansion and net
13 scale phases, more will need to be done to build upon
14 the success of those hubs.

15 Just to elaborate much more clearly on this
16 gap to adoption, our study team thinks this is very
17 important. So this is an example showing specifically
18 some of the modeling output, looking at the Gulf Coast
19 region in 2050 of hydrogen supply to industrial
20 customers. And, so, to orient you a bit, on the left
21 side of this chart, we have the estimated delivered
22 cost of hydrogen across both of the production
23 pathways. And you see here the cost ranges that are
24 resulting, including cost declines that are expected
25 over the period with technology improvements and

1 infrastructure buildout.

2 What you see here is that the natural gas and
3 CCS pathway -- the blue -- is somewhere around the \$2
4 per kilogram production cost, and the green through
5 electrolysis is somewhere in the \$3 to \$6 range. These
6 do not assume 45V credits because those are assumed to
7 have expired by that point in time, and this is, again,
8 meant to elaborate the point that current existing
9 policies get you activation but still leave more
10 progress to be made in closing the economic gap. It
11 does not naturally occur.

12 The right side of the chart shows the
13 approximate cost, and this is a whole -- in 2020
14 dollars, the hydrogen would need to be delivered at in
15 order to compete at parity with incumbent feedstocks or
16 fuels for a refinery or an industrial customer. And,
17 so, what you see here is this trajectory,
18 unfortunately, does not meet the dollar-per-kilogram
19 earth shot, but it shows why that is very important.
20 And it shows that there is a gap here that if the value
21 of CO₂ emissions reduction is not addressed, the
22 natural adoption of hydrogen is very limited when
23 looking at economic cost parity.

24 And, so, again, we believe that it's very
25 important that current policy efforts close the cost

1 parity gap and encourage technology development to
2 drive down costs, but also recognizes that there is a
3 value to the carbon reduction that needs to be
4 addressed.

5 And, so, as we go into what to expect in the
6 final report on recommendations, we will be elaborating
7 these in detail in the spring, but first, policy and
8 regulatory measures are going to be most critical to
9 close that cost gap, to recognize that there are less
10 expensive incumbent fuels that come with a higher
11 carbon intensity. And, so, we need to enable timely
12 development of these projects, but it requires us
13 having clear and long-lasting policy, and we need to be
14 able to permit and build these facilities and the
15 infrastructure that's required.

16 We also need targeted research and development
17 and demonstration. We need technology investments that
18 can help remove some of the technical bottlenecks and
19 expand the potential application beyond hydrogen's
20 current use. And that is necessary to help bring down
21 the costs and, again, close that gap.

22 And, then, finally, we need to intentionally
23 account for the safety, societal considerations and
24 impacts, which this study calls SSCI. That will be
25 critical in increasing public acceptance and

1 collaboration. That will be necessary to support
2 timely development of these projects, and it will be
3 important to ensure that those communities have an
4 informed voice in the development of the market, that
5 they understand it, that these facilities are not only
6 built, but they're also safely deployed and operated.

7 And, so, reaching this at-scale deployment
8 will require coordinated action and urgent action if
9 hydrogen is going to reach its potential at scale
10 beyond the initial activation stage. And, so, all of
11 those recommendations will come in detail at the report
12 in April.

13 So thank you. That concludes the progress
14 report, and I turn it back over.

15 MR. WOODS: Okay, Austin, thank you for that
16 update. We have a few minutes here to take questions
17 from members of the Council. And I'd look to the
18 Secretary to see if she'd like to start.

19 SECRETARY GRANHOLM: Yeah, just a couple of
20 questions. Number one, I noticed that the regionality
21 that you've identified roughly corresponds, as you
22 noted, to the hydrogen hubs. I'm just wondering how --
23 if the hubs themselves will be referenced in the
24 report. I mean, you'll be -- how will they be
25 addressed in the report?

1 MR. KNIGHT: We will reference the hubs. So
2 it's been an independent effort, as you know, in
3 development of this modeling from the decisions made
4 for the hubs. And what we'll be able to do is
5 reference, as well as look at the regionalities,
6 reference where those hubs sit. And, of course, now we
7 know more about the projects that are proposed to sit
8 within those hubs, and so I think we'll be able to draw
9 some parallels here.

10 The report does not intend to go into detailed
11 analysis of what those hubs actually are or what the
12 awards are, but only reference how that supports also
13 the views here of activation with the goal of getting
14 to scale.

15 SECRETARY GRANHOLM: Great. And, then, the
16 tax credit at \$3, your concern is that it expires over
17 a period of time. Is \$3 the right amount? Are you
18 going to have a policy recommendation regarding the
19 amount that would get us to parity?

20 MR. KNIGHT: We will be discussing that, and
21 if you go back to this view here, that would lead me to
22 believe that on those scales, you can see the impact of
23 what \$3 would bring. And, so, we'll be discussing both
24 that economic gap, the desire of clarity of that policy
25 so that there's an application that's understood when

1 calculating carbon intensity and that there's also a
2 longevity of that credit that matches with the way
3 investment decisions are made. And, so, you could
4 expect things along those lines.

5 SECRETARY GRANHOLM: It's going to be super
6 helpful, super helpful as we, you know, make the case
7 for continuation and for extension, and really the fact
8 that this is being so thoughtfully done, and with a
9 broad array of voices, super important. So thank you
10 so much for the work that you're doing.

11 MR. KNIGHT: You're very welcome. Thank you.

12 MR. WIRTH: Yeah, we'll start with Mark, right
13 up here. Mark, the microphone is on the way.

14 MR. BROWNSTEIN: So Mark Brownstein,
15 Environmental Defense Fund. So first of all, Austin, I
16 just wanted to compliment you for the thorough and
17 excellent process that you've been running. It really,
18 I think, is a credit to the Council, right, that such
19 an excellent job is being done, so thank you.

20 Of course, we have continued to have some
21 suggestions for how we improve the work, and, of
22 course, we'll be sharing those with you in due time,
23 but my question is this. Darren noted the evolving
24 energy conversation that's happening globally at the
25 COP and elsewhere. And, of course, the United States

1 is not the only country looking at hydrogen. If you
2 spend any amount of time offshore, you hear this
3 conversation in Europe, you hear this conversation in
4 the Middle East, you hear this conversation in Africa.

5 As we think about the various dynamics that
6 will help bring down the cost of hydrogen, how are we
7 thinking about the influence of activities in other
8 parts of the world relative to the innovation and cost
9 and scale that is needed, not just in the United States
10 but elsewhere?

11 MR. KNIGHT: Yeah, thank you, Mark, and EDF
12 has been a regular supporter of the effort we're doing
13 here, a lot of good debate, dialogue, input, and I'm
14 really appreciative for that working relationship that
15 we have on this study. And, definitely, when we think
16 about all of this, anything in this space, you have to
17 think globally around these climate goals and what
18 exists around the world.

19 We also have to limit the scope of the study
20 to something that we can actually deliver, and so
21 specifically to the U.S., we put a lot of effort in
22 drawing the boundary conditions on the modeling work
23 around the U.S. And, in fact, that's pretty unique
24 because a lot of what we see in the world right now,
25 the reports that are out are at a global scale with not

1 a lot of regional granularity.

2 But that interaction exists, and we know that
3 these forces do not act in a vacuum. And, so, when we
4 look at this role, we have considered, with all of the
5 experts that we have in the room on technology
6 development, manufacturers, the EPC companies, the
7 global intelligence and knowledge that we have on where
8 these technologies are going to go, what the deployment
9 is likely to be, what does it actually take to build
10 these things, because all of us at the table actually
11 build and operate these facilities. And, so, we're
12 bringing that pragmatism into it but also that optimism
13 for the future to take a view of what does it really
14 take to get there.

15 We've included, then, an export component from
16 the U.S., which does help in the activation and the
17 building out the infrastructure that you can build upon
18 to get to scale because there are many countries around
19 the world looking to the U.S. for these solutions.
20 They are energy importers today, and they expect to be
21 energy importers in the future, and so they need
22 solutions that will come from here. And, so, we've
23 drawn our boundary conditions around what can happen in
24 the U.S. and what's at that interface.

25 Again, the model is just a model, but it's

1 very useful, and we have that global perspective as
2 we've started to make these recommendations. Of
3 course, we're making recommendations for the U.S.
4 We're not making recommendations to other governments
5 around the world, but we hope that they do look at
6 these as a model for what good practices are moving
7 forward.

8 MR. WIRTH: Hey, Mark, I might just add to
9 that. You know, if you think about it, the variations
10 you see in the U.S. regionally, so the input costs,
11 some places have got better wind and solar resource
12 than others. Some places have got access to lower cost
13 natural gas and have better access to carbon storage.
14 I think that will vary around the world as well. I
15 think technology costs are generally assumed to be
16 widely available. These are going to be electrolyzers,
17 best quality will be available globally. So you can
18 think of that as being pretty neutral there.

19 Markets and demand will tend to vary, right?
20 So you've got big demand centers like Asia that are
21 going to be really important that we figure out how to
22 serve. And, then, storage and transportation matter,
23 right? And, so, how we manufacture the hydrogen is a
24 big part of it, but for some markets, we may have to
25 transport it longer distances than others.

1 And, so, I think those are all going to be the
2 drivers. And, then, of course, policy, where the U.S.
3 has led in terms of policy support continues to be very
4 important, as Austin's noted. And I think it's going
5 to be incumbent upon those of us that have global
6 operations to try to help governments around the world
7 understand, in their particular set of circumstances,
8 what policies can help enable the kind of adoption that
9 we're talking about here in some of the other big parts
10 of the world.

11 So while the study won't address it
12 specifically, I think a lot of the principles that come
13 from this and the conclusions can be applied in
14 dialogue with countries around the world that are very
15 interested in the topic and that, you know, many of the
16 participants in the study are currently engaged in in
17 trying to figure out to build these new value chains.

18 MR. WIRTH: A question back here in the third
19 row.

20 MR. KEOHANE: Yeah. Thanks. Thanks very
21 much. Nat Keohane. I'm the President of the Center
22 for Climate and Energy Solutions and relatively new to
23 the Council, so I appreciate the chance to see the work
24 that's being done, which is terrific, and just wanted
25 to make a quick observation, and it's relevant to the

1 slide with the cost gap.

2 And you referenced the value of carbon and the
3 need to incorporate that, and if I look at the -- I
4 think the best work that's been done on the social cost
5 of carbon by my friends at Resources for the Future,
6 and Richard Newell is sitting right in front of me, if
7 I look at their online explorer and I find that the
8 2050 value of the social cost of carbon, the central
9 cost for their modeling, is about \$330, so if you
10 figured we're talking, you know, roughly speaking, it's
11 about a hundredth of that in terms of the SMR, the kind
12 of value of carbon associated with the SMR -- with SMR,
13 that would be about \$3.30, which would more than close
14 the gap.

15 And, so, the point I would like to make is I
16 think when you present that, when you think about how
17 to present the threshold price comparison, it might be
18 useful to be presenting the value of carbon that we can
19 look at and we can project. And if you showed that
20 value of carbon, what you'll see, and, of course, this
21 -- we need policies to implement this, to the
22 Secretary's point, but if you showed that, I think it
23 would be instructive because it would show that on an
24 economic perspective -- I'm an economist, so I think a
25 lot about that -- if you include the cost of carbon,

1 what you'll see is that actually the cost, even of the
2 renewables, would be competitive, even under the
3 assumptions that are made in the study.

4 And, so, I think that would be useful just as
5 a benchmark to show folks who read the study that need
6 for policy is still there, but in terms of the
7 economics of it, it still looks like a good deal to be
8 doing LCI hydrogen. Thanks very much.

9 MR. KNIGHT: Thank you for the comment. It is
10 the intention that we'll be able to speak to, in
11 detail, the carbon intensity of these things and that
12 gap with the scenario we have around net zero where you
13 force a price of carbon across the whole energy system
14 and you look at the tradeoffs, it's included in some of
15 the output that you'll see when we look at these
16 things.

17 And, so, we have all the trajectories for that
18 CCS pathway, what you have there. You know, those
19 pathways start out just under the four-kilogram-per-
20 kilogram clean hydrogen threshold, but over time, they
21 come down. By 2050, we're expecting they're actually
22 close to one kilogram per kilogram. And the
23 electrolytic pathway is at zero, and so that is not
24 apples to apples to the incumbent fuels unless you
25 consider the carbon intensity. And really you

National Petroleum Council Meeting

12/12/2023

1 summarized the point really well, so we'll make sure
2 that that all is captured in the report.

3 MR. WIRTH: Okay, Austin, I am going to
4 continue to pay attention to the math, and we do
5 have -- the Secretary has got some other commitments
6 today, so I want to thank you for your update. There
7 will be an -- the steering committee meets immediately
8 after this meeting, and so happy to take other comments
9 and engage in more dialogue for those of you who are on
10 the steering committee.

11 Thank you, Mr. Chairman. I'll turn it back
12 over to you.

13 MR. WOODS: Thank you, Mike.

14 And, Austin, thank you for your effort in
15 bringing this study as far as it's come in the time
16 you've got. We look forward to the conclusion, which I
17 guess we'll be presenting in the April 23rd Council
18 meeting.

19 And, Mike, thank you for your leadership on
20 this. Great work.

21 The next item on the agenda is we'll hear from
22 Ryan Lance, Chair of the NPC Committee on Greenhouse
23 Gas Emissions, with the update on the progress of their
24 work.

25 Ryan?

1 MR. LANCE: Great, great. Thank you, Darren.
2 Thank you, Mr. Chairman. Madam Secretary, thank you
3 for the opportunity.

4 I also want to say a big shout-out and a
5 thank-you to all the people in the room here today.
6 Thank you for adding your staff. To the Department of
7 Energy, thank you for your hard work in terms of
8 helping us progress the study as well.

9 So, today, we're going to present an interim
10 report on the -- to the NPC group here today on how to
11 reduce the greenhouse gas emissions that come from the
12 U.S. gas value chain. So there are three important --
13 Robin, three -- three important factors that I want you
14 to think about as we go through the course of this
15 study that we took into account and that you'll hear
16 from our study lead as well, John Dabbar here going
17 forward.

18 And those are what does security mean, so how
19 do we meet the demand reliably in the United States;
20 what about equity, how do we provide access that is
21 affordable; and, then, of course, how do we do it
22 sustainably, addressing both the environment and
23 climate change that we know is real today.

24 So the value chain which delivers our natural
25 gas to our consumers today produces GHG emissions.

1 That's clear. What you will hear today is a status
2 report on the study that will help us deliver
3 recommendations to the NPC on how to reduce those GHG
4 emissions and deliver that to the Secretary of Energy.

5 Now, the study will also provide us an
6 overview of a report that will be also due out in the
7 spring of next year, but I'd like to point out some --
8 three unique aspects of this study that I don't think
9 the NPC has ever really generally considered before
10 when they brought on efforts like this. They were
11 mentioned today by the Secretary, and I think it
12 overlapped a little bit with what Austin and Mike
13 talked about in the hydrogen study as well, and that is
14 what we call LCO, or the less-capitalized operators.

15 So this is getting input from those small
16 producers across the United States, which represent a
17 fairly large production. I think John Walker was
18 referring to that earlier today in some of his earlier
19 questions as well, so trying to wrap in those comments
20 from those small operators that represent a pretty
21 significant amount of production across the United
22 States, and also what I think we termed SCI, I think
23 the hydrogen study termed that a little different.

24 Madam Secretary talked about this as well, but
25 what -- a start to framing out what an engagement might

1 look like to address the societal impacts that come
2 from the GHG emissions that we produce in that natural
3 gas value chain, so an attempt to start to engage with
4 communities and build a framework around what that
5 engagement might look like.

6 And, then, no study would be complete without
7 our own model, so we have a model as well. And -- but
8 the model is important because it tries to go at the
9 life cycle assessment of what those GHG emissions would
10 look like through the life and across the entire value
11 chain, dealing with what Deputy Secretary Turk talked
12 about, the Scope 1 and the Scope 2 emissions. So we
13 don't try to go as far to the end use emissions, so it
14 is important to recognize that this addresses what's
15 commonly referred to as the Scope 1 and the Scope 2
16 emissions that come from the natural gas value chain
17 that we have here in the United States.

18 Now, the study is still a bit in progress, and
19 it won't be finalized until Q2 of next year; however,
20 there are some emerging themes that are coming out of
21 that. Regulations will, in fact, reduce greenhouse gas
22 emissions, and we're seeing some of the results of that
23 with the recent EPA -- finalized EPA rules that came
24 out here last week. But there is uncertainty between
25 methane detection and methane quantification. So the

1 technology has to improve; the quality of that
2 technology has to improve. So generally industry can
3 figure out when a methane event occurs, but the
4 quantification, the rate that it's coming out and the
5 duration and quantification of that is still very
6 nascent technology today and needs a lot of work. And
7 that will come out in this report as well.

8 There are emerging identification of market
9 mechanisms or incentives that will certainly help in
10 the GHG reductions across that value chain. You'll
11 hear some more about that. And then John will also
12 talk about some of those societal impacts, some of what
13 we heard from engagement with some of the local
14 communities throughout the country that are starting to
15 frame up that -- what a solid engagement might look
16 like as we build out some of the infrastructure and do
17 some of the things that are required to reduce the GHG
18 emissions. And that's where we crossed over with
19 Mike's study and what Austin talked about in terms of
20 those same impacts of trying to build an industrialized
21 facility like hydrogen.

22 So you have -- you've heard the details about
23 the H2 study, and you'll see some of those linkages
24 that we provide with the GHG study as well.

25 So with those opening comments, let me turn it

1 over to my colleague, John Dabbar, who is chairing the
2 Subcommittee on the GHG reduction study for the NPC.
3 Thank you.

4 John.

5 MR. WOODS: And, John, maybe I'd just add real
6 quickly, the Secretary has a hard back end at 10:50 so
7 we can make sure we hit the key points of the study
8 before she has to depart.

9 MR. DABBAR: Yes, sir.

10 MR. WOODS: Okay, thank you.

11 MR. DABBAR: Well, thank you. This is a
12 rapidly evolving space. We saw that the federal and
13 state regulations on methane came out just last week,
14 and we're rapidly working to incorporate those
15 regulations into the study. COP28 is ongoing, and
16 we're seeing daily headlines. There's also ongoing
17 research on this subject. During the conduct of this
18 study, our participants published literally dozens of
19 peer-reviewed technical papers on GHG emission
20 reduction. So there's a tremendous body of knowledge
21 that's current and that's rapidly moving.

22 We could not pause the study until everything
23 was settled. So we are taking into account everything
24 that we can get and updating it up to the last minute
25 when we deliver the study for the steering committee

1 approval.

2 A brief overview of the structure of the
3 study, we received the request from Secretary Granholm.
4 It's described on the left. The way we're structuring
5 that study is shown on the right, and I'll highlight a
6 couple of really important points. We are addressing
7 methane and CO₂. As we look at the natural gas
8 emissions contributions to the three goals outlined in
9 the request, it rapidly appeared that we should address
10 methane and the causes of methane emissions and the
11 causes of CO₂ emissions at the same time without
12 selecting between the two. So I'll be able to describe
13 later in the presentation how we've categorized those
14 and what specific areas we're going to recommend
15 addressing.

16 We had the first-of-a-kind societal concerns
17 and impacts work completely in lockstep with the
18 hydrogen study. We also, first of a kind, actually had
19 polling and surveys of communities to get direct input,
20 not conclusive. This is not advertised as we've
21 figured out how to handle societal concerns. It is
22 really an emerging part, first of a kind, in this
23 study.

24 The last point I'll emphasize is that
25 emissions reduction infrastructure and siting and

1 developing to reduce GHG emissions, that requires
2 building kit, repairing kit, modifying equipment. All
3 of that takes place near some community and will have
4 some impact on that community. So on the one hand,
5 we'll be making recommendations about improving the
6 permitting process, at the same time with
7 recommendations on engaging communities to get
8 meaningful input on what we're going to build, repair,
9 and modify.

10 Finally, we'll talk a bit about measurement
11 and detection, and I'll have a separate piece of the
12 presentation on that.

13 In terms of our timeline, we're in the green
14 bar right now, following the process that we'll go
15 through for SteerCo and study committee approval and
16 the final approval scheduled for April 23rd.

17 Immediately after that, along with my colleagues from
18 DOE and my co-chair, Ryan Peay, we will be
19 communicating the findings of that study to both the
20 Administration, to regulators, to legislators, and
21 across state organizations to show, yes, you can read
22 the 400-page study, but we want to draw your attention
23 to this very specific item that you have the ability to
24 do something about.

25 A brief note about the scope of the study. So

1 looking at the energy trilemma -- security, equity, and
2 sustainability -- what is in scope? Well, very
3 specifically, the value chain from wellhead either to
4 delivered LNG or domestic users, both commercial,
5 industrial, and residential, we evaluated six
6 representative value chains, and that was the work that
7 we did in our life cycle assessment meta-model, and
8 I'll discuss that in a little bit more detail. One of
9 the key points that it addresses, both different
10 producing basins, different destinations, and different
11 types of end-users, and both dry gas and associated
12 gas.

13 As noted before, GHG emissions from customers'
14 end use, the so-called Scope 3, we chose to make those
15 out of scope, out of the study scope. For practical
16 reasons, we think there are many ways of addressing
17 Scope 3 emissions. We wanted to focus on for, of the
18 natural gas that is produced, delivered, and used, how
19 do we reduce its GHG footprint, and with a focus on
20 what is inside the Lower 48. We did a survey of gas
21 production outside of the Lower 48, and we said it was
22 really something that didn't really require the work of
23 the study group.

24 First-of-its-kind study elements. We really
25 engaged with less capitalized operators, and you can

1 see on the chart parts of the country where we actually
2 held workshops with over 75 operating companies to get
3 their input, literally down to a guy that owns one
4 well. And, so, we wanted to get that input because
5 they are somewhat under-represented in the NPC
6 membership, but they're roughly 20 percent of the
7 natural gas in the gas in the country is produced by
8 this sort of long tail of small producers, and we
9 wanted to get their input.

10 One of the interesting learnings from that --
11 and I'll telegraph it -- is a lot of the small
12 operators actually have great operational practices
13 that they've done locally without waiting to be told.
14 And we found great opportunity to share best practices,
15 and we've been making a recommendation to DOE on how we
16 can encourage and provide a forum for sharing of best
17 practices between different operators in different
18 basins.

19 On the area of societal concerns and impacts,
20 you can see, also, where we had polls and focus groups
21 in areas as diverse as Midland and New York City. And,
22 so, we really wanted to try to get diverse input from
23 people and get their input on how do they engage with
24 the natural gas industry. In many cases, it was the
25 first time they'd ever heard from anybody in the

1 natural gas industry.

2 And, finally, our meta-model, meta is a term
3 of art. That means a model created based on the hard
4 work of other modelers. We did not create a model from
5 scratch; we created it based on existing input, and we
6 validated it. And one of the key takeaways I'll talk
7 about in a moment is that it greatly reduces the number
8 of variables that the modeler needs to look at in order
9 to figure what's important.

10 So I'm going to tell you how the story ends.
11 These are the key findings and themes that are emerging
12 at this point. I'm not going to work through the
13 details of explanation and justification of each one
14 because that will come up in the final version of the
15 report, but I would like to point out that while
16 natural gas will continue to play a crucial role under
17 any of the EIA scenarios, and I'll show you some data
18 on that, measurement-informed estimates of emissions
19 are critical. Measurement-informed, and this is an
20 important concept because we don't really recommend
21 measuring every molecule at all times every place, but
22 rather having a combination of enough measurement and
23 enough engineering data to have good estimates of what
24 those emissions are. And I'll talk more about that
25 later.

1 We see a clear underscoring of the need to
2 mitigate methane emissions. That's unqualified. Need
3 to mitigate methane emissions, and that means building
4 kit, repairing equipment, installing stuff, and that
5 means permitting. Permitting also means engaging with
6 communities. And we know, and we did as part of our
7 study, identify that industry has a lot of existing
8 best practices on how to engage with communities.

9 We've been doing this for years. It's done
10 differently in different places. What we're really
11 seeing is the opportunity for a more comprehensive
12 analysis of not just what we already know we should do
13 but what are the other things that ought to be doing
14 that would really consider it as best practices so that
15 we could all say, yes, what we have done is meaningful
16 community engagement and that the communities would
17 agree with that, because they are also keeping score on
18 what we do.

19 And, then, finally, a brief discussion today
20 about regulatory harmonization, market mechanisms, and
21 technology deployment, and always recognizing the
22 tremendous work that DOE and the National Laboratories
23 complex have done in this space and the contributions
24 that they provided, both to the study and to the
25 practice of reducing GHG emissions.

1 One question that the Secretary's study letter
2 asked us to address were the state of U.S. GHG
3 emissions. And, so, I'll just briefly cover the
4 current state. You can see primary energy by source,
5 and the obvious line there is natural gas versus coal
6 are sort of the main divergence, but it does show that
7 there's sort of an all-of-the-above, even, you know, in
8 today's measurement of primary energy production and
9 that historically natural gas displacing coal has had a
10 positive benefit on GHG reductions.

11 In the future state, we asked EIA to evaluate
12 scenarios -- public scenarios -- on what the future of
13 natural gas supply is. There was not a wide divergence
14 there, and you can see that we have a reference case
15 and even the high and low case, a fairly narrow band of
16 what they expect in terms of that. There was a level
17 of detail below this that we had to get into, which was
18 where -- which basin and which destination would that
19 gas go to.

20 So we do have a piece of the study where we're
21 analyzing one level below this. I won't get into the
22 detail on that today, but it's important because the
23 basin and the destination actually has a big effect on
24 the GHG emissions in that value chain.

25 So we looked at detection and quantification

1 as one of the study requests, and I'll point out that
2 there's sort of a three-step process: detect, a rate,
3 and an annual release. Detection is a pretty mature
4 technology. It's really well known, and we show five
5 of the different sort of types of technologies and
6 platforms that are used to detect methane. It's pretty
7 mature. We can find it, and we can find it pretty
8 promptly.

9 The challenge, then, becomes converting it to
10 a rate, and for the engineers, you'll recall a rate is
11 quantity over time. So one of the biggest challenges
12 is that things that can perform well in a somewhat
13 laboratory-type setting to prove up methane detection
14 and quantification, in a real-world setting, it's quite
15 a bit more challenging. The work that DOE has funded
16 in Colorado State University at METEC has given some
17 great data, but we're also seeing that there are gaps
18 in our ability to actually quantify it. And it's
19 something as simple as how much do you know about what
20 the wind is blowing at exactly that location and how
21 complex is the wind field.

22 So the third point there is around
23 calculating annual releases, which is then taking
24 those instantaneous rates of emissions and integrating
25 them -- sorry, we had to use a lot of math --

1 integrating them to come up with an annual quantity of
2 emissions, yet another ability to calculate both the
3 time -- the quantity, the volume, over time, and then
4 sum all that up over a time period to come up with the
5 overall quantity.

6 We basically broke this out into two sort of
7 not conflicting but complementary goals. One is the
8 ability to detect and react, incorporating operational
9 data and control systems and SCADA systems so that
10 operators can identify and respond to unexpected
11 emissions. The second, not different but a different
12 pathway, is how to quantify and give a good inventory
13 for the GHG inventory and reporting system and report
14 on a compliance basis as well as an inventory basis.

15 Those are not different -- they're not
16 different -- they're not opposed goals, but they
17 require quite a different action. As some of the
18 operators have told me, can we just find out that we've
19 got an emission and go fix the leak without spending
20 time quantifying how big the leak was? That's an
21 interesting question, and that's the kind of hard hat
22 response to the problem that we're dealing with.

23 The academic team -- and thank you again for
24 the UT Austin folks that worked on this -- gave very
25 good input on what's needed in order to have better

1 quantification. I'll briefly talk about what we did on
2 our meta-model and our life cycle assessment. The real
3 key output from this is that we determined that while a
4 full life cycle assessment takes hundreds of variables
5 that all have to be accurately defined, our meta-model
6 winnows that down to the top 21 metrics. And we use
7 those top 21 key modeling inputs or metrics to
8 correlate with what we saw as the things that needed to
9 be done to reduce GHG emissions. And I'll get to that
10 slide in just a moment.

11 So you'll notice here that methane on the
12 left, CO₂ on the right, and you'll notice that the
13 emissions that come -- that we're analyzing, they're
14 quite different. There's literally no source of
15 methane that's also a source of CO₂. We found very
16 little overlap, with essentially only flaring and a
17 little combustion slip. For the most part, we can fix
18 methane with a set of solutions; we can fix CO₂ with
19 mostly a different set of solutions that are not
20 contradictory to each other.

21 We laid out a 2030 approach based on existing
22 policies. Notably, when we talked about durable
23 regulation, we assumed that everything that had been
24 put in place up through the end of '22 -- 2022 --
25 Inflation Reduction Act, et cetera, that that all

1 stayed in place, since that was our go-forward plan.

2 Then we had three future plans for 2050,
3 existing policies, which is that all stays in place. A
4 continuing reduction, which is essentially a trajectory
5 along that same trajectory that had been put in place,
6 and then a technology improvement policy, which was if
7 there are specific targeted areas that could be
8 improved, and that was heavily focused on CO2
9 reduction, that could be reducing that last bar on the
10 right-hand side.

11 We did a lot of work in societal
12 considerations and impacts, as I've already mentioned,
13 polling focus groups, best practices, and the need to
14 have more engagement with communities. This was an
15 important area where we had alignment with the hydrogen
16 study. We had three areas of purposeful alignment.
17 The first was on natural gas carbon intensity, and as
18 my colleague, Austin, described, the carbon intensity
19 of reformed natural gas to make hydrogen with CCS. And
20 inside the study, we have a specific piece of work to
21 correlate how our outputs feed into their inputs.

22 The second on SCI, and we'll be providing
23 actually joint recommendations -- word-for-word joint
24 recommendations between the two studies.

25 And, then, finally, the key principles on our

1 life cycle assessments, we worked in tandem. It's a
2 fairly small community of practitioners that do LCAs.
3 They all, I think, participated in our two studies.

4 Finally, some notable differences around our
5 approach to carbon price, two different commodities and
6 sort of two different approaches to that -- the details
7 of that recommendation around carbon pricing structure
8 and some details around safety, which is somewhat new
9 and a lot of greenfield on hydrogen, whereas there's a
10 lot of brownfield existing infrastructure on natural
11 gas.

12 Finally, our next steps. Get 'er done,
13 deliver to the SteerCo, deliver to the members for a
14 vote, and then deliver it to the Secretary.

15 (Applause.)

16 MR. LANCE: So thank you, John. That's the
17 Reader's Digest abridged version of the ending there
18 with Madam Secretary. So any comments or questions,
19 we'd open to you first.

20 SECRETARY GRANHOLM: Just briefly. First of
21 all, thank you so much for this. I'm excited about
22 both of these reports because of the policy
23 prescriptions that will allow us to get to our
24 collective goal, and I so appreciate all of the
25 input from the groups that have been around the

1 table formulating. I know this has been a really
2 comprehensive effort and, therefore, that will ensure
3 its success.

4 I so appreciate your focusing on the societal
5 question and the community benefits, et cetera. And
6 I'm wondering if you haven't already, and you may
7 already have, but CEQ has got the White House
8 Environmental Justice Advisory Council. I don't know
9 if any of those members have been part of your focus
10 groups, but it would be, I think, helpful in many ways,
11 and I'm happy to make that connection if you haven't
12 already.

13 MR. DABBAR: Thank you. That would be
14 helpful.

15 SECRETARY GRANHOLM: That would be great. So
16 I just want to say thank you to you all for those of
17 you who are in the room who were participating in these
18 two studies. I just -- it's really exciting that there
19 may be a blend of private sector and policy that gets
20 us to this goal of reducing greenhouse gas emissions.
21 And, so, I just -- I want to thank you for the
22 seriousness with which the National Petroleum Council
23 has taken this, and I'm very grateful for that and look
24 forward to the final reports.

25 MR. WOODS: Thank you. And, John, I apologize

1 for rushing you, but I think even in the abridged
2 version, the thoroughness of the work you've done came
3 across to the audience, so appreciate you helping us
4 with the time, but great work and thanks for your
5 leadership.

6 And, Ryan, thank you for your leadership.

7 MR. DABBAR: Thanks.

8 MR. WOODS: And, Secretary, thank you for
9 joining us.

10 SECRETARY GRANHOLM: This has been great.
11 Thank you all.

12 MR. WOODS: Nice -- thank for working with us.

13 SECRETARY GRANHOLM: Appreciate it. Thank
14 you.

15 (Applause.)

16 MR. WOODS: We are pleased to have with us
17 this morning Brad Crabtree. As I introduced at the
18 beginning, he's the Department's Assistant Secretary
19 for Fossil Energy and Carbon Management. Brad's office
20 provides much of the Department's support for these
21 studies.

22 So, Brad, I'd like to offer you the
23 opportunity for any comments you might like to add this
24 morning.

25 MR. CRABTREE: Comments?

1 MR. WOODS: Comments, yeah.

2 MR. CRABTREE: On the report, but not closing
3 remarks? I just wanted to --

4 MR. WOODS: Any comments you'd like to make.

5 MR. CRABTREE: Okay, so --

6 MR. WOODS: Feel free.

7 MR. CRABTREE: But, I mean, do you want -- did
8 you want more discussion of this report, or do you want
9 me to provide my closing remarks?

10 MR. WOODS: Your closing remarks will be fine.

11 MR. CRABTREE: Oh, okay, that's why I wanted
12 to clarify. Thank you.

13 First of all, it's hard to do closing remarks,
14 and especially following what we've already heard. I
15 hope that -- there will be some of this is a bit of a
16 recap. Hopefully, I'll say a few things new, and I
17 recognize that you have other work to turn to.

18 Let me just start off with some thank-yous.
19 Thank you to you, Darren, for your services as Chair of
20 the NPC and leadership of the NPC. And, of course, I
21 want to thank the Secretary and the Deputy for their
22 participation and support of this effort.

23 But above all, Dave mentioned something that's
24 very true about these meetings, is that folks like me
25 speak but there are others in the room that do all of

1 the work. And, so, I really want to recognize John
2 Dabbar and Austin Knight for their role on the
3 committees and all the great work that you've both done
4 and the enthusiasm that you bring to that. A fist bump
5 is appropriate.

6 And, of course, Jen Wilcox, Ryan Peay,
7 Christopher Freitas and Sunita Satyapal for all that
8 you're doing on these committees and the great work
9 that you do on on behalf of DOE and FECM and the
10 Hydrogen and Fuel Cell Technologies Office. It really
11 shows, and it showed in the presentations. And, then,
12 of course, to all the members. And just I want to
13 thank you for these reports.

14 In the spirit of comments, like the Secretary
15 said, and I had written this down as I was listening to
16 them, I appreciate the breadth, the ambition, and the
17 sophistication all the way around in these reports. I
18 also, as someone who prior to my service at DOE, spent
19 years working to build consensus on energy and climate
20 policy among diverse groups of stakeholders like you
21 have on these committees, I also appreciate the effort
22 to get to consensus or near-consensus on these
23 recommendations.

24 In preparation this morning, I went through
25 again some of the specific recommendations, and I was

1 looking for -- looking at the percentages of what level
2 of consensus was achieved on each recommendation. And
3 that's impressive. It's also important.

4 I can't remember who mentioned this morning,
5 you can invest your end on the front -- you can invest
6 your time and effort on the front end and get broader
7 agreement on recommendations, or you can invest it on
8 the back end when you don't have a cohesive response
9 from all the affected stakeholders because you haven't
10 put that effort in. And you're doing the former, and I
11 think that's important. These reports will come out
12 well received because of that work.

13 And I don't want to be repetitive here, but I
14 just want to thank all of you for your serious
15 treatment of community engagement and community
16 benefits and impacts. You know, the Secretary spoke
17 quite passionately about her engagement with
18 communities in the Gulf Coast. I think many of us in
19 the room have had experiences like that in one place or
20 another that were quite moving, that really underscore
21 why this is the right thing to do, and the fact that
22 it's the right thing to do is reason enough.

23 It's also good business. I think as we look
24 at the dynamics in our country, and we -- and I talked
25 about this last year, but it's even more apparent one

1 year later. You know, I'm from North Dakota in the
2 Northern Plains, and I live on a ranch, and I have very
3 conservative rancher neighbors, and I would note that
4 they are opposed to wind energy development, and some
5 of them are also opposed to a proposed CO₂ pipeline.
6 And you have environmental groups in the same region
7 also organizing against these projects. So we're
8 seeing a phenomenon here that spans the political
9 spectrum. It also is not just my region; it's the Gulf
10 Coast. We're seeing it happen all over the country.

11 So going forward, it's absolutely imperative
12 that projects are pursued with really meaningful
13 community engagement and with a real eye and attention
14 to making sure that affected communities benefit both
15 economically and environmentally from these projects.
16 And, so, I think you're -- you know, it's just really
17 important what you -- what you're doing here to
18 incorporate that and really look at these issues in an
19 honest way.

20 More generally, we started off with some
21 discussion of the COP and sort of the general context
22 that we're all working in. And I'll just talk for a
23 bit in the context of these reports and what you're
24 collectively trying to do together, a bit of a
25 reflection on the industry and kind of what we're

1 seeing in this COP. In September, I had the
2 opportunity to be part of a meeting with both
3 international oil companies and national oil companies
4 from around the world. And the discussion was about,
5 well, what do we need to get out of this COP. And I
6 think the question could be asked more broadly than
7 just the COP, but that was the focal point of the
8 meeting.

9 And I really emphasized that the narrowing
10 window that we have for action for this industry to
11 have a path to decarbonization and to participate in a
12 decarbonized energy industrial future, and part of that
13 is just the urgency of climate change. The Secretary
14 and the Deputy talked about that, the fact that we all
15 see it. I made the point that there's an entire
16 generation of young people that are literally scared
17 for their future. And that's a dynamic that we didn't
18 have a few years back.

19 And, then, there's been comments made about
20 the trust deficit. So in -- I think that in the
21 context of this COP, you know, let's set aside the
22 swirling debate that's going on literally today. I
23 don't know if people have been looking at their phones,
24 if there's any news on what the outcome of the
25 negotiations are. We may not know until tomorrow, but

1 a lot has been accomplished before and separate from
2 this broader debate that's occurring in the
3 negotiations. And I just want to recap some of these
4 things because I think they're really important and
5 they're worth mentioning again.

6 You know, the Secretary and the Deputy both
7 noted that just ahead of the COP, 12 countries came
8 together as part of a working group that actually
9 includes 17 countries, the European Commission, and the
10 Eastern Mediterranean Gas Forum and announced a joint
11 statement and a commitment to work together to develop
12 a framework for measurement, monitoring, reporting, and
13 verification of greenhouse gas emissions in both
14 methane and CO₂ associated with the production,
15 processing, transmission, liquefaction and ultimately
16 transport of natural gas, both domestically and, of
17 course globally.

18 And that's something that your industry has
19 been supporting from the moment we started that effort
20 over a year ago at the Department of Energy. That's
21 really critical. This is something we can all do
22 together. We can do it in the here and now, and it
23 lays the groundwork for many of the other things that
24 need to follow in terms of methane mitigation and
25 fundamentally deeper decarbonization over time.

1 The reality is you can't solve a problem if
2 you can't agree on how to measure it. And that's
3 ultimately what this work group is about. And, again,
4 I appreciate your support for that effort.

5 In terms of mitigating methane emissions, the
6 Secretary mentioned the Methane Sprint. I confess I
7 was skeptical that significant resources would be
8 mustered around the world for this effort. I know
9 there was a target informally to about \$200 million,
10 and the commitments now are over a billion. That's a
11 huge step forward.

12 Also, at the beginning of the COP, this has
13 not come up, but it really deserves recognition, and
14 that's the oil and gas decarbonization charters. Some
15 of your companies in this room are signatories to that
16 effort. Last I heard, it was 52 companies. There may
17 be more that have already joined. But it's roughly 40
18 percent of global oil and gas production is represented
19 by the signatories to that charter.

20 There's a number of commitments that were
21 made, but I would in particular note the commitment to
22 near-zero methane emissions by 2030 and net zero in
23 Scope 1 and 2 by 2050, but especially that near-term
24 2030 methane commitment, that is profoundly important.
25 I won't repeat what's already been said about how

1 that's our nearest best opportunity to get traction on
2 the climate challenge and something that your industry
3 is absolutely -- is leading on and absolutely
4 positioned to do more.

5 And, of course, more needs to be done. The
6 charter is essentially silent on Scope 3 commitments,
7 and I would argue that some of the Scope 1 and 2 net
8 zero commitments should be brought forward to close to
9 2030. But that's not really the point. The point is
10 that companies that never made a commitment to anything
11 like this before are aligned globally, putting a marker
12 down, and that's the first step. And, so, I just
13 wanted -- I think it deserves some recognition.

14 The other thing that hasn't been mentioned,
15 and that's in addition to everything that we're doing
16 domestically on carbon management that has come up
17 today. Your companies in terms of policy from the
18 Administration and Congress, I was proud to see the
19 U.S. Government at the COP continue to elevate and
20 advance carbon management as one of the essential
21 pathways for reaching both the 1.5 and the 2-degree
22 goals that were set in Paris.

23 And, in particular, the carbon management,
24 which President Biden announced in April, had its first
25 meeting of leadership organized by the COP presidency.

1 There are now 20 countries that have signed up. It
2 represents every major region of the world,
3 industrialized countries, developing countries, East,
4 West, has the largest oil and gas producers in the
5 world. It also has two countries that have no fossil
6 fuels and fully decarbonized power sectors.

7 It's probably the most diverse group of
8 countries working together on energy and climate in the
9 world today, and all with the collective goal of
10 advancing projects to reach one gigaton of carbon
11 capture and storage by 2030. That's just really
12 exciting, and some of your companies behind the scenes
13 played a big role in helping us get to that point, even
14 helping recruit countries to join. So thank you for
15 that as well.

16 Just in closing, at our last meeting, I noted
17 the concern that I've had and that we often talk about,
18 the mounting polarization and skepticism towards the
19 oil and gas industry. It came up in the discussion
20 about the COP. The Secretary reflected on that. I
21 still go back to what I think the antidote to this
22 challenge is: facts on the ground, projects and
23 infrastructure that deliver real emissions reductions
24 and deliver real economic and environmental benefits to
25 affected communities and local stakeholders.

1 And the domestic investment and project
2 commitments that your companies are making, including
3 that attention you're giving to community benefits and
4 other impacts, is really critical, the roadmaps and
5 recommendations that are in these reports. And then
6 the broader global commitments that I mentioned that
7 some of your companies are a part of are all -- I think
8 represent really critical next steps for getting to
9 widespread deployment on the ground that will really
10 start to change the narrative and the reality of what's
11 possible.

12 So I think that with these reports, all of the
13 other things that we've discussed today, there's an
14 enormous amount to be done, as the Secretary and the
15 Deputy pointed out, and I think all of you in the room
16 would acknowledge, but you've really taken important
17 steps to start to build that, what I would call the
18 social and political space to be able to pursue a path
19 to decarbonization for your industry.

20 So thank you for your involvement, your
21 commitment, and your leadership in this effort.

22 MR. WOODS: Thank you, Brad --

23 (Applause.)

24 MR. WOODS: -- for your comments and for the
25 work you and your team have done to support this study.

1 It's very much appreciated.

2 MR. CRABTREE: Thanks, Darren.

3 MR. WOODS: We're now going to move to
4 administrative matters on the morning's agenda, before
5 we do that, though, we're going to conclude the
6 webcast. For those of you who are online, we thank you
7 for watching the proceedings this morning and encourage
8 you to download the slides presented today, which will
9 be posted on npc.org following the adjournment of the
10 meeting. So we'll now end the transmission.

11 And with that, we'll turn to the
12 administrative matters. The first administrative item
13 on this morning's report is a report of the Finance
14 Committee. Byron Dunn, Chair of the Finance Committee,
15 will present the Committee's report.

16 Byron, the floor is yours.

17 MR. DUNN: Thank you, Mr. Chairman. In
18 addition to reviewing periodic performance reports
19 throughout the year, the Finance Committee met three
20 times this past year to discuss the Council's finances
21 and most recently yesterday afternoon. Our August
22 meeting included review of the Calendar Year 2022 draft
23 audit report and the IRS Form 990 with Johnson Lambert
24 & Company, which is our Council's outside auditors.
25 The auditors provided the Council with good news, a

1 clean opinion letter which confirms our financial
2 controls are sound.

3 Yesterday afternoon, the Finance Committee
4 covered a variety of topics, including the 2023 year-
5 to-date projected year expenses and contributions and
6 collections. The Council anticipates 2023 spending to
7 be just under the budgeted \$6.2 million that you
8 approved last year, which includes substantial
9 expenses, as you would probably expect to support the
10 hydrogen and the greenhouse gas studies, along with the
11 printing of short-term actions and transition studies,
12 reports that we approved last December.

13 The Council Members responded favorably --
14 thank you -- to the 2023 contributions request with
15 anticipated collections for this year to be in the 92
16 percent range of our request. Yesterday's Council --
17 Committee discussed and agreed upon the 2024 budget
18 spending authority in the amount of \$5.986 million to
19 provide the resources required to complete the
20 remaining studies' operations, and to publish the
21 hydrogen and greenhouse gas studies as well. This
22 represents a 4 percent decrease from last year's
23 budget, so progress in small ways.

24 As part of the Finance Committee
25 recommendations, the individual suggested

1 contributions for 2024, we are recommending a 10
2 percent increase. The Committee believes that
3 this increase is required to avoid further erosion
4 of the Council's contingency fund, which we drew
5 upon for the last two years to assist in funding the
6 substantial costs required of these two studies.

7 We further recognize that much of the real
8 cost of the NPC studies is in the people that you
9 provide to perform those efforts, but we continue to
10 make these commitments -- or hopefully continue to make
11 these commitments as the Council must continue to
12 prudently manage and scrutinize every line item of
13 cost, and we're committed to do that.

14 So subject to your approval of the '24 budget,
15 the contribution recommendations of the Council will be
16 sent to you individually early next year. Those of you
17 who have not made your -- I say this every year -- but
18 those of you that have not made your 2023 contributions
19 yet are encouraged to do so with haste.

20 The Council's mission is to encourage and
21 inform governments, and it's never been more critical,
22 and I encourage you to respond with urgency.

23 Mr. Chairman, that completes the report of the
24 Finance Committee, and I move that we adopt the Council
25 -- be adopted by Council membership.

1 MR. WOODS: Thank you, Byron. We have a
2 motion to adopt the report of the Finance committee.
3 Do I have a second?

4 I have a second. Thank you.

5 Any discussion before the vote? Questions for
6 Byron?

7 (No response.)

8 MR. WOODS: All right. Will all those in
9 favor say aye?

10 (Chorus of ayes.)

11 MR. WOODS: Any opposed?

12 (No response.)

13 MR. WOODS: Thank you very much. The report
14 is adopted, and as Byron noted, the contribution
15 requests will go out shortly after the first of the
16 year for your hopefully prompt action.

17 The second administrative matter is the report
18 of the Nominating Committee. John Walker, Chair of the
19 Nominating Committee, will now present the Committee's
20 report.

21 John.

22 MR. WALKER: Thank you. I've done some work
23 to enable me to make the presentation. I'd like to
24 recognize Marshall Nichols, who did all the heavy
25 lifting and does so much heavy lifting for NPC, and I'm

1 very appreciative of all that he does.

2 The Nominating Committee has agreed on its
3 recommendations for NPC officers and chairs and members
4 of the Agenda and Appointment Committees to the
5 Council, as well as the five at-large members to the
6 NPC Co-Chair's Coordinating Committee. Accordingly, on
7 behalf of the Committee, I'm pleased to offer the
8 following nominations.

9 NPC Chair, Alan Armstrong. I'm sure you're
10 happy about that.

11 (Laughter.)

12 MR. WALKER: NPC Vice Chair, Ryan Lance, who
13 heartily agreed to do this.

14 For the Agenda Committee, we recommend the
15 following as members: Deb Caplan, Bob Catell, Joe
16 Gorder, Ray Hunt, Jeff Miller, Gretchen Watkins, Bill
17 Way, Bill White, Mike Wirth, and Dan Yergin, with Vicki
18 Hollub serving as Chair.

19 For the Appointment Committee, we recommend
20 the following as members: John Christmann, Paula
21 Glover, Dave Grzebinski -- my apologies, Dave -- John
22 Hess, Olivier Le Peuch, Mike Linn, Pierce Norton, Scott
23 Tinker, and myself, with Lorenzo Simonelli serving as
24 Chair.

25 In addition, we recommend the following as the

1 at-large members of the Co-Chair's Coordinating
2 Committee: Kevin Book, Maryam Brown, Ed Crooks, Marilu
3 Hasting, and Tom Jorden.

4 This completes the report of the Nominating
5 Committee, and on its behalf, I move that the above
6 slate be elected until the next organizational meeting
7 of the Council.

8 MR. WOODS: Thank you, John.

9 We have a motion to adopt the report of the
10 NPC Nominating Committee. Do I have a second?

11 COUNCIL MEMBER: Second.

12 MR. WOODS: Thank you. I have a second.

13 Are there any further nominations from the
14 floor?

15 (No response.)

16 MR. WOODS: Okay. Hearing none, we'll move to
17 the vote. All those in favor of adopting the report,
18 aye.

19 (Chorus of ayes.)

20 MR. WOODS: Any opposed?

21 (No response.)

22 MR. WOODS: Thank you for that. The report is
23 adopted. Thank you, John.

24 And, Alan, look forward to handing the gavel
25 to you. I'd just say to the group, Byron mentioned it,

1 I think, you know, over the last couple of years, we've
2 done some really important work here -- the hydrogen
3 and GHG studies, the carbon capture study that we did
4 prior to that.

5 Given where the world is trying to move to and
6 the impact and the particular -- and particularly the
7 impact on people around the world and economies, having
8 informed policy that tries to strike the right balance
9 between meeting the ambitions of eliminating emissions
10 but at the same time continuing to provide the needed
11 products and energy that this industry does so well all
12 around the world is critically important. I think the
13 work that we're doing here is critically important, and
14 so it's been an honor to participate in that and engage
15 in those discussions over the last two years, so I
16 thank the Council for that opportunity.

17 And, Alan, good luck to you.

18 MR. ARMSTRONG: Thank you.

19 (Laughter.)

20 MR. WOODS: All right, ladies and gentlemen,
21 before adjourning, let me remind you that we'll be back
22 here in the same room on April 23rd to receive the
23 final report from our committees on hydrogen energy and
24 greenhouse gas.

25 Does any Council Member have any other matters

1 to raise at this time?

2 (No response.)

3 MR. WOODS: Okay, hearing none, I will -- do I
4 have a motion for adjournment?

5 MEMBERS: So moved.

6 MR. WOODS: And moved, very good. Thank you.
7 And without objection, the 133rd Meeting of the
8 National Petroleum Council is hereby adjourned. Thank
9 you very much.

10 (Applause.)

11 (Whereupon, at 11:11 a.m., the meeting was
12 adjourned.)

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, George Quade, do hereby certify that the foregoing proceedings were recorded by me and reduced to typewriting under the supervision of For The Record, Inc.; that I am neither counsel for, related to, nor employed by any of the parties to the action in which these proceedings were transcribed; and further, that I am not a relative or employee of any attorney or counsel employed by the parties hereto, nor financially or otherwise interested in the outcome of the action.

A handwritten signature in black ink that reads "George Quade". The signature is written in a cursive, slightly slanted style.

GEORGE QUADE, CERT