

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

NATIONAL PETROLEUM COUNCIL MEETING

TUESDAY, APRIL 23, 2024  
9:00 A.M.

Reported by: George Quade, CERT

1	I N D E X	
2		PAGE :
3	Call to Order and Introductory Remarks	4
4		
5	Remarks by The Honorable Jennifer M. Granholm,	
6	Secretary of Energy	7
7		
8	Consideration of the Proposed Final Report of	
9	the NPC Committee on GHG Emissions	12
10		
11	Consideration of the Proposed Final Report of	
12	the NPC Committee on Hydrogen Energy	37
13		
14	Remarks by the Honorable David M. Turk	
15	Deputy Secretary of Energy	69
16		
17	Remarks of the Honorable Bradford J. Crabtree,	
18	Assistant Secretary for Fossil Energy and	
19	Carbon Management, U.S. Department of	
20	Energy	84
21		
22	Administrative Matters:	
23	Report of the NPC Finance Committee	89
24	Report of the NPC Nominating Committee	90
25		

1	I N D E X (Continued)	
2		PAGE :
3	Discussion of Any Other Business Properly Brought	
4	Before the National Petroleum Council	91
5		
6	Adjournment	91
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 P R O C E E D I N G S

2 - - - - -

3 (Meeting called to order, 9:03 a.m.)

4 MR. ARMSTRONG: Good morning, ladies and  
5 gentlemen. Will the 134th meeting of the National  
6 Petroleum Council please come to order.

7 First of all, I want to welcome to all of you  
8 members of the Council, honored guests, and members of  
9 the press and public. We have what I think will be a  
10 productive and particularly informative meeting this  
11 morning. We have a very full agenda, a copy of which  
12 is among the papers before you. And we also have the  
13 honor of the Department of Energy's leadership  
14 participating throughout the session today.

15 First, I will make the customary safety  
16 announcement. There are no scheduled fire alarms  
17 today. So if the alarm sounds, we will evacuate  
18 through the doors back here, up the stairs, and through  
19 the lobby to the street. The muster point will be  
20 immediately in front of the hotel on Pennsylvania  
21 Avenue.

22 Now, if there is no objection, I will  
23 dispense with the calling of the roll, and for the  
24 members of the Council, the check-in in the Buchanan  
25 Room back behind us will serve as our official

1 attendance record. Any member or observer through a  
2 member who is not checked in, please do so before you  
3 leave to ensure we have an accurate record for today's  
4 attendance.

5 In addition to the audience in the room, we  
6 have an online audience that will be able to watch the  
7 livestream of our proceedings. This audience includes  
8 council members unavailable to attend today, as well as  
9 many of the individuals who have contributed to the  
10 study efforts we will be voting on this morning. And  
11 to those of you all listening in that did help out on  
12 the studies, I want to give you a personal thanks on  
13 behalf of the NPC for the great efforts that have gone  
14 on to get us where we are today.

15 I would now like to introduce to you, and for  
16 the record, the participants joining me at our head  
17 table.

18 To my immediate right, we are pleased to have  
19 Mike Wirth, Chair for the NPC Committee on the Hydrogen  
20 Energy.

21 And next to Mike is the Honorable David Turk,  
22 Deputy Secretary of Energy.

23 To my far right is the Honorable Brad  
24 Crabtree, who's the Assistant Secretary for Fossil  
25 Energy and Carbon Management.

1                   And next to Brad is Ryan Lance, Chair for the  
2   NPC Committee on Greenhouse Gas Emissions and the NPC  
3   Vice Chair.

4                   Next to Ryan is the Honorable Jennifer  
5   Granholm, Secretary of Energy, whose remarks are next  
6   on our agenda.

7                   Madam Secretary, we look forward to hearing  
8   from you this morning, and presenting to you the  
9   results of both the greenhouse gas emissions study, as  
10  well as the hydrogen energy studies that you have  
11  requested.

12                  I just want to -- before I turn this over to  
13  Secretary Granholm, I just want to recognize all the  
14  tremendous amount of energy and work that goes into  
15  these studies and all the volunteers that take time to  
16  do that. I know as we get toward the end of this study  
17  people are always asking how did I get drug into this,  
18  and I just want to tell you how appreciative I am of  
19  the efforts that you all put in and the time that it  
20  takes to get that. These are remarkable studies, and  
21  they will -- they will live on and provide great  
22  reference and pathways for the future. So thank you  
23  for your work on that.

24                  So, again, Madam Secretary, thank you very  
25  much. We're honored to have you with us today. And so

1 please join me in welcoming Secretary of Energy  
2 Jennifer Granholm.

3 (Applause.)

4 SECRETARY GRANHOLM: Great. Thank you, Alan,  
5 and welcome everybody to the National Petroleum  
6 Council. Those of you who are veterans, those of you  
7 who are newer, really appreciate your participation  
8 here this morning.

9 I do want to acknowledge our DOE team who has  
10 been working on these studies and working in  
11 partnership with a number of you: Jenn Wilcox, who's  
12 over here; Sunita Satyapal, who's also here; Ryan Peay,  
13 who's here; I think Nancy Johnson maybe is here, not  
14 sure; Christopher Freitas is here. You know, Brad,  
15 you're going to hear from -- Dave Turk you're going to  
16 hear more fulsome remarks than I have from; Bridget  
17 Bartol, who's over here, who a number of you have been  
18 working with, as well. We are grateful for the ability  
19 to have a conversation with you about how jointly we  
20 can move to collective outcomes.

21 And I want to -- I want to double down, I'm  
22 going to foot stomp the thanks on the report  
23 committees. Mike, thanks for your lead on this  
24 hydrogen report, and, Austin, thank you for your work  
25 on making this happen. I know we're going to hear from

1     you in a minute.

2                   And, Ryan, again, similarly on the hydrogen --  
3     or excuse me, the GHG report, and John, thank you so  
4     much for your work on it. And I know, again, a lot of  
5     this -- a lot of time and resources go into these, and  
6     I know our policy teams are eager to dive in.

7                   And I just want to say as an important matter,  
8     I really appreciate the weight that you gave to  
9     environmental justice and community engagement issues,  
10    giving them, I know, standalone chapters in the reports  
11    for the first time. Your leadership on this has  
12    outsize impact, and look forward to hearing more about  
13    the findings.

14                  Okay. I'll just say one more thing about  
15    this. These two studies are really quite  
16    comprehensive. I invite the NPC to think about  
17    future topics, as well. And I know Dave Turk has some  
18    ideas, and I know he's going to share some of that a  
19    little bit later.

20                  I thought I'd spend just a minute reflecting  
21    on how far this group, all of us, have come in the last  
22    three years. At one of our first meetings back in  
23    2021, one of you asked me whether the Biden  
24    Administration was looking for progress or for a fight.  
25    And I swear, my answer was progress, and that means

1 progress on climate change, progress on deploying clean  
2 energy, progress on decarbonizing.

3 And my goal, the Administration's goal, was  
4 really to lay the groundwork for a productive  
5 relationship, to understand that the climate crisis is  
6 a massive threat obviously to the country and to your  
7 industry's long-term health, and understand what tools  
8 -- what tools would be enticing you, perhaps, to use  
9 your substantial resources and influence to jump into  
10 producing clean energy, decarbonizing traditional  
11 energy.

12 I know, I know many of you are already  
13 decarbonizing -- that's clear -- and showing us how we  
14 need to do that. These reports are an example of that.  
15 A few are actively exploring clean hydrogen and  
16 geothermal, my favorite. That's great. More of this,  
17 please! But in these three years, we all acknowledge  
18 that there have been difficult conversations. We want  
19 prices low at the pump for everyday people. Your  
20 investors want prices high to make a greater profit.  
21 Despite this structural tension that's embedded in  
22 capitalism, progress is undeniable, particularly in  
23 other ways.

24 So I threw out some stats at CERAWEEK, but  
25 they bear repeating. Global clean energy investment

1 has broken records every year -- \$1.8 trillion in 2023.  
2 And here in the U.S., companies -- this is that we know  
3 of, have announced over \$400 billion in clean energy  
4 and manufacturing investments in just the past three  
5 years. EV sales have quadrupled. The tools that you  
6 all have now are unprecedented.

7 Back then, I think some of you might have been  
8 skeptical if I told you we would roughly double the tax  
9 credit for CCUS, or that we'd offer up to \$3 per  
10 kilogram for clean hydrogen production. You might have  
11 been skeptical that we'd have muscled \$8 billion out  
12 the door for hydrogen hubs, or that your businesses  
13 would be able to get geothermal leases in a snap of a  
14 finger, more or less.

15 You'd have been skeptical, maybe, if I told  
16 you that many gas stations now are installing EV  
17 chargers. And all of this, while along the way you've  
18 helped us to meet the moment when our energy and  
19 national security has demanded most, producing record  
20 amounts.

21 I know the international environment is  
22 challenging and unpredictable. I know summer is just  
23 around the corner. We'll be counting on you again to  
24 make sure American consumers are well supplied. We can  
25 all agree that global disruptions -- Russia, China, war

1 in the Middle East, OPEC -- are inevitable. Our asks  
2 of you can seem at odds -- produce, decarbonize,  
3 diversify -- and in moments there will be folks who  
4 think it's easier or smarter or safer to stick to the  
5 status quo, who might think that a fight is more  
6 productive than progress, but not me, not President  
7 Biden, hopefully not you, because we all know this,  
8 that in 5 years, in 10 years, 20 years, the energy  
9 status quo is going to be obsolete.

10 For those who are proclaiming the future with  
11 certainty, I think a little humility is in order.  
12 We're still going to need obviously secure supplies of  
13 traditional energy, but all of those consumers and  
14 communities and countries and investors who are calling  
15 for change today will have fundamentally reshaped the  
16 markets tomorrow. And technology will reshape the  
17 market, as well. Maybe modular fusion plants,  
18 commercial fusion plants, will have supplanted  
19 traditional fuels for electricity. Maybe AI will have  
20 helped us crack the code on affordable, abundant,  
21 sustainable aviation fuels. Maybe semi-trucks will be  
22 powered with batteries made with materials from  
23 seawater or by geologic hydrogen.

24 The scientists who are in our labs today are  
25 experimenting and researching and discovering solutions

1     that will be ubiquitous tomorrow. And as long as we  
2     follow the science and not deny it and let that human  
3     curiosity and creativity and genius loose, I am  
4     optimistic that we'll continue to solve and improve  
5     and move. So keep working with us, and together I  
6     think we'll all build a trail that leads us to the  
7     summit.

8             So thank you -- thank you again for the  
9     incredible work on these reports, and I look forward to  
10    digging in. Back to you, Alan.

11            (Applause.)

12            MR. ARMSTRONG: Thank you, Madam Secretary;  
13    appreciate your comments this morning. And we do look  
14    forward to being a big part of the future for energy in  
15    whatever form that comes.

16            The next item of business we have is to  
17    consider the NPC Committee on Greenhouse Gas Emissions  
18    study, and we'll discuss the findings and  
19    recommendations for that. And we're lucky to have  
20    Ryan Lance, and I'll call on Ryan Lance now to present  
21    an overview for the Greenhouse Gas Emissions study.

22            Ryan?

23            MR. LANCE: Good morning. Thank you, Alan,  
24    and thank you, Secretary Granholm. Appreciate the kind  
25    remarks and the inspiring remarks in many ways. So

1     thank you.

2                 Two years ago, Secretary Granholm asked the  
3     National Petroleum Council to conduct a study assessing  
4     greenhouse gas emissions across the U.S. natural gas  
5     value chain and the pathways for reductions of those  
6     GHG emissions. And today we're here to present to the  
7     DOE the final draft of the study, and its title is  
8     Charting the Course: Reducing GHG Emissions from the  
9     Natural Gas Supply Chain.

10                I think it's kind of an exciting day. We're  
11     rounding third and headed for home, folks. So here we  
12     go. And I think John and myself are eager to share the  
13     findings of this study in the role as study chair and  
14     vice chair of the NPC.

15                So let me start certainly by recognizing the  
16     many people whose hard work went into this 700-plus-  
17     page report. There is an executive summary, so you  
18     don't have to read 700 pages. You can go to the other  
19     one. But the study collaborated with more than 200  
20     subject matter experts. They came from industry,  
21     academic, government, nongovernment organizations and  
22     represented a wide range of perspectives. Thank you,  
23     also, to the DOE staff for their help progressing this  
24     study.

25                And I'm inspired by the unique partnerships

1     that come about from these NPC studies and the benefits  
2     that this collaboration provides to our country and to  
3     society. I certainly speak for myself and for also our  
4     company, ConocoPhillips, when I say we are honored to  
5     be part of the study and lead this effort.

6             I also want to recognize the NPC members for  
7     their valuable guidance and their perspective  
8     throughout the process. Most recently, we asked  
9     Council members to review the final draft report, and  
10    we did receive some substantive comments. The study  
11    team reviewed, and more importantly incorporated, this  
12    feedback into the report that you'll see today.

13            Now, in a few moments, I'll introduce my  
14    colleague, John Dabbar, and he'll identify the changes  
15    for you from the last time that we met to today as part  
16    of his presentation. And after that I'm going to seek  
17    your approval for the report.

18            But before John begins his presentation, let  
19    me set the stage with a few general observations. The  
20    study affirms the essential role that natural gas plays  
21    and will continue to play in our energy mix and the  
22    criticality that we prioritize reducing emissions along  
23    the entire natural gas value chain.

24            So how do we do that? We use the integrated  
25    approach outlined in this report. That approach

1 includes concrete recommendations for industry and  
2 government that could eliminate more than half of our  
3 GHG emissions today that exist in the natural gas  
4 supply chain. I think you'll find our report authors  
5 have provided a comprehensive view of addressing energy  
6 security and the need to reliably meet demand.

7 Now, I won't sugarcoat what comes next.  
8 Reducing emissions from America's natural gas is an  
9 urgent priority that requires collaborative solutions,  
10 and there is a lot of work to be done. But thanks to  
11 the study, we have the tools and the framework to make  
12 a difference, and we can make a very real impact.  
13 Working together, we can reduce GHG emissions across  
14 this natural gas supply chain, and that will benefit  
15 the society, the United States, and certainly the  
16 entire world.

17 So, with that, let me turn it over to John,  
18 and he'll provide the details for the final report.  
19 Thank you.

20 (Applause.)

21 MR. DABBAR: Thank you, Ryan, Secretary  
22 Granholm, Chairman Williams, thank you very much for --  
23 Chairman Armstrong, thank you very much for having me  
24 today. I'm John Dabbar. I was the chair of the  
25 working group that produced this study. In NPC

1 parlance, that's the coordinating subcommittee.

2 Today, I'll be presenting some of the member  
3 feedback on the draft report. And this is important  
4 because it's incorporated then in the final report  
5 you'll be asked to vote on. I'll then do a dive into  
6 the process and findings and recommendations of the  
7 study, how you and the members of the public can access  
8 it going forward, and then, in an appendix,  
9 recommendations categorized by different audiences.

10 So we received six pieces of feedback on the  
11 draft report, which I'll describe for you briefly  
12 here and how we resolved them. We were asked to  
13 address in two ways the importance of natural gas in  
14 electric grid reliability and to incorporate the NERC  
15 findings on natural gas and grid reliability. We were  
16 able to include those, and we've made recommendations  
17 along the lines of increased government/industry  
18 engagement on natural gas' role in the electric grid  
19 reliability.

20 We've been asked to incorporate some recent  
21 technology developments on gas-powered engines and  
22 their emissions reductions. We had some references  
23 that we were able to incorporate. Those are now in the  
24 proposed draft final report.

25 We were asked if the study could incorporate

1 renewable natural gas; that is, natural gas made from,  
2 for example, agriculture or waste. We explained that  
3 this was out of scope for the study. We went to the  
4 study guidance letter that we received from the  
5 Secretary and said for the purposes of this study it  
6 was out of scope.

7 We were also asked if we could evaluate  
8 regulatory changes to repurpose wells for non-oil and  
9 gas purposes. We evaluated that and said that was  
10 really out of scope for what we were looking at in the  
11 study letter. And, finally, we were asked to reinforce  
12 that community engagement includes all relevant  
13 community members. That's certainly in the details of  
14 the report and in the reference documents that we  
15 incorporate.

16 So those are the changes -- minor changes.  
17 That text has been included now in the draft report  
18 that will be for your approval later today.

19 So the natural gas supply chain references  
20 from the wellhead through transportation to a delivery  
21 meter -- end-user delivery meter, or through LNG  
22 delivered to a destination port. So we were able to  
23 look at the greenhouse gas emissions through that  
24 supply chain. We had a lot of detail in the study  
25 about different supply chains that we were able to

1 address. In the aggregate, it's wellhead through major  
2 end-user meter or LNG delivered.

3 The data you see here on the hundred-year  
4 supply of natural gas at current usage comes from the  
5 Potential Gas Committee at the Colorado School of  
6 Mines. Because we found that natural gas is both the  
7 largest primary energy source for heat and power and  
8 also the primary source for electrical generation, that  
9 led to a number of findings and recommendations with  
10 respect to the future for the applicability of natural  
11 gas in the U.S. supply chain.

12 We were also able to really research the facts  
13 on what the greenhouse gas emissions are and what those  
14 challenges are. And you can see some of the data here.  
15 We did a little focus on methane to show that the  
16 natural gas supply chain is about 33 percent of the  
17 anthropogenic methane emissions in the U.S., along with  
18 ag, coal mining, and waste.

19 We also were able to do a deep dive into the  
20 CO2 emissions, which I'll cover in a little bit more  
21 detail later on.

22 This all started with the mission. We  
23 received the study letter from Secretary Granholm a  
24 year ago yesterday, and the key point -- and this is a  
25 public document. It's available on the NPC website for

1 the study. It basically was the scoping document.  
2 This is the -- these are the questions and the  
3 guidelines and the sideboards that we're expected to  
4 answer. And what we found is that by working through  
5 that scope, we brought together over 200 contributors,  
6 as you can see balanced between industry participants  
7 and other NPC members and fellow travelers. As a  
8 couple of interesting statistics, that group of  
9 contributors produced, during the course of the study,  
10 over 190 peer-reviewed technical papers on reducing  
11 methane emissions, and 12 of those study members had  
12 earned Ph.D.s in methane or related sciences. So we  
13 had a lot of talent in the groups.

14 We had a decision team, the coordinating  
15 subcommittee, that roughly represented equally the  
16 split between industry and non-industry participants so  
17 we could bring in diverse views. We also, at each one  
18 of our decision-making meetings, we would bring in an  
19 external speaker to provide an alternative viewpoint to  
20 add a more fulsome discussion of what we were doing and  
21 how we should do it.

22 One key point to the scope is that we are  
23 excluding end-use combustion outside the natural gas  
24 supply chain. So this is essentially focused on the  
25 emissions in the supply chain from wellhead to end-user

1 meter. To the extent that there is fuel use inside the  
2 supply chain, we are addressing that and we do make  
3 recommendations about fuel use inside the natural gas  
4 supply chain.

5 Over that two years, our recommendations, our  
6 task groups, that's just to show you that I had -- we  
7 had broken down the Secretary's letter into manageable  
8 chunks, and it took five to get there. But one thing  
9 I'd emphasize is that during the course of the study,  
10 we incorporated societal considerations and impacts.  
11 And that is throughout the chapters of the study. It's  
12 not just bolted on at the end. It's actually threaded  
13 throughout the chapters.

14 And the purpose was to align what we do on the  
15 actions and construction around GHG reduction projects  
16 with the concerns of the communities in and around  
17 where they're happening. And, also, we used SCI  
18 because it describes a wide range of the external  
19 concerns related to GHG reduction projects.

20 So we have a collaborative vision. Following  
21 this vision through 2050 will meaningfully reduce the  
22 natural gas emissions from greenhouse gas supply chain  
23 -- the natural gas supply chain. We put them in a  
24 circle because not one of these is top, not one of  
25 these is first. All five of them are necessary. And

1 I'll be describing those five and the specific actions  
2 associated with each of those five later in the study.

3 The key message here is that we can achieve a  
4 reduction in greenhouse gas emissions while providing  
5 natural gas -- as a crucial role in energy security, an  
6 important role in economic security, under all EIA  
7 scenarios. And it's important to note under all  
8 scenarios because, as I'll discuss later, our  
9 recommendations don't depend on us selecting a single  
10 supply-demand balance; that they're applicable under  
11 all supply-demand balances that we're able to find.

12 And the end result from this: We think a 50  
13 percent reduction in greenhouse gas emissions from the  
14 natural gas supply chain, and that requires both  
15 existing policies that are in place today, which I'll  
16 discuss in a bit more detail. They're activated by  
17 technology deployments and market mechanisms to both  
18 reduce CO2 and methane emissions.

19 A little history, 2005 to 2019.  
20 Unconventional resources, the shale revolution  
21 created affordable and reliable natural gas, which, as  
22 you can see, displaced coal in the power-generating  
23 sector. We're not forecasting the future. This is a  
24 historical fact. But we wanted to put it in front of  
25 you because it's an important data point on the GHG

1 emission effect of coal to gas switching historically  
2 in the U.S.

3 One key finding, or theme, throughout our  
4 report is that methane and CO2 have different sources  
5 and, therefore, different actions for abatement. You  
6 can see we broke it down by the various stages in the  
7 supply chain. As I mentioned earlier, there's the fuel  
8 used inside the supply chain, which shows up on the  
9 lower right part of the CO2 graph, and then on the  
10 various segments of methane emissions on the upper left  
11 side.

12 Again, what's important here is this doesn't  
13 change between supply-demand scenarios. We focused  
14 extensively on source-level emissions mitigation, so  
15 able to say this is where we have to reduce GHG or CO2  
16 emissions and, therefore, the actions become quite  
17 source-specific. That became a common framing through  
18 our recommendations process.

19 So, as I mentioned, we are working to reduce  
20 both CO2 and methane. Policymakers use global warming  
21 potential, GWP100, hundred-year time horizon, or GWP20,  
22 a 20-year time horizon, to combine methane and CO2  
23 emissions into a single number. And it's often used in  
24 policy circles to describe an overall single number to  
25 answer the question.

1           We determined that although we used GWP  
2 throughout the study to relate to external policy --  
3 external and policymaker views, we did not use GWP to  
4 decide whether it would reduce methane or CO2, but  
5 rather to reduce methane and CO2 in parallel with  
6 different findings and recommendations. And our  
7 recommendations -- if you take one thing away, our  
8 recommendations are the same no matter which GWP you  
9 choose to use.

10           We also have a bit of history on reductions  
11 and changes in GHG emissions from the supply chain. As  
12 you can see over 2005 to 2020, methane emissions went  
13 down on an absolute basis. Also, the carbon intensity,  
14 which is the overall greenhouse gas emissions per unit  
15 of energy delivered went down. However, during that  
16 time period, as we roughly doubled the amount of  
17 natural gas produced over that 15-year period, CO2  
18 emissions did go up. Carbon intensity down; CO2  
19 emissions up; methane emissions down.

20           So we did a review of both the past regulatory  
21 activities and also the technology activities over the  
22 past 10 years. Because -- this is not all inclusive.  
23 These are the significant ones that we were able to put  
24 on a slide. There's also rules that are still coming  
25 out. In fact, the Bureau of Land Management issued its

1 rules after we had submitted this report for approval.  
2 So it's still a fast-moving space.

3 What we decided was everything that was in  
4 place at the end of 2023 would be in scope for this  
5 study. The assumption that rules that had been either  
6 promulgated in law or had been published in draft  
7 regulation would go forward substantially as proposed  
8 by the relevant regulators.

9 We also assume that over that 2024 to 2026  
10 period additional both regulatory policy items would  
11 come about. We did not do an evaluation of rollback.  
12 We did not say what if these regulations were reduced.  
13 We just said, this is what's published; that is our  
14 existing policies case. We also assumed ongoing  
15 technology and research advances, as described here.

16 We see this as a real opportunity and we do a  
17 deep dive on durable policy and durable regulation in  
18 this study. This is an opportunity for durable  
19 regulation and alignment across government agencies at  
20 the federal and state level to make more durable  
21 policy.

22 So going back to the point sources, we have  
23 three pathways to reduce GHG emissions across the  
24 supply chain. We call them existing policies, which  
25 is, as I mentioned earlier, everything that was in

1 place at the end of 2023 delivered through roughly  
2 2026. Continued reduction, which is what if we  
3 continue on trend for what those are, basically more of  
4 the same.

5 And then a step change, which is the TIP  
6 pathway, and that is essentially market mechanisms  
7 which can activate additional reductions in GHG  
8 emissions, mostly CO2 in this case, as you can see. We  
9 do a deep dive into market mechanisms, discussing the  
10 pros and cons of each, and how they incentivize capital  
11 allocation to reduce greenhouse gas emissions, how they  
12 value carbon intensity reductions, and how they can  
13 incentivize differentiated natural gas; all of that  
14 built on a foundation which I'll talk about more in a  
15 moment of more accurate measurement and verification of  
16 GHG emissions as a measurement-informed inventory of  
17 GHGs for carbon intensity.

18 But it's not just what we do; it's how we do  
19 it. What we found during the course of the study is  
20 that everything in a community is framed by its own  
21 historical practices, its historical knowledge. It's  
22 place-based and it's unique to each community. And  
23 only by listening and learning to the community's  
24 concerns, which will frame their view of your project  
25 that you're planning to implement to reduce GHG

1 emissions, by historic -- by listening to that,  
2 listening and learning, you can then collaborate and  
3 respond.

4 We also did something innovative during the  
5 course of the study. We actually conducted polls and  
6 in-person focus groups with communities around the  
7 country to get data -- not to validate best practices,  
8 but to validate the process of how our recommendations  
9 on engaging with the community -- how people would  
10 respond and react to that. And that's incorporated in  
11 our findings and recommendations.

12 A bit on technology. What we found is that  
13 different technologies are applicable for different  
14 types of measurement and quantification. There's a  
15 fair bit of challenge in the quantification effort,  
16 which goes into the number of variables and the  
17 atmospheric conditions around where you might be  
18 measuring and trying to quantify methane emissions. We  
19 do a really deep dive on that.

20 I won't go into a lot of detail on the math  
21 and science, but what is important is that this is a  
22 rapidly evolving space. In fact, as recently as this  
23 past weekend, I was reading a pre-publication paper by  
24 one of our members on new technology that they're  
25 advancing. We interviewed dozens of technology

1 providers to get the state of the art and understand  
2 where the country is today on technology. I'll also  
3 note a number of those came from the National  
4 Laboratory of Science that was then moved out into the  
5 private sector and commercialized.

6 There is no optimum stack of technology. The  
7 technology is what is appropriate for the kind of  
8 emissions you're trying to find.

9 What we see is an important view of --  
10 important benefit here from additional harmonization on  
11 the government's qualification of technologies for  
12 detection. Time and time again we saw that different  
13 parts of the federal and state government had different  
14 processes for qualifying technology. Well, those  
15 technologies are completely agnostic about which  
16 regulator is looking over the shoulder.

17 Meanwhile, we think that it's really important  
18 to address the needs of what we call less capitalized  
19 operators. We couldn't call them small because, you  
20 know, a couple hundred thousand barrels a day is not a  
21 small operator. But in many cases they were -- they  
22 were challenged by the cost of monitoring and measuring  
23 technology.

24 We held four focus groups with over 70 small  
25 operators, one guy that actually owned one well and was

1     thinking about buying a second one, and what we learned  
2     was that they were concerned that this was a big  
3     company science project and wasn't something that they  
4     would be able to afford to implement.

5             So we made recommendations for -- in a two-  
6     pronged way here. One is to scale up the deployment,  
7     get that out there, but also get it out there to abate  
8     methane emissions. Don't just measure them and  
9     quantify them and report on them, but also take actions  
10    up front to abate. We do a deep dive in the report --  
11    and I'll be making recommendations on how industry can  
12    collaborate to more widely deploy abatement --  
13    emissions abatement actions.

14            Second, we are making recommendations to  
15    support funding and tax credits specifically around the  
16    enhanced deployment with a key focus on operators of  
17    marginal wells.

18            So life cycle assessments are a really useful  
19    tool for determining what the carbon intensity in this  
20    case of natural gas is. And we broke out three  
21    different findings or types of life cycle assessment  
22    results for three different supply chains. But what's  
23    important is life cycle assessments can be really  
24    complicated. A typical life cycle assessment might  
25    take as many as 150 variables to be accurately

1 characterized.

2           The work that we did determined that, in fact,  
3 you can accurately characterize an LCA with only 22  
4 variables. We harmonized that with a number of  
5 external studies. We validated it with four external  
6 study groups. And we produced a life cycle assessment  
7 model, the SLiNG model, that is publicly available. It  
8 will be -- we'll be releasing it concurrently with the  
9 study, along with the user manual, and it's available  
10 then for the public to use -- and for operators to use  
11 -- in evaluating the carbon emissions of their supply  
12 chains.

13           We also, as an innovation, built this model  
14 specifically so that actual measurements, measurement-  
15 informed inventories of GHGs, can be incorporated into  
16 the model. So as you, as an operator, use the model,  
17 you can also take your GHG emissions, incorporate them  
18 into the model, and come up with your carbon intensity  
19 for your supply chain.

20           So I discussed earlier the vision elements and  
21 why the five of these are all equal and going in  
22 parallel. I'm now going to do a deep dive into the  
23 time sequence of these five areas, and I'm going to  
24 highlight four very specific ones that are important  
25 takeaways of things that we're going to be doing -- we

1 want to be implementing going forward.

2 So taking action, things that can be done  
3 today. There's nothing holding us back.

4 Building foundations, things we can do today  
5 that would be supportive and enabling in the long-term.

6 And scaling impact, how do we move from taking  
7 action to reduce GHGs in that 2030 to 2050 time frame?

8 And I'll point out four very specific ones.

9 First, on the building foundations regarding  
10 measurement, we then recommend that there should be  
11 standards associated with differentiated natural gas.  
12 How can natural gas be credibly differentiated in its  
13 GHG intensity? And we're recommending that work on  
14 standards effort is important there, to be a foundation  
15 for the future.

16 On the incentives for GHG emissions abatement,  
17 and we're recommending in particular on scaling  
18 impact, introducing new market mechanisms, and we have  
19 a thorough review in the study of market mechanisms and  
20 the pros and cons of each. And they come in all sizes  
21 -- small, medium, and large -- and industry-wide and  
22 more targeted. And we think that it's worth putting a  
23 lot of effort into the market mechanisms because they  
24 will incentivize the right kind of capital deployment  
25 for GHG emission reduction.

1           I mentioned on regulatory effectiveness and  
2 durable policy, we see the work on durable policy that  
3 we described is also appropriate for permitting  
4 processes. Durable policy on permitting will make  
5 permitting for GHG emission reduction projects more  
6 likely to take place and more likely to be accepted in  
7 the communities where we work.

8           And, finally, industry actions. I was  
9 challenged by the non-industry members of the group --  
10 so half of you -- to say, well, what is industry going  
11 to do? What are you going to do right now, and what  
12 are you going to do in the future?

13           And there we really recommend, and we see a  
14 path forward, on enhancing industry and operator  
15 cooperation. We see a big role for the federal and  
16 state trade associations as a convening authority. We  
17 also see a role for the federal government in  
18 restarting the PTTC with a focus on using that for GHG  
19 emissions reduction technology sharing.

20           In closing, the six key themes that we worked  
21 on, the crucial role of natural gas and the importance  
22 of harmonized government policy to encourage both  
23 energy and economic security through the use of natural  
24 gas; societal considerations and impacts, reducing GHGs  
25 requires building and taking action in your

1 communities; measurement, the role of technology and  
2 the role of measurement informed greenhouse gas  
3 inventories; research and development with a strong  
4 leadership role for the national laboratories,  
5 deployment at the operator level and basin level; life  
6 cycle assessments where we have democratized the use of  
7 the model, allowing you to bring in real-world  
8 measurement; and, finally, industry collaboration on  
9 greenhouse gas reduction.

10 Here's how you can access the study report:  
11 website, QR code. This will be on the website, those  
12 of you who can access it directly from us. I'm not  
13 going to review them, but down in our appendix, which  
14 is also available on the website, we have some slides  
15 on target-audience-specific recommendations.

16 Mr. Armstrong, I'm finished.

17 MR. ARMSTRONG: All right. Thank you, John.

18 Now we come to the part where we open it up to  
19 any final questions or comments. I'll ask John to stay  
20 at the podium. But we want to open it up to Madam  
21 Secretary, to the NPC staff, folks that are in the room  
22 here today, part of the NPC study for any questions,  
23 comments, or deliberation before I read a motion for  
24 acceptance. So we want to have that time for  
25 discussion.

1                   Madam Secretary?

2                   SECRETARY GRANHOLM: Great. Thank you. Just  
3 a couple of questions. Thanks so much, John,  
4 appreciate it.

5                   On the issue of MMRV and making sure we get  
6 the monitoring right as it coincides with trust in the  
7 community, does the report take a look at third-party  
8 validation and how that monitoring and reporting out  
9 should be done in order to engender trust?

10                  MR. DABBAR: Yeah, we had a rather lengthy  
11 discussion about third-party validation versus  
12 validation against a third-party standard. And I think  
13 that's where we differentiate. We see that the  
14 validator shouldn't also be the standards -- be the  
15 standard-setting organization, but rather that third-  
16 party validation should really come from validation  
17 against the standard that is adopted by the operator or  
18 in the basin. So a bit of arm's length between the  
19 standard setter and the third-party validator.

20                  SECRETARY GRANHOLM: Great, great. Thanks for  
21 that. And then just another quick one if you don't  
22 mind. I know there may be other questions here. On  
23 the incentives that you referred to in your solution  
24 grid there. I'm assuming the new market mechanisms --  
25 are you referring there to a price on carbon?

1           MR. DABBAR: So that is one of many that we've  
2     studied. We took a look at a number of different  
3     options that are both regulatory market incentives,  
4     structuring the market like a low carbon fuel standard.  
5     We refer to that as one example of a working one. We  
6     do refer to a price on carbon. We also look at what we  
7     call voluntary market mechanisms. The very fact that a  
8     company commits to net zero by 2050 is essentially a  
9     market mechanism. They're saying that's what we're  
10    going to do. So we have a number in there. The price  
11    of carbon is only one of them.

12           SEC. GRANHOLM: Thanks.

13           MR. LANCE: Thank you, Madam Secretary.

14           Any other questions from the audience?

15           Yes, Mark?

16           Mark, I think we have a mic.

17           MR. MILLER: Thank you. Sorry about that.

18     Can you talk for a moment about the rollout plan to  
19     industry, especially the smaller operators that you've  
20     mentioned before, and elaborate a little bit on that,  
21     please?

22           MR. DABBAR: Sure. So we have a two-pronged  
23     rollout plan. Through DOE, we've set up a list of  
24     federal and state agencies, Capitol Hill, et cetera, to  
25     roll out the findings in the study, specifically with

1 recommendations for them.

2 The second prong is using the trade  
3 associations as convening authority, both here in D.C.  
4 and also at the state level, to roll out these  
5 recommendations for actions by industry. And that's  
6 taking place over the next roughly six weeks.

7 MR. LANCE: Thank you, Mark.

8 Any other comments or questions from the  
9 floor?

10 MR. CHIANG: John, great work. My question  
11 is, did you include any of the benefits of LNG exports  
12 and the impacts of that? I know it's not in the U.S.,  
13 but for the world?

14 MR. DABBAR: Yes. We actually did a pretty  
15 thorough review of the impact of U.S. LNG from an  
16 energy security standpoint. We sort of focused on  
17 deliveries to Europe versus deliveries to Asia and  
18 where the alignments are. While we didn't make any  
19 specific recommendations on fuel use in destination  
20 countries -- that was out of scope, fuel switching was  
21 out of scope -- we do talk about the energy security  
22 aspects of U.S. LNG exports.

23 UNIDENTIFIED MALE: Thanks for all your work  
24 on this, John. You mentioned at the outset that  
25 renewable natural gas produced from dairy farms,

1 landfills, et cetera, is out of scope here. Has that  
2 been looked at in other NPC reports, or is there a more  
3 appropriate place for a study like that? I think it  
4 makes sense that it's not a part of this study, but  
5 just other places that could be looked at.

6 MR. DABBAR: Mm-hmm. Yeah, so it was -- it  
7 was something during our initial scoping work with DOE.  
8 We said that for the purpose of this study it was out  
9 of scope. With respect to future studies -- past study  
10 -- I don't think it's ever been evaluated in a past NPC  
11 study explicitly. In terms of future studies, I would  
12 defer to the chair of the NPC Agenda Committee to set  
13 the agenda for future studies. Thank you.

14 MR. LANCE: Thank you.

15 Any other comments or questions?

16 (No response.)

17 MR. LANCE: All right. Thank you.

18 Mr. Chair, Madam Secretary, I move that the  
19 draft final GHG emissions study report, titled Charting  
20 the Course: Reducing GHG Emissions from the Natural  
21 Gas Supply Chain, be approved by the National Petroleum  
22 Council, subject to final editing; further, that the  
23 Council makes available topic papers and access to the  
24 life cycle assessment model and user guide that were  
25 developed during the study process. These additional

1 materials are not part of the Council's report but  
2 provide useful background material on the report.

3 Mr. Chair, that concludes the motion.

4 MR. ARMSTRONG: Okay.

5 UNIDENTIFIED MALE: Second.

6 MR. ARMSTRONG: Thank you for the second.

7 All in favor?

8 (Chorus of ayes.)

9 MR. ARMSTRONG: Any opposed?

10 (No response.)

11 MR. ARMSTRONG: Okay. Thank you all very  
12 much. That motion carries, and the report is adopted  
13 without objection. So thank you, Ryan and John, for  
14 your great leadership on this study. And thank you,  
15 members of the committee and the subcommittee. I know  
16 John's giving a big thumbs-up out here.

17 (Applause.)

18 MR. ARMSTRONG: So that really was, as you can  
19 see, a very comprehensive report; studied a lot of a  
20 very wide range despite some of the limitations that  
21 John mentioned. It was a very wide-ranging topic and a  
22 lot of opinions to be reconciled. The team did a  
23 fantastic job of getting that done.

24 So our next order of business is to consider  
25 the proposed final report from the NPC Committee on

1 Hydrogen Energy. We will discuss their findings and  
2 recommendations and vote on adoption of their proposed  
3 final report.

4 Mike Wirth, Chair of the Committee, will  
5 present a report overview. Mike?

6 MR. WIRTH: All right. Thank you, Mr.  
7 Chairman. Madam Secretary, esteemed colleagues, I'm  
8 pleased to present the findings of our study entitled  
9 Harnessing Hydrogen: a Key Element of the U.S. Energy  
10 Future.

11 Over the past two years, this committee has  
12 evaluated the current state and potential future state  
13 of our domestic hydrogen ecosystem and the role  
14 hydrogen can play in reaching U.S. climate goals. Over  
15 200 experts from more than 100 organizations served on  
16 the study's committee, subcommittee, task groups,  
17 teams, and subgroups. These representatives included  
18 policymakers, academics, nonprofits, NGOs, DOE staff,  
19 hydrogen consumers, industry experts, and other  
20 relevant parties.

21 It's noteworthy that a study of this magnitude  
22 achieved very high levels of alignment across such a  
23 broad and diverse group. While this approach took a  
24 little longer, we believe it ultimately yields a higher  
25 quality work product and better advice to the Secretary

1 and Department of Energy.

2           Importantly, this study included a regional  
3 analysis of supply and demand, to provide a detailed  
4 view of the pace of growth for low carbon intensity  
5 hydrogen along different production pathways and in  
6 different parts of the country.

7           The report includes 19 primary findings and 23  
8 primary recommendations organized in three categories  
9 of critical enablers that could aid in rapid low carbon  
10 intensity hydrogen deployment and progress across all  
11 regions.

12           The policy and regulation category focuses on  
13 the requirements to overcome cost gaps between  
14 incumbent fuels and feedstocks and low carbon intensity  
15 hydrogen to increase investor confidence, and to  
16 streamline regulatory frameworks.

17           The societal considerations category addresses  
18 impacts and safety to ensure reliable value chains,  
19 while also providing societal benefits, improving  
20 community engagement, and enabling workforce  
21 development.

22           The technology, and research and development,  
23 and deployment category evaluates what's necessary to  
24 close technology gaps across LCI hydrogen value chains,  
25 address technical bottlenecks, and support

1 public/private research programs. Already, programs  
2 such as the hydrogen hubs, production and demand side  
3 incentives, and technology development programs are  
4 helping lay the foundation for progress towards U.S.  
5 climate goals.

6 That said, significant and rapid progress  
7 across many areas must occur to move through the phases  
8 of low carbon intensity hydrogen market development.  
9 Acting on the findings in the study will enable  
10 innovation, accelerate solutions, and help advance a  
11 hydrogen ecosystem that can help drive progress towards  
12 achieving the world's energy and climate goals.

13 And I'll turn it over to Austin Knight,  
14 Chevron's Vice President of Hydrogen and the  
15 coordinating subcommittee chair, to provide an overview  
16 of the Harnessing Hydrogen report. Thank you.

17 (Applause.)

18 MR. KNIGHT: Hi, everyone. Thank you. Last  
19 December, we were able to share some major findings  
20 from the work that we had been putting together, and I  
21 am very excited to finally be able to talk about  
22 recommendations. I think this report is outstanding.  
23 It is a robust report that's very grounded in the  
24 fundamentals, and we believe it will have high impact  
25 for many years to come.

1           We think that this report is complimentary and  
2   additive to a lot of the great work that DOE has been  
3   doing putting out the hydrogen roadmap, the liftoff  
4   reports, other things that have been developed in the  
5   past two years while we've been working on this study.  
6   And this report is very much aligned with the "Charting  
7   the Course" study that was just presented, especially  
8   around the carbon intensity of natural gas value chains  
9   and also in the societal considerations and impacts  
10   approach that we use and the recommendations that we  
11   make.

12           Just to emphasize the diversity that we had in  
13   this study, we believe this is one of the strengths of  
14   the NPC, is to bring together this great group of  
15   experts from across industry, but beyond industry and  
16   into other parts of the economy, of interested parties,  
17   and hydrogen.

18           And I'll just point out here, about 30 percent  
19   of the 100 organizations participating were from the  
20   oil and gas industry, but the vast majority here came  
21   from outside oil and gas. We have manufacturing people  
22   that are building new technologies to scale up  
23   solutions. We have, of course, industrial gas  
24   companies here, power companies, and a number of  
25   nonprofits, university participants, NGOs at the table,

1 as well.

2 We had very strong leadership. In addition to  
3 Chevron, from McKinsey & Company, from the University  
4 of Texas at Austin, Air Liquide, Southern California  
5 Gas, Wood Mack, who partnered very closely with MIT,  
6 which you'll see led a lot of the modeling effort;  
7 ExxonMobil, BP, the Great Plains Institute, and the  
8 Mitchell Foundation. Just fantastic leadership from  
9 the task group leads that created all of the content  
10 that you see in the final report.

11 I won't spend a lot of time on the timeline  
12 here, but it has taken us a while. And this report  
13 work actually began before the Inflation Reduction Act  
14 was signed into law. It began before the hydrogen hub  
15 selections were made. And while we incorporated policy  
16 like the IRA that developed along the path here, we  
17 were not working to address directly and respond to  
18 each shift in the market as it occurred.

19 We recognize this space is moving very quickly  
20 and the landscape changes, and so we believe that we  
21 put the best expert thinking into this report, taking  
22 what was happening in the current environment as  
23 policies were developed, but we were not necessarily  
24 tailoring our approach as we went to every change that  
25 happened. And we think that that does give the report

1 quite a bit of good credibility on the basis of the  
2 expert input that came, the long-term thinking as we  
3 worked to develop the targeted role of hydrogen.

4 And we brought regional granularity that we  
5 believe is a first of its kind in any one of these  
6 types of reports. Working with MIT, we were able to go  
7 into comprehensive regional analysis and really target  
8 hydrogen adoption where it made the most sense in order  
9 to reach U.S. climate goals and looked at the economics  
10 behind that and, where possible, gaps were in  
11 deployment.

12 And so we've talked about this in detail  
13 before. The next bit is some of a repeat from those of  
14 you that saw the report findings in December. And I  
15 want to make sure we get to the recommendations. And  
16 so I'll go through this, but maybe a bit quickly.

17 Just to reiterate, we partnered with the MIT  
18 Energy Initiative in the modeling effort. We  
19 calibrated the inputs to the IEA World Energy Outlook  
20 2022, and we incorporated projections and data from  
21 many, many experts in the field that are working all of  
22 these topics today.

23 We essentially built out two different  
24 scenarios. One was based on stated policies as they  
25 exist today. We modeled the deployment, the

1 optimization of all solutions in the energy market to  
2 model what would occur under policies as they're stated  
3 now. That's the stated policies case, and then we  
4 forced a net zero by 2050 outcome. And what we wanted  
5 to do was to be able to look at increasing carbon  
6 prices over time for a deterministic outcome that would  
7 deliver an optimized view of achieving net zero by 2050  
8 in the U.S.

9           We believe this is an extremely useful tool.  
10 It is not a crystal ball. It can continue to be  
11 modified and accessed working with MIT, and it is not  
12 precise, but we do believe it provides many, many  
13 regional details that are available in the model that  
14 can be accessed in the report. And in the printouts  
15 that you have of this presentation and the appendix  
16 there, you'll also see we recognize there's some  
17 important assumptions that have gone into the model,  
18 there's some limitations of it, because it's a model  
19 for the future. But, again, we think it is very  
20 useful.

21           I'll start with a couple of the findings. And  
22 these will look very familiar to what some of you have  
23 seen before. First, when we look at the model and the  
24 overall optimization of the entire energy system, we  
25 are not on the path to net zero with the current

1 policies. And that's why we've modeled the two stated  
2 policies and the net zero case.

3 We do find that in the goal to achieve net  
4 zero by 2050, low carbon intensity hydrogen can account  
5 for a reduction of about 8 percent of the U.S.  
6 emissions. This mostly comes from the more hard to  
7 abate sectors, which we'll talk about.

8 We also find that the total cost to society in  
9 the U.S. of reaching net zero with our projections  
10 would cost society about 3 percent of projected USGDP  
11 in 2050, but without deployment of low carbon hydrogen  
12 that number can be much higher. The report points out  
13 specifically a range of \$160 billion to \$260 billion  
14 per year higher cost to society of reaching net zero if  
15 you deploy the next best alternative, which is more  
16 costly than hydrogen in these sectors.

17 I want to speak a little bit to what's going  
18 on in the background of the model. In order to force a  
19 net zero scenario, the model increases in the  
20 background the cost of carbon over time and builds  
21 adoption of alternate solutions that recognize those  
22 lower carbon intensity values over time to 2050. And  
23 you can see here the way, on the top line, the model is  
24 ramping up that cost. This is what's required to gain  
25 adoption relative to alternatives, which we'll talk

1     about a little bit later.

2             You'll see overall in 2050 the average cost of  
3     CO2 abatement is about \$250 a ton in this model. The  
4     top marginal cost for that last ton abated is around  
5     \$700 a ton. We've included a lot of expert input here  
6     from MIT. Direct air captured, DAC, is one of the  
7     limiting factors on the top end. This is not a DAC  
8     study, so we used the expert input to model this, but  
9     we do not comment on the rollout of direct air captured  
10    more broadly. We just want to show here that that is  
11    -- that marginal rate limiting solution at the top end  
12    of the model projections.

13            So what does that mean for hydrogen adoption  
14    on the demand side? We do see some increase in  
15    hydrogen adoption under states policies going from  
16    about where we are in the U.S. today of 10 to 11  
17    million tons per year, possibly as much as doubling by  
18    2050 under states policies as they exist. So we are  
19    seeing some foundations being laid. That comes from  
20    hydrogen hubs; that comes from the IRA 45V credit; it  
21    comes from other programs that DOE and others are  
22    implementing.

23            And so we see the scale-up, but it is just not  
24    enough to reach scale, and it's not enough to get the  
25    carbon abatement that's necessary in support of net

1 zero. That would require a seven times scale-up by  
2 2050. And what we see here is the primary adopter of  
3 hydrogen, about 60 percent of that hydrogen, would go  
4 to industrial use. This is refining and petrochemical  
5 processes, steel manufacturing, heavy industry, where  
6 hydrogen is the best alternative to achieve that carbon  
7 reduction.

8           You also see the remainder split about equally  
9 between dispatchable power in certain markets where  
10 there's variability between supply and demand to be  
11 dealt with as the electrical grid moves to a zero  
12 carbon electrical grid. Also, transportation,  
13 primarily in heavy-duty applications, heavy-duty  
14 transportation, and finally exports. And we think  
15 exports is a significant number here in the total that  
16 you will start to see primarily from the U.S. Gulf  
17 Coast supporting other countries' decarbonization goals  
18 when they're not energy-independent.

19           We looked at then how are those molecules best  
20 produced, and, again, here you see the difference in  
21 the stated policies and the net zero scenario.  
22 Obviously the seven times scale-up in net zero is  
23 substantial. We see both -- the natural gas plus  
24 carbon capture and storage pathway and the renewable  
25 electrolytic hydrogen pathway having a role to play in

1 the future. And so we've -- we've looked at how the  
2 model best optimizes that regionally based on the  
3 resources and the end use across each region.

4 So you see a scale-up in both pathways while  
5 carbon reductions are achieved. It's important to  
6 point out here the lines that we have, the solid and  
7 dotted lines, reflect the amount of capital cost that  
8 the model is estimating will be required for achieving  
9 hydrogen at scale. And in total on the net zero case  
10 by 2050, that number is \$1.9 trillion U.S. dollars  
11 invested across these value chains for production; \$1.8  
12 trillion of the \$1.9 is to that renewable electrolytic  
13 pathway. The model is assuming -- because of the need  
14 to model the entire system, the model is assuming that  
15 all electricity towards hydrogen production is behind  
16 the meter production. This would mean equivalently  
17 that it's additional, it's in the same region, and it's  
18 time-matched because the way we had to model  
19 specifically all of the complexities here, behind the  
20 meter, was the way to model that.

21 It's not the only way it has to be implemented  
22 in reality, but what you see here is a substantial  
23 amount of the capital is required for that pathway  
24 because this is new infrastructure, new manufacturing,  
25 capabilities. It's different than the natural gas and

1 carbon capture pathway where you're already building  
2 off of some foundational infrastructure elements that  
3 exist.

4 Regionally, the model goes into a lot of  
5 detail. So in the report, you will see quite a bit of  
6 regional detail. This is available to you, and I'm  
7 giving you here just one example of how we break down  
8 the U.S., and then after this we'll talk specifically  
9 about the outcomes around economics, looking regionally  
10 as well.

11 What we see here is that there are three main  
12 geographies of adoption. In those geographies, the  
13 report goes into even further granular detail.  
14 Primarily seeing about 60 percent of demand showing up  
15 on the U.S. Gulf Coast, in particular. This is because  
16 of the resources that exist there with natural gas,  
17 with geology for carbon sequestration, with wind and  
18 sun, and also export capabilities, including the fact  
19 that it is a major industrial hub. So a lot of the  
20 demand comes from the U.S. Gulf Coast. But you also  
21 see scale-up in significant demand in the U.S. West and  
22 the Great Lakes region.

23 Again, this model is targeting what is the  
24 best alternative for each region and optimizing around  
25 those solutions. We think that there's really great

1 and novel data here that will allow people to unpack  
2 the specifics that are important to them as they look  
3 to deploy solutions in the regions in which they  
4 operate.

5 Now, the challenge with all of this is that  
6 long-term the math still doesn't work. So the study  
7 provides estimated levelized costs of hydrogen, looks  
8 at the primary production pathways that we have across  
9 regions. This chart has a lot of information, and you  
10 have it in front of you. Similar to what we showed in  
11 December, just to ground you a little bit, on each side  
12 here, one side you have U.S. Gulf Coast industrial  
13 demand, and on the right you have U.S. Gulf Coast  
14 transportation demand. This is looking at the  
15 trajectory of cost improvements over time that we  
16 anticipate. This does not include IRA incentives  
17 because in 2050 those are expected to be phased out  
18 based on current policy stated as 10 years.

19 And so what we see here is very clearly there  
20 continues to be a cost gap in the comparison of low  
21 carbon intensity hydrogen to the fuels it is replacing.  
22 There is also notably, and importantly, a difference in  
23 the carbon intensity of those solutions. And that's  
24 what the report tries to speak to.

25 In this case, if you take the U.S. Gulf Coast

1 industrial demand sector on the left side here, we see  
2 the natural gas plus CCS pathway at about \$2 a  
3 kilogram, with the renewable electrolytic pathway just  
4 under \$4. That is not in parity with where it would  
5 need to be to replace current refinery feedstock or  
6 industrial heat unless carbon intensity is valued in  
7 some way.

8 And so you see here where that would need to  
9 be -- and the report will go into lots of details of  
10 getting to something lower. In the transportation  
11 sector, it's similar. There is a large gap there, as  
12 well. The prices are higher because in the  
13 transportation sector there's more distribution and --  
14 transportation distribution costs involved. And so the  
15 cost gap is only part of the story.

16 But of course, carbon intensity and the  
17 comparison here is really the big story, and we believe  
18 policy efforts are needed to start to close that cost  
19 parity gap, in addition to technology developments and  
20 building out social acceptance. And so that's what I  
21 want to speak to in the key recommendations.

22 As Mike mentioned, we came up with 23  
23 recommendations with very strong consensus across that  
24 diverse group of participation that you saw. This is  
25 just a fantastic outcome going into a lot of detail.

1 And when you pull the report, for those of you that  
2 have seen it, or go look at that report later today,  
3 you will see many details of exactly what we think  
4 looks appropriate within these different  
5 recommendations, but we split these into three  
6 categories: the policy and regulation, the societal  
7 considerations and impacts, including safety, where you  
8 have five recommendations that are fully aligned and  
9 consistent with the "Charting the Course" study, and  
10 also a technology, research, development, and  
11 deployment.

12 I'll speak a little bit to what's in these,  
13 and the first, biggest thing that can be done to move  
14 the needle in this space is to deploy an economy-wide  
15 price on carbon. The NPC reports in the past have also  
16 made a similar recommendation. We believe that that's  
17 going to be most effective and should be transparent,  
18 should be technology-neutral, and should also make sure  
19 there's a level playing field, not putting the U.S. at  
20 a disadvantage relative to imports or exports.

21 But we also recognize that there may be  
22 necessary policy to bridge the U.S. to getting to an  
23 economy-wide price on carbon. And so I want to point  
24 out here that we look at other demand and production  
25 side incentives, including looking at and proposing low

1 carbon intensity standards, both in the industrial  
2 space and the transportation sector.

3 And, so, again, being technology-neutral and  
4 providing a level playing field, if there's not an  
5 economy-wide price on carbon, we make recommendations  
6 to implement a carbon intensity standard in industrial  
7 operations, and also a low carbon intensity fuel  
8 standard for the transportation sectors. In addition  
9 to that side of the incentives, we do address the 45V  
10 production tax credit under the IRA in some areas.

11 Now, the study participants, with the  
12 diversity of the group that we had, could not agree to  
13 every aspect of what good rulemaking would look like in  
14 45V. There is diversity of views here, especially  
15 around the three pillars of electricity matching. As  
16 I mentioned, the modeling is all behind the meter, and  
17 so the results show you what that looks like in that  
18 case. We don't speak to that specifically in our  
19 recommendations.

20 What we do speak to are two areas. One would  
21 be to match the 45V tax credit to the way companies  
22 look at investment and the investment analysis matching  
23 that better with asset life cycles. And there today  
24 when we look at a 10-year credit for the IRA, 45V, the  
25 participants believe that is just not long enough to

1 appropriately weigh into the analysis of making  
2 investment decisions.

3 The other area was to utilize GREET and the  
4 GREET capabilities in the calculation of carbon  
5 intensity, to allow for differentiated gas, co-  
6 production of other products, allocation of carbon  
7 intensity in a way that is verifiable and reflects the  
8 real carbon intensity of the pathways being used, not  
9 only the average of the -- of the GREET model.

10 Not all study members could agree on exactly  
11 the best way to do that, but there was strong alignment  
12 and consensus around the need to have better  
13 recognition of these pathways to get to the real carbon  
14 intensity and carbon reductions.

15 I'll also point out we talk about codes and  
16 standards, including deployment of infrastructure and a  
17 global carbon intensity certification, some way to  
18 translate those standards and have certification across  
19 geographies outside of the U.S.

20 We also specifically point to regulation  
21 around permitting processes. And so no surprise, we've  
22 talked about that at NPC meetings before. We would  
23 like to see a more efficient process for permitting.  
24 We talk generally to permitting. We also talk  
25 specifically about interstate hydrogen pipelines that

1 are not blended. These would be pure hydrogen  
2 pipelines crossing state boundaries. And we speak to  
3 Class VI well permitting for carbon storage in support  
4 of the natural gas plus CCS pathway of deployment.

5 Next, on the societal considerations and  
6 impacts and safety, we recognize that many companies do  
7 already conduct robust community engagement processes.  
8 Those companies have been intentionally addressing  
9 societal considerations as a project development for  
10 quite some time. And this space continues to evolve  
11 and improve.

12 And so there is an opportunity for broader adoption of  
13 community engagement. There is an opportunity to bring  
14 best practices, to be more visible, and to show what  
15 the real impacts of those activities are.

16 And so we will speak specifically in the  
17 recommendations to the transformation of the way  
18 community engagement is done, really working to shed  
19 light on best practices and the impact of those best  
20 practices working in communities to provide some  
21 clarity to structures of how to communicate with  
22 outreach materials, how to involve others from the  
23 community in those processes to ensure that there's  
24 appropriate work force development and also labor  
25 engagement. And, finally, all of this, of course,

1 needs to be done safely. And so we speak to the safety  
2 elements that are crucial to gain the social acceptance  
3 of hydrogen.

4 And then finally on the technology and R&D  
5 rollout, this is another way to close the cost gaps, to  
6 bring costs down for the solutions that are still in a  
7 very nascent stage. There may be tech breakthroughs,  
8 there can be ramp-up of capabilities and manufacturing  
9 and deployment that help close the gaps that you saw a  
10 few slides back.

11 And so we speak to targeted investments in  
12 specific areas that are intended to lower the costs  
13 that are to improve efficiencies, that are to look at  
14 other needs in the value chain, such as specifically  
15 hydrogen leak detection, which is a -- something that  
16 is still quite early in the technological development.  
17 All of those things are to get costs down across the  
18 value chain.

19 We also address potential bottlenecks that can  
20 occur in that value chain, and we speak to things like  
21 material sourcing, ensuring clarity of codes and  
22 standards, so that we have a robust value chain in the  
23 future to meet the supply and the scale-up that we  
24 project is needed in the net zero case.

25 And so finally, to close out, just to

1 reiterate, low carbon hydrogen can play a vital role  
2 in the energy future. Current policies do start to  
3 build the right foundations to allow scale-up, but  
4 significant and immediate actions are needed beyond the  
5 current policies to get to the expansion phase and to  
6 get to scale in reaching net zero.

7 We speak to a lot of regional specifics here,  
8 and those regional specifics matter. Please see the  
9 full context of the report. We hope that that is used  
10 by the market participants to develop real, lasting  
11 economic adoption of low carbon intensity hydrogen.

12 Just like with Charting the Course, we have a  
13 QR code and a website that contains the full study, the  
14 about 70-page executive summary with all of the details  
15 and appendices behind that. It's been an outstanding  
16 piece of work from the participants. And, with that, I  
17 will turn it over for questions.

18 MR. WIRTH: Okay. Thank you, Austin, on  
19 behalf of the entire team.

20 (Applause.)

21 MR. WIRTH: On behalf of the study committee  
22 the steering committee, the coordinating subcommittee,  
23 and all the task groups, I'd like to thank Secretary  
24 Granholm and the Department of Energy for your  
25 leadership and commitments to determining how hydrogen

1 at scale can best be deployed.

2 We'll open it up now to members of the Council  
3 for questions, comments, or feedback, and I'll start  
4 with Madam Secretary.

5 SEC. GRANHOLM: Thank you so much. This is a  
6 bit sobering given all of the effort that we have been  
7 putting into hydrogen -- clean hydrogen, both on the  
8 deployment side as well as on the research side. And  
9 so I want to just ask a couple questions on the  
10 incentives.

11 I get the, you know, price on carbon obviously  
12 is an issue, and that's a heavy lift from a policy  
13 point of view. But -- so I'm wondering on the  
14 incentives. So obviously the incentives for 10 years  
15 don't give the certainty necessary. So it'd be great  
16 if those were expanded.

17 The \$1.7 trillion that you identify as  
18 associated with electrolyzer-based hydrogen, is that --  
19 that is not an annual number? That is a -- that's a  
20 capex number.

21 MR. WIRTH: That's total -- total capital for  
22 deployment.

23 SEC. GRANHOLM: Right. And so is there -- was  
24 there a recommendation regarding a production tax  
25 credit or investment tax credit increases? I mean, is

1     there a level at which that -- that it makes more sense  
2     to pursue if we extended those?

3             MR. KNIGHT: The way we've looked at it is  
4     with the modeling, where do we land in that gap? And  
5     then that gap is what needs to be closed. And so we  
6     give some examples of what we think -- types of  
7     policies could be to close it. But it's not  
8     necessarily specific on this is the -- this is the size  
9     of the tax credit that is needed for this or that.  
10    What we believe is when you look at that gap, that if  
11    the credits are designed right, whether it's a credit,  
12    whether it's a price on carbon, whether it's some other  
13    types of incentives there, supply or demand side, then  
14    people say economically I can justify the switch. And  
15    so that adoption --

16            SEC. GRANHOLM: Yeah. We have work to do on  
17    that, then.

18            MR. KNIGHT: Yeah.

19            SEC. GRANHOLM: So I noticed that your  
20    evaluation of the fuel stock, if you will, was based on  
21    natural gas and renewables. Was nuclear considered?

22            MR. KNIGHT: We did not model nuclear  
23    specifically in the overall rollout, but it is spoken  
24    to in the narrative as a pathway towards the low carbon  
25    intensity hydrogen, yes.

1           SEC. GRANHOLM: Although that's expensive,  
2   too, of course.

3           And then finally, you referenced the export  
4   market potential, and I'm wondering did the study look  
5   at which markets were most fruitful in terms of export?

6           MR. KNIGHT: So for export, we took -- there's  
7   quite a wide range of uncertainty and views of where  
8   exports will go longer term, but we took input from a  
9   number of the participants in the market now. A lot of  
10   that is assumed to be ammonia exports going either to  
11   Europe or to Asia, as the U.S. still remains one of the  
12   best low-cost energy producers in supplying those  
13   markets.

14          SEC. GRANHOLM: Thank you.

15          MR. WIRTH: Steve, I think I saw a microphone  
16   delivered to you.

17          MR. HIGHTOWER: Yes, thank you very much. In  
18   your presentation, you talked about the U.S. Gulf Coast  
19   demand. And I don't want to be presumptuous, but in  
20   the Great Lakes, does it outline the demand of the  
21   Great Lakes as well?

22          MR. KNIGHT: We do. Regionally, we go into  
23   all of those details, and Great Lakes is one of those  
24   regions where we see adoption. It has ample wind and  
25   some sun, and it also has industry there that would be

1 prime to adopt.

2 MR. WIRTH: Other questions? I see a hand  
3 back up here and up front.

4 Yeah?

5 MR. PEREZ: Jose Perez with Hispanics in  
6 Energy. And thank you very much for the work. It's  
7 really tremendous, and I'm glad that I was part of  
8 this. And I totally appreciate what you guys go  
9 through to put these things together. So it really is  
10 an amazing task.

11 Well, I agree with the Secretary. It's a  
12 little sobering, some aspects of the study, but we're  
13 still encouraged and we're hopeful. And we would love  
14 to see hydrogen developed in the United States, as it  
15 was envisioned. And so we are making sure that 20  
16 percent of America's population which is Latino is  
17 engaged. So we are doing these community forums to  
18 bring the leadership along.

19 And so I really appreciate what Chevron is  
20 doing, and ExxonMobil, and so many other companies  
21 that are supporting this effort. So I just wanted  
22 to commend you and tell you that I really appreciate  
23 playing the role in this. Thank you.

24 MR. KNIGHT: Thank you, Jose.

25 MR. WIRTH: Thank you, Jose.

1                   Question back here, row one, two, three. Over  
2   on the end.

3                   MR. LIEWEN: Yeah, I want to return to the  
4   export question. So just looking at your cost gap  
5   slide, what does that look like for Asian markets,  
6   European markets, how big are those cost gaps for 2050?

7                   MR. KNIGHT: We did not model the adoption  
8   overseas, just given the complexity of that and the  
9   role specifically looking at the U.S. And so we looked  
10   at other reports and analysis that exist to determine  
11   what volume to put on that export assumption. As you  
12   probably know, other geographies are looking at their  
13   own incentive programs as well, whether it's price on  
14   carbon or other demand side subsidies to close that  
15   gap, as well. And so today those gaps still exist, but  
16   they vary region to region.

17                  MR. CARDENAS: Daniel Cardenas, National  
18   Tribal Energy Association. I think this is a great  
19   report. Maybe as we look for questions for the future,  
20   I know that -- and maybe Secretary Granholm will be  
21   able to chime in about our allies, like Japan. I mean,  
22   the Japanese, their green plan, just to replace their  
23   coal power generation, is looking at 40 to 50 million  
24   tons of ammonia, importing that. And they expect about  
25   a third of that to come from Australia, a third from

1 the United States, and then a third from other places.

2 And so have -- have we been working with our  
3 allies -- even though maybe it's not in this report,  
4 but maybe for future talking about how we work with our  
5 allies to get them to also -- us to meet their goals,  
6 because if they expect us to produce several, you know,  
7 15, 20 million tons of ammonia for their market, they  
8 ought to help us get there, as well.

9 So I was just wondering how that -- I mean,  
10 the answer will probably be you guys didn't look at it,  
11 but maybe from the Secretary, have you been in contact  
12 with our allies like Japan on how we help each other?

13 SEC. GRANHOLM: Yeah. It's a great question  
14 because this is a global market for clean hydrogen, and  
15 all of our allies are eager to -- I mean, many of them  
16 are jumping in the game with both feet. We're all  
17 experiencing the same sort of challenges on the price  
18 side of things.

19 One of the things that's really important for  
20 us to do as we work together, as Dave knows, because  
21 we've been working with our allies, is making sure the  
22 standards are uniform globally so that it's easy for  
23 the trade to occur. But our allies are looking to us  
24 because we're in a leadership position right now given  
25 the amount of money that we've invested in the hubs.

1     So we -- we intend to keep that leadership position.

2     This report helps us to really focus a bit more.

3             I don't know, Dave, if you want to add  
4     anything on our conversations with our allies.

5             MR. TURK: Yeah, just to add, I think the  
6     numbers in the charts Austin showed are sobering, just  
7     as you said, right? Like, we're going to need an awful  
8     lot of investment, an awful lot of collaboration, and I  
9     certainly think -- and we've had these conversations  
10    with Japan, with Korea, with a number of folks in  
11    Europe -- everyone's going to have to be a part of the  
12    solution to provide some funding in order to do this at  
13    scale and drive those costs down.

14            So Germany is a good example. They put some  
15    real money on the table, several billion Euros, in  
16    order to have that pull for the clean hydrogen, whether  
17    it's coming from the U.S. or North Africa or Australia,  
18    or elsewhere, or the Middle East for that matter. And  
19    so Japan, there's a role there, there's a role for  
20    others to play.

21            But I'm not sure there's an alternative,  
22    especially for the harder-to-decarbonize sectors than  
23    really stepping up and all of us really putting some  
24    funding and tools and incentives on the table in order  
25    to get there.

1           MR. WIRTH: And maybe, Dan, the last thing I  
2 would add is you mentioned some other countries. While  
3 not within the scope of this study, certainly many of  
4 the participants in the study are working in Australia,  
5 in the Middle East, have relationships with customers  
6 in Korea, Japan, and other markets trying to help bring  
7 the pieces together.

8           The natural advantages, just as you heard,  
9 there are regional differences in the U.S. in terms of  
10 production pathways or demand sectors that exist  
11 globally, as well, and then you introduce a  
12 transportation leg, which in the U.S. tends to be  
13 pipelines and probably more efficient than sort of the  
14 things where you get into marine transportation and  
15 converting to another form and then converting the  
16 hydrogen back. So it gets complex globally, but  
17 there's a lot of work going on just beyond the scope of  
18 what the study was asked to address.

19           Other questions? Yes?

20           MR. TUDOR: On the simplifying assumption  
21 about the power source being behind the meter, that  
22 strikes me as a really big, really important,  
23 assumption. Could you talk about that a little -- a  
24 little more, and kind of why you felt like you had to  
25 make that simplifying assumption? That'd be the first

1 part.

2 And the second part would be, do you feel like  
3 that simplifying assumption actually understates the  
4 ultimate cost, or the opposite?

5 MR. KNIGHT: We're working with MIT, so they  
6 have these very complex models. They have a SESAME  
7 model, and their USREP model, and all of that is to  
8 optimize the total energy system and then determine  
9 what is the life cycle emissions coming from those  
10 solutions.

11 And when we were looking specifically at how  
12 do we deploy hydrogen, there's just too many unknown  
13 variables where we're not experts in the electricity  
14 markets to try to model all of what that might do over  
15 time and you have to force some assumptions in. And so  
16 one of the forcing assumptions was the grid will  
17 decarbonize by a certain point in time.

18 And separate from that, for deployment of  
19 hydrogen, you have different pathways. One of those is  
20 based on electricity. But to simplify it, we would say  
21 that electricity is already dedicated to hydrogen. We  
22 think it provides kind of an upper end. To me, this  
23 feels more like a ceiling where that would be all new  
24 generation specifically matched to hydrogen production  
25 and not optimized.

1           And so what it does is it gives us a lot of  
2   information then as we look at policy and we look at  
3   implementation of solutions to then optimize around  
4   maybe there is nuclear that's currently not at  
5   capacity, maybe there's other ways to look at the  
6   electricity matching. And if you do that, then maybe  
7   you start to bring down both that total capex and also  
8   that cost gap starts to close. We just couldn't model  
9   it that way with all those different scenarios.

10           MR. WIRTH: Okay. Looking around for any  
11   other hands. Anything else from the podium?

12           MR. TURK: Maybe if I could just make a bit of  
13   a comment from the DOE perspective, at least on that  
14   question, which I think is a really good one. It is a  
15   near-to-medium-term issue, and that if we're successful  
16   on the electricity decarbonization goals that have been  
17   set and the progress that we've been making, we will  
18   get to a clean electricity grid. The goal the  
19   President has put on the table, rightfully so in line  
20   with the science and what we need to do, is 2035. But  
21   you have until now and then, and it is a big  
22   assumption, the behind the meter from a modeling  
23   perspective.

24           And so this is where we need, as the Secretary  
25   said at the outset, need feedback from all of you in

1 terms of the hydrogen production tax credit, other  
2 tools that we have in the tool belt, to try to get the  
3 mix right. As we're going to need clean electricity  
4 for clean hydrogen, for green hydrogen, we're also  
5 going to need it for data centers, for all the  
6 manufacturing facilities that are being built around  
7 the country, for heat pumps, for EVS, as well. So this  
8 is something that our department spends an awful lot of  
9 time working through, and certainly you-all's feedback  
10 is very much appreciated.

11 MR. WIRTH: Okay. Seeing no other hands, Mr.  
12 Chairman, that completes our report. I move that the  
13 NPC approve the report as the Council's response to  
14 Secretary Granholm's request for our advice, subject to  
15 final editing.

16 UNIDENTIFIED MALE: Second.

17 MR. ARMSTRONG: Okay. Thank you. We have a  
18 motion and a second. All in favor, aye?

19 (Chorus of ayes.)

20 MR. ARMSTRONG: Any opposed?

21 (No response.)

22 MR. ARMSTRONG: Okay. Thank you. That motion  
23 carries, and the report is adopted without objection.

24 (Applause.)

25 MR. ARMSTRONG: Okay. Next order of business

1 is we are very lucky this morning to have Deputy  
2 Secretary David Turk with us this morning, who will  
3 also speak, and I just want to recognize he was the  
4 representative to both the studies at Secretary  
5 Granholm's request, and so he was very engaged in both  
6 these studies, and both him and his team were right  
7 there in the midst of this.

8 So I just want to recognize your engagement,  
9 Deputy Secretary Turk and Secretary Granholm. Thank  
10 you for letting us have him on the studies. So, thank  
11 you.

12 And, with that, we'd love to hear some  
13 thoughts from you, Secretary Turk.

14 (Applause.)

15 MR. TURK: Well, thanks very much, Alan, and  
16 it's great to be with you. And I just want to thank  
17 again, and I know the Secretary did it at the front  
18 end, but I think this is appropriate to thank -- to  
19 Ryan and John and to Mike and Austin and everyone who's  
20 worked on these reports. I know everybody has said  
21 this has been a long lift, and I think our folks up  
22 here in the front, Austin and John in particular, are  
23 pleased that these reports are done, and to thank our  
24 own DOE team.

25 So if we just give everybody, especially the

1 worker bees, right, who really spent the time and  
2 effort, if we could just give them another round of  
3 applause.

4 (Applause.)

5 MR. TURK: And I'm going to focus my remarks,  
6 as the Secretary said, on what's ahead, what more we  
7 can do to collaborate between our department and the  
8 NPC, and with all of you more generally. But I want to  
9 take a bit of a step back if that's okay and just think  
10 about the last few-year period of time.

11 It's really quite remarkable, I have to say,  
12 what we've all been through. I know I've been  
13 traveling a lot through airports. Our Secretary is on  
14 the road even more, and I suspect all of you. You  
15 don't see too many masks these days, and it feels like  
16 we've all moved on a bit from COVID. And probably our  
17 fellow Americans don't think as much about  
18 Russia/Ukraine and some of the other geopolitical  
19 challenges that we've had, but it's really been a  
20 remarkable and a very challenging few-year period of  
21 time.

22 One thing that I've certainly seen in this  
23 role is the world is absolutely better off because the  
24 U.S. is an innovative, a dynamic energy powerhouse.  
25 There's no doubt in my mind that that's the case. I

1     certainly look to our European colleagues as they've  
2     been dealing with challenges from Russia/Ukraine and  
3     what that's done with natural gas, but otherwise, and  
4     so just wanted to recognize that very clearly the U.S.  
5     being an energy powerhouse -- a dynamic, innovative  
6     energy powerhouse, is not only good for the world now  
7     but will be good for the world for many, many years,  
8     and just wanted to recognize that and appreciate that  
9     as we look back on the last few-year period of time.

10           I think it's also incredibly important, and  
11     the Secretary referenced this, there's not a  
12     conversation that we have as we work with the White  
13     House and others in this Biden Administration where we  
14     don't focus on affordability and what prices mean for  
15     folks trying to live their lives out there around the  
16     country. I know you all focus on that, as well, as we  
17     approach the summer driving season, as we think what we  
18     all can do for our fellow Americans, all our neighbors,  
19     all our moms, our dads, or kids, out there.

20           We need affordable energy. We need affordable  
21     energy now for Americans and just wanted to say how  
22     important that is on behalf of all of us and the  
23     Administration. And we will do our part to do whatever  
24     we can on that front.

25           Looking back and taking a step back, thinking

1 of sustainability, just a few candid remarks, if I  
2 could, from my end. The Secretary referenced some  
3 investment numbers on the clean energy side. We have  
4 seen -- we have seen progress. But as I think Austin's  
5 charts showed so well, in the hydrogen context, the  
6 numbers are the numbers and the science is the science.

7 And I think many of you are engineers or come  
8 from backgrounds -- the Secretary and I always like to  
9 -- I don't know if we joke or we mean it seriously,  
10 we're a bunch of nerds and data nerds and scientists  
11 and engineers and technologists, at the Department of  
12 Energy. The science is the science and the numbers are  
13 the numbers.

14 When you think about what we need to do to get  
15 to net zero by mid-century -- and that's what the  
16 charts that Austin was showing and what that's needed  
17 in the hydrogen context -- and just in the hydrogen  
18 context, you could have similar charts, frankly, that  
19 look at a whole bunch of other technology solutions in  
20 other sectors.

21 In fact, one of my favorite pieces of analysis  
22 when I worked with the International Energy Agency was  
23 looking across all the sectors in technology as my  
24 colleague, Kamel Ben-Naceur, who was instrumental in  
25 this effort -- it's called tracking clean energy

1 progress -- looked at the progress we're making  
2 collectively as a world, private, public, all of us  
3 together, of those 50 different technologies and  
4 sectors, which ones are on track for that net zero  
5 future? And it's not just a net zero future science  
6 tells us we need to be on. A hundred and 40 countries  
7 in the world now have net zero goals in line with what  
8 the science is telling us. Over half of the major  
9 corporations around the world have those net zero  
10 goals.

11 I'm not sure too many people have looked under  
12 the hood of what's necessary to actually get to those  
13 goals in the real world at the pace and scale that we  
14 need to. Of those 50 different technologies and  
15 sectors, Kamel can tell you it's three, three sectors  
16 right now, that we're on track. That means there's 47  
17 different sectors and technologies.

18 Hydrogen is one of those sectors and  
19 technologies that is not on track. I think you can't  
20 look at Austin's charts and not see that very  
21 graphically represented. It doesn't mean we're not  
22 making progress. We're making remarkable progress in  
23 solar. That's one of the areas that we are making  
24 progress on.

25 Right now, 4 percent of our electricity is

1 generated by solar. That's going to increase just over  
2 the next two years to 7 percent in our country. So  
3 there are areas where we're making significant  
4 progress, but it's not nearly at the pace and scale  
5 that we need to.

6 The consequences here are stark. I know you  
7 all know this. You all read the news, you all follow  
8 your own analysts who are looking at this. One of the  
9 things that really sticks in my mind is one of our  
10 national labs. We've got 17 national labs across the  
11 country, phenomenal technical expertise. Took a look  
12 at all the hurricane data recently and all the wind  
13 speeds and how quickly hurricanes are forming, and  
14 they're now recommending that we need a Category 6  
15 hurricane. Category 5 hurricane is not enough; we need  
16 to have a Category 6 because of what we're seeing out  
17 there, again in the real world.

18 Just reading -- just reading some of the news  
19 and the clips that the Secretary and I and others at  
20 the Department of Energy get, this morning there's now  
21 a new estimate coming out of the Potsdam Institute that  
22 says global warming, if it's left unchecked, is going  
23 to be a drain of 19 percent on global wealth by 2049.  
24 So 19 percent of the wealth we would have had is going  
25 to be evaporated if we can't do what we need to do,

1    what 140 countries have already agreed to do, what over  
2    half of the corporations of the world -- largest  
3    corporations of the world. But it is daunting to look  
4    underneath the hood, to really look at the numbers, to  
5    explore the numbers, to have real-world conversations  
6    about what it takes to get there.

7           The other data point on the starkness of the  
8    challenge that faces us is we've had historic  
9    legislation, thanks to President Biden's leadership and  
10   an awful lot of key folks up on the Hill -- a couple  
11   years ago, the Inflation Reduction Act, in particular,  
12   but the bipartisan infrastructure legislation.

13           Our country before those pieces of legislation  
14   were passed was on a trajectory to reduce our emissions  
15   20 percent from where they were in 2005 to 2030. Now,  
16   20 percent is better than 10 percent, better than 15  
17   percent, better than 5 percent, but that is not the  
18   trajectory we need to be on by 2030. The President has  
19   put a goal in line with the science of being at a 50  
20   percent reduction by 2030, just a few years from now.

21           That historic piece of legislation -- and it  
22   was historic -- not only the biggest piece of climate  
23   and clean energy legislation in the U.S. history, it's  
24   actually the single biggest piece of legislation on  
25   clean energy and climate in the history of the world.

1 But that's only good enough to put us on a trajectory  
2 to get to 40 percent emissions by 2030.

3 So all of that investment in the tax  
4 incentives, all the grant money, all the work that  
5 we're doing at the Department throughout the  
6 Administration, and of course this is all driven by  
7 entrepreneurs and companies doing things out in the  
8 real world and us trying to enable it, just gets us to  
9 -- just gets us to that 40 percent reduction. So 20 to  
10 40 percent is great, but even that doesn't get us to  
11 where we need to go.

12 So just to put some numbers on the table of  
13 what the challenge is really extrapolating, if I could,  
14 from Austin's charts of what's necessary on the  
15 hydrogen side.

16 All right. So let me share a few thoughts,  
17 and, Alan, thanks for some time this morning as the new  
18 Chair to sit down and -- some thoughts on the NPC and  
19 what more could be done together in the constructive  
20 spirit that the Secretary outlined at the beginning of  
21 the meeting.

22 One thing I'm struck by in this job, in  
23 particular, having worked with many of you over the  
24 last few years -- and I'm reminded by the great  
25 philosopher, Stan Lee, in Spiderman, I can't remember

1 if it was Aunt May or if it was the uncle in the movie  
2 who said it, and I think different ones may have said  
3 it in different movies, with great powers come great  
4 responsibilities. And I am struck by the powers that  
5 this industry has. It's really quite remarkable.

6 You think of the technology expertise, you  
7 think of the logistics expertise that you all have, you  
8 think of the money that you all have, you think of the  
9 lobbying power that you all have. I think the greatest  
10 power you all have -- and I know, Mike, you would agree  
11 with this, other executives up here, Ryan, Alan, others  
12 -- it's the people that you all have -- incredibly,  
13 incredibly talented folks. I don't need to tell you  
14 all that.

15 (Applause.)

16 MR. TURK: And I think the way the Secretary  
17 framed it up is, can we leverage that to be front and  
18 center looking at the numbers and being honest with  
19 ourselves and what we can do together to make sure that  
20 we're on the right track in a variety of these sectors  
21 and the technologies as we go forward.

22 So with that spirit in mind, a few thoughts on  
23 the way ahead. I'll comment on both of the reports  
24 really quickly. Methane, I know, is something a lot of  
25 us have worked on for years and years, as someone who's

1 worked on the original oil and gas methane partnership.  
2 I know we're now up to 2.0 and there's a lot of other  
3 efforts out there, voluntary and also regulatory, as  
4 well.

5 This is the single biggest no-brainer to all  
6 get our acts together on this front. I know you all  
7 know that, and I think this report is terrific analysis  
8 to get on with it. Right? We just need to get on with  
9 this at scale, at pace, and reduce our emissions. The  
10 technology is improving so quickly, we've got a very  
11 dynamic technological environment with the monitoring  
12 and other pieces on it. So if there's things that we  
13 can do to help Brad and his team from the Fossil Energy  
14 and Carbon Management side, but otherwise let's just  
15 get on with it and reduce emissions as quickly as we  
16 possibly can on that front.

17 On the hydrogen side, the one thing I'm struck  
18 by -- and I know, Alan, you've stressed this in your  
19 new chairmanship -- these big reports are phenomenal,  
20 they really are phenomenal in terms of the depth and  
21 scope, but hydrogen's an area just like methane where  
22 things are very dynamic, things are happening very  
23 quickly. We need your dynamic feedback as we're  
24 thinking of the hydrogen production tax credit, as  
25 we're thinking of the other tools that we've got in the

1 tool belt.

2 So there's an open question for you all of  
3 what is the best modality to have back and forth.  
4 There's certainly an opportunity for shorter reports  
5 that are more time-limited because things are so  
6 dynamic, and we need that feedback so we can play our  
7 role going forward as much as we can.

8 We have set up within our department a  
9 hydrogen group, pulling folks from all across the  
10 various offices -- Sunita's the head of that hydrogen  
11 group -- so that we can -- a joint strategy team is  
12 what we call it, so that we can be efficient in terms  
13 of our engagement and think of all those levers and how  
14 we adjust those levers to try to deal with the  
15 challenges, with the opportunities going forward. So  
16 there's a question for you all on the modality of  
17 working on hydrogen but other issues, as well.

18 CCUS is an issue I know you all have focused  
19 and we've all focused on from the Department of Energy  
20 side for so many years. My basic takeaway on that is  
21 similar to methane. Let's get on with it and do this  
22 in the real world. And we need you-all's feedback.  
23 We've obviously got 45Q and the tax incentive piece.  
24 There's the permitting issues. There's the way we all  
25 need to go forward.

1           As the Secretary emphasized at the very  
2 beginning of the meeting, we did appreciate the real  
3 focus on the hydrogen side, in particular, but the  
4 methane piece on the local communities and doing right  
5 by our environmental permitting and all that. But it  
6 doesn't mean these things need to lag and drag out for  
7 years and years. We just need to try to tighten up  
8 time frames, and eager to work with you all so we can  
9 get on with it.

10           I think CCUS is one that there's going to be a  
11 lot of skepticism out there, if I can put it candidly,  
12 unless we do this at scale and we show that we do this  
13 right, and there's an opportunity in front of all of us  
14 to do it. But the clock is very much ticking on that  
15 front.

16           Just two other areas to highlight. One is a  
17 thanks. Many of your companies now are already  
18 investing in or thinking about investing in the  
19 critical minerals and supply chain side of things. We  
20 are going to need critical minerals in the supply chain  
21 piece going forward at scales that we've not seen  
22 before. And so if there's anything that we can do with  
23 our analysis, with our partnership, to explore areas  
24 where it makes sense for your particular companies or  
25 the industry as a whole to get involved, we are very

1 eager, whether it's lithium or any number of other  
2 areas, very eager to partner with you all.

3 Last one I want to say, and I know it's a  
4 little weird to talk about electrons and not molecules,  
5 but what's happening on the electron side of things and  
6 what we're going to need in the U.S. on the grid is  
7 quite remarkable in many ways. A lot of people talk  
8 about data centers and AI and what that means in terms  
9 of the additional load that we're going to need on the  
10 grid.

11 We're estimating right now that data centers  
12 are responsible for about 4 percent of our electricity  
13 in the U.S. About 15 percent we think is from  
14 artificial intelligence, and that 4 percent for data  
15 centers overall is expected to grow, could be doubled  
16 as early as 2027, and could take a few more years, but  
17 the growth is quite remarkable.

18 What's quite striking is even that kind of  
19 growth is only 30 percent of the additional electricity  
20 growth that we're expecting in our country. All those  
21 new manufacturing facilities, this industrial  
22 renaissance we're having in our country, that's a lot  
23 of electricity, that's a lot of energy that's needed,  
24 let alone electrification with heat pumps, with EVs,  
25 other things going forward.

1           The one area in particular -- and the  
2   Secretary referenced this and she's spoken about this  
3   several times -- is enhanced geothermal. I had a  
4   chance to go out to our premier -- and, frankly, this  
5   is the world's premier enhanced geothermal site out in  
6   Utah, the FORGE facility is what we call it from the  
7   DOE side. There's also a company that's collocated out  
8   there, Fervo, and I invited several folks from your  
9   companies to attend; many did, which was just  
10   phenomenal. Thank you for those who sent folks out  
11   there. Some of you have already started investing in  
12   this space; others are curious about this space.

13           What struck me is all the drilling technology  
14   that you all have perfected for many, many years is now  
15   being used, utilized, and expanded to drill deeper.  
16   Enhanced geothermal drills deeper, you get hotter, you  
17   get electricity production, you get 24/7 electricity  
18   production. That's something those data centers are  
19   eager -- eager to have supplied. And it's just quite  
20   remarkable the ingenuity, the drilling time reduction.  
21   Some of this has come out in the news. I think some of  
22   this will come out even further. But even over the  
23   last year we've seen remarkable, remarkable strides in  
24   that space.

25           So, again, this may be an area where you look

1 at your own companies and think what expertise,  
2 comparative advantages do I have, and this may be an  
3 area. But we're eager to explore others, and if we can  
4 do other trips or other ways to share what we're seeing  
5 in real time and what we're working on in our labs,  
6 we're eager to do so.

7 But thanks, Alan. Let me conclude. Thank  
8 you, Alan, for taking on the chairmanship of this  
9 group. We're eager for your feedback informally,  
10 formally. Maybe it is in the shorter duration, smaller  
11 report kind of modality, as well. But, again, thank  
12 you for all the partnership.

13 (Applause.)

14 MR. ARMSTRONG: Thank you, Deputy Secretary  
15 Turk. Really, a lot of interesting thoughts there  
16 looking forward and what we can think about for the  
17 next studies. I think all of us would like to see our  
18 studies sped up and meet the timelines that we operate  
19 under today. And obviously the width and breadth of  
20 those studies will dictate the time frame of those  
21 studies. So we look forward to further discussion on  
22 that.

23 Next, we're also very honored this morning to  
24 have Assistant Secretary Brad Crabtree, who leads up  
25 the Fossil Fuel and Carbon Management for the

1 Department of Energy, and also has been very involved  
2 -- and a lot of his team has been directly engaged in  
3 the day-to-day work on producing these studies.

4 So I'd love to have you come speak for us, as  
5 well, Brad. Thank you.

6 (Applause.)

7 MR. CRABTREE: Thanks, everyone. After all  
8 the remarks and great presentations, there's actually  
9 not much left to say. The Deputy Secretary actually  
10 did what I was going to do, which was to start off and  
11 just recognize everybody that's contributed so much:  
12 the co-chairs and the committees, the NPC staff, the  
13 team at the Department of Energy, I won't repeat all  
14 that except to say one more big thank-you to everyone.

15 And as Alan mentioned, I had the privilege to  
16 be able to join recent sessions as these reports were  
17 finalized, the online sessions of both committees and  
18 then the in-person meetings recently in Houston. And I  
19 was just really impressed with the effort that  
20 everybody collectively put in together, and so I  
21 thought I'd just conclude by just a few quick  
22 appreciations that come from having observed that  
23 process.

24 First of all, I just think that both of these  
25 reports are really poised for impact. The timing could

1 not be better. The Deputy mentioned, and others have  
2 mentioned, all the work that's happening on measurement  
3 and MRV in natural gas, the policies that are being  
4 rolled out, thanks to the infrastructure legislation,  
5 and the Inflation Reduction Act. All that's happening  
6 in real time right now, and the greenhouse gas  
7 emissions report is just an extraordinary validation of  
8 all of that at a critical moment.

9 Similarly, it's already been noted, but the  
10 hydrogen report, we have for the first time a set of  
11 policy tools in this country that really reward clean  
12 hydrogen production across multiple pathways. And with  
13 the rollout of the hubs and the tax credits, this  
14 report, too, will have a huge impact, and there's a lot  
15 of realism in the hydrogen report, but that itself, I  
16 think, is helpful right now.

17 Building on what the Secretary said, I also  
18 just really want to recognize the effort that you all  
19 put in on community benefits and environmental justice.  
20 The work of each committee, the effort to integrate  
21 your recommendations across the two committees, I  
22 really think it's groundbreaking.

23 The environmental justice and community  
24 benefits is the right thing to do. It's long overdue.  
25 It's also absolutely necessary for project success.

1 It's good business going forward, and I really believe  
2 that this report coming from all of -- these reports  
3 coming from all of you elevating environmental justice  
4 and community benefits as a co-equal focus, and for the  
5 first time in the NPC is really welcome and important  
6 going forward.

7 The other thing that really struck me over the  
8 past couple months is the thoughtful nuance that you've  
9 brought to all these issues. There's so much  
10 polarization in the energy and climate debates right  
11 now, and that polarization gets in the way of a lot of  
12 solutions that are right in front of us. And you put  
13 in extra effort to navigate that.

14 You know, I've mentioned before, and I'll just  
15 cite it as one example, but there are many. On clean  
16 hydrogen production and navigating blue and green and  
17 not making it blue versus green, but really doing a  
18 sophisticated job of showing how each can contribute,  
19 will contribute in different ways over time, and  
20 respond to the different resources that the various  
21 regions around the country have. Both reports, by  
22 doing that, really expand the audience for your work.

23 The other thing -- and this is -- this is not  
24 the last but least -- or I said that the wrong way --  
25 is the effort to build consensus. Someone in their

1 presentation mentioned that most of the recommendations  
2 were unanimous or close to unanimous. And that's  
3 really significant and important. You can have one  
4 recommendation that doesn't have broad buy-in. That  
5 same recognition with the full breadth of support from  
6 your committees will have a lot more impact on the back  
7 end.

8 And you put your time in one way or another.  
9 You either invest that time up front in reaching  
10 consensus like you've done, or you pay the price on the  
11 back end as you navigate all of the unexpected  
12 reactions from various stakeholders. So that's really  
13 welcome, and I applaud that effort.

14 And part of that pragmatism, too, on the  
15 policy recommendations, and that's kind of my final  
16 thought here. In the past, sometimes there's been a  
17 focus on the near term and then policy recommendations  
18 that are needed long-term, but without that bridge.  
19 And I just note, again, these reports emphasize the  
20 importance of carbon pricing long-term to meet the  
21 modeled goals that have been set out in the reports,  
22 but you also put in the time and effort, recognizing  
23 how hard carbon pricing has been in this country, to  
24 recommend some really important pragmatic options if  
25 carbon pricing is not possible. So the carbon

1 intensity standards for industry and transportation are  
2 eminently feasible, potentially even in the -- near to  
3 medium term and very important in their own right. And  
4 I think that's a welcome addition.

5 And then just -- I really feel like in that  
6 your work together is a validation of the opportunity  
7 we have, in the infrastructure legislation and all the  
8 funding and financing provisions, and then the tax  
9 credits, the Inflation Reduction Act. It's a real  
10 validation of that solutions-oriented, incentive-  
11 oriented approach to meeting our climate goals while  
12 also laying out very effectively what needs to come  
13 after that if we're to get to net zero by mid-century.

14 So thank you for this really excellent effort.  
15 We appreciate all the collaboration and goodwill that  
16 you all showed together, and look forward -- as the  
17 Deputy noted, we are already thinking with leadership  
18 on the National Petroleum Council about options for  
19 next steps and working together. We even have a call  
20 scheduled Friday morning to get started. And so I look  
21 forward to working with all of you on bringing  
22 proposals back to the Secretary and the Deputy for  
23 their consideration. Thank you, everyone.

24 (Applause.)

25 MR. ARMSTRONG: Okay. Thank you, Brad, and

1    please give our thanks to your staff for their support,  
2    as well.

3               And I'll just say we appreciate the Department  
4    of Energy being here this morning, leadership being  
5    here. Thank you all so much for your engagement, and  
6    we wish you the best in directing the nation's energy  
7    policy, and we hope these reports are constructive in  
8    that path forward. So thank you for being here this  
9    morning.

10              Okay. Before briefly addressing -- we do have  
11    a few administrative matters on the remaining agenda  
12    here, and I do have an announcement, though. We will  
13    have a press conference in the Buchanan Room beginning  
14    at 11:45, and both the study leaders will be -- for  
15    both greenhouse gas and the hydrogen energy -- will be  
16    available to respond to questions for the press at that  
17    11:45 meeting in the Buchanan Room.

18              So our first administrative item this morning  
19    is the report of the Finance Committee. Byron Dunn,  
20    Chair of the Finance Committee, had to return to Dallas  
21    early this morning, unfortunately, for a funeral  
22    service there.

23              (Brief audio interference.)

24              MR. ARMSTRONG: -- with budget expectations,  
25    and member contributions are coming in at or even a bit

1 quicker than usual.

2           So, that said, I would not be doing my job,  
3 and Byron would be very disappointed in me, if I didn't  
4 tell you, for those of you that have not sent in your  
5 contributions yet, that I want you to let Byron know  
6 that I told you you need to get that done. So, thank  
7 you all for -- for following up on that, and thanks for  
8 those that have done that promptly. We appreciate you  
9 doing that.

10           As well, Byron is a member of the Nominating  
11 Committee, and in John Walker's absence, who is the  
12 Chair of the Nominating Committee, he was also going to  
13 present that report. I think they're both at the same  
14 service this morning. And fortunately their report is  
15 a very brief report, and there are just two exceptions  
16 to their report.

17           First of all, the officers of the Council,  
18 members and chairs of the Agenda and Appointment  
19 Committees, and the at-large members of the Co-Chair's  
20 Coordinating Committee, who were elected this past  
21 December, are all nominated to continue for the balance  
22 of 2024 and until the first Council meeting in 2025.

23           The exceptions are to nominate Willie Chang to  
24 fill a vacancy that has occurred on the Agenda  
25 Committee and to nominate Robin West to fill an open

1 at-large seat on the Co-Chair's Coordinating Committee.

2 So on behalf of Byron and John and the rest of  
3 the Nominating Committee, I move that their report be  
4 adopted by the Council. Do I have a second?

5 UNIDENTIFIED MALE: Second.

6 MR. ARMSTRONG: Thank you all. And are there  
7 any further nominations from the floor this morning?

8 (No response.)

9 MR. ARMSTRONG: Okay. Hearing none, all those  
10 in favor, say aye, please.

11 (Chorus of ayes.)

12 MR. ARMSTRONG: Any opposed?

13 (No response.)

14 MR. ARMSTRONG: Okay. The report is adopted,  
15 and thank you.

16 So, other matters. First of all, before we  
17 get to our final agenda item, I want to see if there  
18 are any other items that need to be raised before the  
19 Council this morning?

20 (No response.)

21 MR. ARMSTRONG: Okay. Hearing none, then let  
22 me conclude by saying for those in the online audience,  
23 we thank you for watching our proceedings this morning  
24 and encourage you to download the reports approved  
25 today, which will be posted to NPC.org following the

1 adjournment of this meeting.

2 And, with that, do I have a motion for  
3 adjournment?

4 UNIDENTIFIED MALE: Moved.

5 MR. ARMSTRONG: Thank you. And so without  
6 objection, the 134th meeting of the National Petroleum  
7 Council is hereby adjourned. Thank you very much.

8 (Applause.)

9 (Whereupon, at 11:03 a.m., the meeting was  
10 adjourned.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 CERTIFICATE OF REPORTER

2

3

4 I, George Quade, do hereby certify that the  
5 foregoing proceedings were recorded by me and reduced  
6 to typewriting under the supervision of For The Record,  
7 Inc.; that I am neither counsel for, related to, nor  
8 employed by any of the parties to the action in which  
9 these proceedings were transcribed; and further, that I  
10 am not a relative or employee of any attorney or  
11 counsel employed by the parties hereto, nor financially  
12 or otherwise interested in the outcome of the action.

13


14

15

16

17

18

  
GEORGE QUADE, CERT

19

20

21

22

23

24

25