

UNITED STATES DEPARTMENT OF ENERGY

ELECTRICITY ADVISORY COMMITTEE MEETING

Arlington, Virginia

Wednesday, June 5, 2013

1 PARTICIPANTS:
2 BILLY BALL
Southern Company
3
4 LINDA BLAIR
Executive Vice President, ITC Holdings
5
6 RICK BOWEN
Alcoa
7
8 MERWYN BROWN
California Institute for Energy & Environment
9
10 PAUL CENTOLELLA
Vice President, President Analysis Group
11
12 JASON CHRISTOPHER
Department of Energy
13
14 DR. ROBERT COLES
National Grid
15
16 RICHARD COWART
EAC Chair
17
18 BOB CURRY
Commissioner Emeritus, NY; Charles River
Associates
19
20 CLARK GELLINGS
Electric Power Research Institute
21
22 DIAN GREUNICH
Dian Greunich Consulting
23
24 HONORABLE PATRICIA HOFFMAN
Assistant Secretary for Office of Electricity
25
26 PAUL HUDSON
Stratus Energy Group, Austin
27
28 SUE KELLY
American Public Power Association

1 PARTICIPANTS (CONT'D):

2 CHERYL LA FLEUR
FERC Commissioner

3

4 DAVID MARCHESA
Haddington Ventures

5 RALPH MASIELLO
DNV KEMA

6

7 DAVID MEYER
Office of Electricity

8 RICK MILLER
Consultant HDR Engineering

9

10 CLAIR MOELLER
MISO

11 SAMARA MOORE
White House National Security Staff

12

13 GRANGER MORGAN
Carnegie Mellon, Engineering & Public Policy

14 JAY MORRISON
National Rural Electric Cooperative Association

15

16 ERIC OLSEN
Office of Electricity

17 CHRIS PETERS
EAC Member, Moderator

18

19 SONNY POPOWSKY
EAC Vice Chair

20 WANDA REDER
S&C Electric Company; IEEE

21

22 PHYLLIS REHA
Commissioner Emeritus, Phyllis Reha Consulting

1 PARTICIPANTS (CONT'D):
2 BRAD ROBERTS
Electricity Storage Association
3
4 MATT ROSENBAUM
Office of Electricity
5
6 JUDITH SCHWARTZ
To the Point, Consultant Consumer Engagement
7
8 TOM SLOAN State Representative, Kansas
9
10 MARIANNE SWANSON
NIST
11
12 DAVID TILL
Tennessee Valley Authority
13
14 GORDON VAN WELIE
ISO New England
15
16 REBECCA WAGNER
Nevada Public Utilities Commission
17
18 MIKE WEEDALL
Bonneville Energy Administration
19
20 JON WORTHINGTON
Department of Energy
21
22

* * * * *

1 P R O C E E D I N G S

2 MR. POPOWSKY: Okay. Thanks, everyone,
3 for getting here so promptly, we have a full day.
4 Can everybody hear me okay, is this too loud or
5 too much echo? Are you okay? Good. Anyway, my
6 name is Sonny Popowsky, I am the retired Consumer
7 Advocate of Pennsylvania, and I'm also the Vice
8 Chair of this committee, and I'm sitting in today
9 for Rich Cowart, who is our Chair, who is
10 currently addressing an audience in France at the
11 European Commission on some important energy
12 issues. And Rich regrets that he couldn't be
13 here, but he send his regards, I just talked to
14 him this morning, and he thanks everyone for all
15 the work they've done in the last few months to
16 get ready for this meeting.

17 Why don't we start just by going around
18 the table, because I think there are a few people
19 here who may not be known to everyone, and then
20 we'll hear from David Meyer and then Pat Hoffman.
21 So let's start with the folks at the table and
22 then I'll also ask the folks in the audience to

1 identify themselves. So, Pat, you want to start?

2 MS. HOFFMAN: Sure. I'm Pat Hoffman,
3 Assistant Secretary for OE, going into the second
4 round.

5 MR. WORTHINGTON: Jon Worthington,
6 Department of Energy, I work with Pat as the
7 Deputy Assistant Secretary Office of Electricity
8 for National Electricity Delivery Division.

9 MR. MEYER: David Meyer with the Office
10 of Electricity.

11 MR. ROSENBAUM: Matt Rosenbaum, same
12 office.

13 MR. MILLER: Rick Miller, Consultant
14 with HDR Engineering and participating in the
15 panel tomorrow, I bring an energy storage and a
16 renewable energy integration focus to this.

17 MR. MOELLER: Clair Moeller from MISO.

18 MS. BLAIR: Good afternoon, Linda Blair,
19 Executive Vice President at ITC Holdings.

20 MR. CENTOLELLA: Paul Centolella, Vice
21 President Analysis Group.

22 MR. VAN WELIE: Gordon Van Welie, ISO

1 New England.

2 MS. GRUENEICH: Dian Grueneich, Dian
3 Grueneich Consulting.

4 MS. REHA: Hi, Phyllis Reha,
5 Commissioner Emeritus, I guess, and now with
6 Phyllis Reha Consulting.

7 MS. WAGNER: Rebecca Wagner, Nevada
8 Publish Utilities Commission.

9 MS. SCHWARTZ: Judith Schwartz, To the
10 Point, I am a Consultant in Consumer Engagement.

11 MR. WEEDALL: Mike Weedall, I'm not
12 quite sure what to refer to myself as --

13 MR. CURRY: I have a suggestion
14 (laughter).

15 MR. WEEDALL: Yeah, yeah, yeah. Control
16 yourself, Bob.

17 MR. MORGAN: I'm Granger Morgan, I'm
18 head of a department at Carnegie Mellon called
19 Engineering and Public Policy.

20 MR. GELLINGS: I'm Clark Gellings, I'm a
21 Fellow with the Electric Power Research Institute.

22 MR. MASIELLO: Ralph Masiello, DNV KEMA.

1 MR. SLOAN: Tom Sloan, State
2 Representative of Kansas.

3 MR. BROWN: Merwin Brown with the
4 California Institute for Energy and Environment,
5 which is in the University of California, a co
6 director of electric grid research.

7 MS. REDER: Wanda Reder, S&C Electric
8 Company and IEEE.

9 MR. ROBERTS: Brad Roberts, Electricity
10 Storage Association.

11 MR. BALL: Billy Ball, Southern Company.

12 MR. CURRY: Bob Curry at Emeritus from
13 New York, and I'm now with Charles River
14 Associates.

15 MR. HUDSON: I'm Paul Hudson with
16 Stratus Energy Group in Austin.

17 MR. MORRISON: Jay Morrison, National
18 Rural Electric Cooperative Association.

19 MS. KELLY: Sue Kelly with The American
20 Public Power Association.

21 MR. TILL: David Till, Tennessee Valley
22 Authority.

1 MR. MARCHESA: David Marchesa with
2 Haddington Ventures on the corner of David.

3 MR. BOWEN: Rick Bowen with Alcoa.

4 SPEAKER: I'm Don (inaudible).

5 SPEAKER: Good afternoon, (inaudible).

6 SPEAKER: Elliott Roseman (inaudible)
7 International.

8 SPEAKER: (Inaudible) Electricity.

9 MR. OLSEN: Eric Olsen, Office of
10 Electricity.

11 SPEAKER: Good afternoon, (inaudible).

12 MS. COLE: Erin Cole (inaudible).

13 MR. POPOWSKY: Thanks to Jay Morrison
14 for hosting us here this afternoon and tomorrow
15 and our ECA. And I also wanted to thank a couple
16 of our members who will be termed out after this
17 and will be living; Dian Grueneich -- you don't
18 have to leave yet (laughter) -- and Brad Roberts,
19 thank you for your great service for these many
20 years on this committee. And also Ralph Cavanaugh
21 will also be leaving at the end of this session.
22 We are, DoE is in the process of replenishing our

1 ranks and we hope to have some new members
2 appointed by the new Secretary, hopefully in time
3 for our next meeting in October.

4 I did want to, just preliminarily, get
5 started, thank the subcommittees, the working
6 groups, your chairs and members for all the work
7 you've done to prepare for this meeting. We have
8 a lot of really good material to go over today,
9 and that's all thanks to the work of the people in
10 this room. I also want to thank the members of
11 the DoE staff who have really worked with this
12 group and worked with the subcommittees, I'd say
13 more than ever before, in sort of a two-way
14 process where they've been able to answer our
15 questions and provide us with input and provide,
16 let us know what they think of our recommendations
17 and vice versa.

18 So I really want to thank to DoE staff,
19 and I really look forward to their continued
20 participation in our work. We do, obviously, have
21 a new Secretary of Energy, and we're hoping, at
22 least, that we will get a chance to talk to him

1 sometime in one of our meetings in the near
2 future. I'm sure he's very interested in our
3 work, and I know he's already been talking about
4 some of the issues that we're going to be talking
5 about today. Also thanks to ICF, Samir Elliott,
6 Sherry, and also we would thank Paula Kline for
7 all of her work, she's off to graduate school, I
8 think. Thanks to all of the work that she did for
9 the committee when she was with ICF.

10 So, with that, let me turn to David
11 Meyer and then to Pat Hoffman.

12 MR. MEYER: Well, thank you. I don't
13 have a whole lot to add, here. We continue to
14 learn how to make this a fruitful relationship,
15 how to fine tune it and improve it. And I think
16 we've made significant progress in the past year
17 or so, and we will continue. We are in the midst
18 of a transition of sorts at DoE, we, I'm sure we
19 have not yet had all of the meetings with the new
20 Secretary that we're going to need in order to get
21 a clear understanding of what his priorities are
22 and how we can most effectively step up and meet

1 some of those priorities.

2 But we will keep you posted and hope to
3 have some arrangement for you with the Secretary
4 for this coming meeting in October.

5 MS. HOFFMAN: So I also want to express
6 my welcome and thanks, thanks for the members that
7 have been here for a very long time and watching
8 us grow and evolve as an advisory committee, but I
9 also want to welcome the new members and the new
10 faces, some of the folks that haven't been to a
11 whole lot of meetings, and let you know that this
12 is always a lively group, we have very engaging
13 discussions. I want to make sure that what we're
14 focused on is very important and relevant to where
15 the industry is heading and where our programs
16 could head to support the industry, as well as any
17 dialogue or efforts that the Department can do in
18 interacting with other agencies and other
19 activities.

20 I know you guys are aware that we did do
21 a little bit of reorganizing in our office, and we
22 created a modeling and analysis group which Alice

1 is temporarily leading right now, acting in this
2 role. And one of the things that we wanted to do
3 was actually strengthen the depth of discussions
4 that the Department is having on various topics,
5 and be able to pull together a group of experts
6 that really could get into the analysis and
7 benefits around some of the strategic thoughts and
8 directions that we're having. And so that's very
9 important to me, I know it is important to the new
10 Secretary, Ernest Moniz, came in, the one thing he
11 said is he wanted us to be stronger in our
12 analysis and how we look at issues.

13 So I think that's very important. When
14 I had a little bit of time to spend with Dr.
15 Moniz, we talked a little bit of some of my
16 priorities, and I guess I'll just share with you
17 what I shared with him. And then he'll probably,
18 I think he'll continue to, as he understands more
19 of the issues involved in the discussions and the
20 importance of some of the different topics. We
21 did talk a little bit about the synchrophaser
22 activities that the Department has and the

1 importance of that activity in laying a data
2 platform, or a platform for real time data across
3 the United States, recognizing that's very
4 complementary to some of the modeling that happens
5 in the utility sector, especially at the
6 transmission level, and want to make sure that we
7 develop tools that are actionable by operators,
8 but also get more into maybe some predictive
9 capabilities, modeling capabilities to partnership
10 with the university. So we talked about that a
11 little bit.

12 We did talk about the importance of
13 cyber security, so the discussion today on cyber
14 security is going to be very important as we
15 continue to mature in this area. We talked about
16 the issues, we recognized some of the strategic
17 directions, and I'll give you some of my thoughts
18 during that conversation, and where I see some
19 priorities are and some of the directions. Energy
20 storage, of course, that was the one thing that he
21 got talons on, and his confirmation hearing was
22 energy storage, so we are diligently working on

1 the time line and the schedule for energy storage.
2 And I look forward to continuing to work with the
3 subcommittee on energy storage, making sure that
4 we include the relevant topics in the outline for
5 Senator Wyden on energy storage, but have very
6 productive and constructive discussions thus far
7 on it, so we can talk about that a little bit
8 later on.

9 Some of the other things that I talked
10 to him about was, he actually brought up the
11 natural gas and electricity interdependency issue
12 that was very much, I know, on Burke's radar, as
13 well as on Congress's radar, and I know there were
14 several hearings on the topic. I did go to the
15 MIT Natural Gas Electricity Interdependency
16 meeting, and I know that Allison and some of her
17 team went to several other meetings on the issue,
18 so we're continuing to look at that and try to be
19 more corporate in how we think about that topic
20 and where we need to go. Some of the other things
21 that we talked about that I think are still
22 evolving concepts, at least in my mind, and

1 probably could use your help.

2 We talked a little bit of, is there any
3 need to continue to push integration AC/DC, I
4 think IEEE did a magazine article on AC/DC, both
5 at the transmission and at the distribution
6 levels, and one of the things that piqued his
7 interest is DC integrating with buildings, also
8 the use of transactive loads and how do we
9 continue to evolve the electric system with
10 investment in that area. So that was another
11 thing that we discussed. And I'm sure there's
12 other things, I can't remember them all, but I
13 think those were at least the initial topics
14 across the table.

15 And then, as he is able to come to this
16 meeting as we talk further on some of these
17 issues, I'll continue to give you guys an update
18 on what the Department is thinking, where we're
19 heading, what are some of the major issues. But I
20 think we're still, based on the guidance in the
21 past EAC meetings, I think the discussions and the
22 directions and the things that we're talking about

1 are very relevant to where the industry is
2 heading. I know that we're still at the
3 Department supporting some of the Hurricane Sandy
4 recovery effort and been asked to continue to look
5 is there an opportunity for utilities to continue
6 to think about microgrids from a utility
7 perspective and how they operate the system. And
8 so we'll work with some of the utilities and
9 different folks in looking at that, looking at
10 that opportunity as a result of Hurricane Sandy.

11 So that's what I have, at least as my
12 initial update, and I look forward to the
13 discussion, and as I remember more things during
14 the meeting, I'll probably interject them at that
15 time. Thank you.

16 MR. POPOWSKY: Thanks, Pat. And a
17 couple more folks have joined us. Introduce
18 yourself, Commissioner.

19 MS. LA FLEUR: Yes. I'm Cheryl La Fleur
20 from FERC, sorry to be a couple minutes late, but
21 I'm here for the rest of the day.

22 MR. POPOWSKY: And Chris?

1 MR. PETERS: I'm Chris Peters from
2 Entergy.

3 MR. POPOWSKY: Okay. Anybody have any
4 questions or suggestions for Pat and the folks at
5 DoE? Dian?

6 MS. GRUENEICH: We know that Secretary
7 Chu was very committed to energy efficiency, and I
8 know we are going to talk about Race to the Top.
9 Secretary Moniz mentioned energy efficiency, but
10 did the topic come up, do you have a sense whether
11 there will be any diminishment or continuation or
12 any thought, specifically in the world of energy
13 efficiency?

14 MS. HOFFMAN: Actually, I think
15 continuation there, if I remember correctly, his
16 first event that he did was an energy efficiency
17 event, and expressed his commitment to VEDA, an
18 opportunity that we shouldn't waste in looking at
19 continuing to drive energy efficiency activities.
20 So I don't see a change in that topic at all, from
21 my perspective or my opinion.

22 MR. POPOWSKY: Okay. Anybody have any

1 other questions or -- Granger? And, by the way,
2 if you just put your card up, I'll be able to
3 recognize you. Thanks.

4 MR. MORGAN: So maybe just a comment for
5 the interest of some of you. Clark and I were
6 both just last week at a meeting at the National
7 Academy that brought up 20-some odd very senior
8 folks from China in the electric power area, some
9 of the stuff they're doing is utterly amazing.
10 And the web, the talks will all be on the Academy
11 of Engineering's website shortly, I believe. And
12 so they're worth a look. I mean, just to give you
13 two illustrations, we talk about experimental
14 studies in microgrids, they have 20 of them going
15 on across the country. We talk about moving to
16 higher holdages in DC, they're building many
17 thousands of kilometers of very high voltage DC
18 lines, it's quite --

19 MR. POPOWSKY: Projects?

20 MR. MORGAN: Say again?

21 MR. POPOWSKY: 20 projects?

22 MR. MORGAN: Yeah. So it's just

1 incredible.

2 MR. POPOWSKY: Okay.

3 MS. HOFFMAN: I was just going to say
4 we're going to make sure that everybody gets the
5 link for the National Academy so they can look at
6 that.

7 MR. POPOWSKY: Okay. Paul?

8 MR. CENTOLELLA: This may be too early
9 to tell, Pat, but Secretary Chu came in with an
10 idea about how the Department should structure its
11 research agenda with new kinds of organizational
12 approaches to doing that. Do you have a sense of
13 whether the new Secretary is similarly inclined,
14 wants to take that further, any idea coming from
15 his background about how he sees energy R&D as
16 something that the Department can efficiently
17 organize and pursue?

18 MS. HOFFMAN: So I think he has a
19 similar approach, but it's probably going to take
20 a little bit of difference with what's on it, and
21 I'm going to say it this way, in looking at the
22 effectiveness of those groups and say how to get

1 the best things done with the right set of
2 partnerships. I'm not sure that there's a one
3 size fits all, and as the Department continues to
4 evolve, we try different partnership models and
5 ways of doing business. But, ultimately, at the
6 end of the day, we have to take a hard look in
7 saying are we achieving the goals that we hoped to
8 achieve through this partnership.

9 I perceive him to take a hard look at
10 what we're trying to achieve and the ones that are
11 very effective in the partnerships that are doing
12 to move things forward, I think they're going to
13 be fantastic, and he may tweak some of the other
14 ones that aren't getting us to that results
15 direction that we're going after. I mean, he's
16 very much on the point of how do we demonstrate
17 some successes in the activities that we're
18 working on.

19 MR. POPOWSKY: Okay. We have a caller
20 from -- (laughter) -- Merwin?

21 MR. BROWN: Yes. Pat, as I understand
22 it, your conversation with Ernie was focused more

1 on your explaining to him what your priorities
2 have been and probably will be. Did he give you
3 any indication of what his top three priorities
4 are, issues for the grid research? You mentioned
5 an analysis capability is one of them.

6 MS. HOFFMAN: I can't say that he gave
7 me, you know, these are absolutely my three top
8 priorities. I mean, the thing that he recognizes
9 is investment in the grid is paramount. I mean,
10 he said that several times that he recognized the
11 importance of investing in our infrastructure as a
12 support network for the economy, but we need to
13 continue to evolve and grow our infrastructure.
14 He recognizes the complexity. So the other thing
15 that he brought up is he understands this is a
16 very, very complex, difficult issue, area, and
17 really no silver bullet, you can't find a silver
18 bullet, you're going to have to work through some
19 very tough issues, and that there are regional
20 differences across the United States, different
21 market structures, different things that we have
22 to keep, pay attention to.

1 So he recognizes the complexity. So,
2 from my perspective, I got the sense he really
3 feels the electricity area is an important area,
4 and he wants to continue to support the research
5 and the discussions in this area, but recognizing
6 that it's complex and there's no silver bullet.

7 MR. CURRY: When you mentioned the
8 various things that you were focused on, one of
9 them was working with utilities on -- did I get it
10 right -- distributive generation? And how does
11 that, would these be utilities like our favorite
12 in New York, the Long Island Power Authority,
13 which is a public authority. Otherwise, how do
14 you get access to utilities under the current
15 framework of the Sandy legislation?

16 MS. HOFFMAN: So, some of the activities
17 that are done are allowed under the CDBG fund, and
18 some of them are allowed under existing FEMA
19 funds, but those are limited in scope. So the
20 other areas that we can do is just provide
21 technical assistance with the labs to help analyze
22 what one would look at if, you know, in

1 partnership with the utilities on microgrids and
2 how they would look at the opportunities there.
3 Granted, that utility structure is different, so
4 it's more from our perspective that we're looking
5 for a couple, to work with a couple communities on
6 some pilots that would help with the analysis.

7 We wouldn't do the infrastructure
8 investment or anything along those lines, because
9 that would go through the traditional mechanism,
10 but what we're hoping to do is help people ask the
11 right questions and analyze the issues and say, if
12 you go down this path, here are some things that
13 you need to think about. And what we're looking
14 at is taking some of the lessons learned what we
15 did with the OG in looking at how do you optimize.
16 I mean, I'd like to say it's more of an
17 optimization discussion, but also resiliency
18 discussion.

19 Internal to the Department, we had, I'd
20 say, a fairly long discussion on what does it mean
21 to be resilient, and I think everybody has a
22 different definition for resiliency and their

1 expectations, and so one of the things that we
2 wanted to do was help facilitate that discussion
3 on what does resiliency mean, how does that
4 translate to infrastructure, and thus how does
5 that translate to customer expectations,
6 restoration expectations. So those are the type
7 of things that we're trying to just aid and
8 facilitate the discussions on, we're not looking
9 at the hardware investment, because there's
10 traditional mechanisms and limitations.

11 Limitations under the Stafford Act, I
12 think the states are probably going to consider
13 what they can do from the codes and standards
14 point of view, and if you can change some of the
15 codes and standards, then you can affect the
16 infrastructure investment from a hardening point
17 of view. I mean, I look at what Florida has done
18 and the southeast has done, and how they've,
19 slowly, over the years, changed some of their
20 codes and standards and some of their practices.
21 I mean, it took some time, but they evolved to
22 harden their system. And, once again, this is not

1 going to be an overnight transformation, but I
2 think there's ways that we can start thinking
3 about what some of those best practices were,
4 especially what was done in the southeast and say
5 what can the northeast pick up from that.

6 MR. CURRY: Just an observation of, Con
7 Ed has a rate case pending in New York state now,
8 asking for roughly a billion dollars over the next
9 four years for storm hardening. And the city of
10 New York filed 400 pages of comments on Friday
11 taking issue with almost every single point that
12 Con Ed put in their rate case, so if anyone on
13 your staff is interested in an entertaining trip
14 through, this is what we really mean, it's
15 available. And I can also connect them with the
16 city people who put the 400 pages in, and they
17 were very proud of those 400 pages.

18 MR. BROWN: Thank you. Since we've
19 gotten to this topic about resiliency, it's been,
20 obviously, a hot topic with regard to storms that
21 blow a lot and rain a lot. But I would hope that,
22 in that conversation, unstated, his concerns about

1 wildfires and earthquakes and things like that,
2 which is a bigger problem in the west.

3 MS. HOFFMAN: I don't disagree with
4 that, and by all means, we're looking at all
5 hazards. But I think it goes back to the regional
6 risk equation of what are the risks most likely
7 for different regions of the country, how they
8 want to define their resiliency, what do they want
9 to build towards, how do we start a procedure for
10 or a process for engaging in that conversation so
11 that we're not kind of thinking about it after the
12 event occurs, but trying to get really more
13 proactive in looking at resiliency for the United
14 States.

15 But I still go back to, I'm not sure
16 everybody's on the same page, what resiliency
17 means and what do they want to build towards, and
18 a matrix or a definition for resiliency.

19 MR. POPOWSKY: Okay, great. Thanks,
20 Pat, I assume you'll be here for the next two
21 days?

22 MS. HOFFMAN: I'll be here.

1 MR. POPOWSKY: If anything else comes up
2 that you want to hear from Pat on, I'm sure she'll
3 be glad to chip in. I just want to say,
4 Commissioner La Fleur, it's up to you, if you
5 would like to go next, we could shift the program,
6 or -- depends on what your schedule is.

7 MS. LA FLEUR: Well, I'm here for the
8 afternoon, so I'll do whatever you want. I'll go
9 next, or you can go next, or --

10 MS. HOFFMAN: Go ahead.

11 MS. LA FLEUR: Okay, all right. Well,
12 thank you very much for having me, Sonny, and
13 Elliott had asked me to do an update on some of
14 the goings on at FERC where it's been very, very
15 quiet and not newsworthy for the last couple of
16 weeks. First, I want to introduce somebody I have
17 with me who is a summer intern who started in my
18 office at FERC just this week, I'll ask him to
19 stand, Daniel Jang.

20 Daniel is a sophomore at Princeton and
21 comes to us underwritten by the Princeton --
22 whatever it is -- Princeton in Civic Service

1 Intern Program, and he's in Operations Research
2 and has done work, among other things, with the
3 Princeton Co-Gen and their own microgrid. Not as
4 many as China, but they do have one that stayed up
5 during Sandy. And so we're really, I didn't plan
6 to hire a freshman when we went out to interview,
7 but he was the smartest kid we saw, so he'll
8 probably be running FERC by the summer.

9 (Laughter)

10 Okay. What I thought I'd do today is, I
11 was asked to talk about Order 1000 compliance,
12 which is actually the first time I've tried to
13 weave together what we've put out so far into a
14 summary, so we'll see how I do. Talk a little bit
15 about cyber security, which I know we have later
16 on in the agenda, and just some other newsworthy
17 things that we've either recently voted out or
18 have coming up that you might want to have on your
19 radar screens. I always say this, but it seems
20 particularly important right now, with all the
21 dissent and all flying around on some of our
22 orders, I only speak for myself, not for the

1 Commission, and I will try very hard not to
2 comment on pending open dockets, to be a historian
3 of what we voted out, not a predictor of all the
4 rehearings, appeals, and compliance dockets and so
5 forth, on into the future.

6 So, so far, we have voted out, I should
7 know, maybe six compliance orders under Order
8 1000, we have at least four big ones still ahead
9 of us. And we've tried, as I think you can
10 probably see, each month to do ones from different
11 regions of the country to kind of equalize the
12 staff work, and we've tried to be taking on both
13 the regional transition organizations and ISOs and
14 the bilateral market regions of the country so we
15 can be voting those out in tandem. Just sort of
16 try to summarize a few of the trends that we're
17 seeing so far, dividing it into the big elements
18 of the Order in the first place, starting with
19 transmission planning, Order 1000 at basis
20 required that each public utility transmission
21 planner had to participate in a regional
22 transmission planning process that satisfied the

1 principles of Order 8-9 in the transparency,
2 fairness, and so forth, and produced a regional
3 transmission plan.

4 And so every single order starts with a
5 sometimes perhaps laborious review of the
6 transmission planning process submitted. And, for
7 the most part, the orders have largely confirmed
8 the regional processes already in place in the
9 organized market areas of the country. In many
10 cases, we've pushed back asking for more detail on
11 certain elements of the process and how they were
12 going to select the projects that were best for
13 the region for regional cost allocation. In the
14 bilateral regions of the country, we've pushed
15 back somewhat more on asking the regional
16 planners, which we recognize are sometimes just a
17 few jurisdictional utilities with a lot of non
18 jurisdictional in between them, to come back with
19 how they, as a planning body, are going to select
20 their projects rather than, I call them the staple
21 plan, just kind of putting to the everything
22 everyone was doing already and calling it a

1 regional plan.

2 And so, really, in all cases, we've had
3 compliance requirements imposed that they have 120
4 days to meet. The biggest thing changing in
5 planning was the public policy requirement, Order
6 1000 required that both local and regional
7 transition planning processes, in addition to
8 looking at reliability projects and economic
9 projects, had to consider transmission needs
10 driven by public policy requirements that are
11 established by federal and state laws and
12 regulations and have procedures to identify the
13 transmission needs driven by public policy
14 requirements and evaluate proposed solutions. And
15 this is where most of the action has been,
16 particularly in the RTO regions on planning, since
17 they already had planning processes.

18 Most of the compliance requirements that
19 are still out there have been tied to the issue of
20 the role of the states in determining what are the
21 -- I think Order 1000 clearly suggested that the
22 states would come forth with a compendium of what

1 the public policy requirements are, because
2 they're in large measure drawn from state law and
3 regulation. But we have said thus far most of the
4 compliance orders that is the planning region, the
5 ISO, or the planning body that had the
6 responsibility to come up with a proposal to
7 select the projects that meet those public policy
8 requirements, rather than delegating the selection
9 to the states.

10 There's been some nuances, PJM had a
11 proposal, has a proposal for a state compact where
12 states could get together and voluntarily sign up.
13 ISO New England had one that was somewhat quite
14 similar. In the PJM case, we said you already
15 have public policy requirements based into your
16 planning some other place, so that meets Order
17 1000, so the state compact can go forward as a
18 complimentary element, even though it, because it
19 didn't meet Order 1000 all by itself, but because
20 you have this other thing, and I think we said
21 something somewhat similar in ISO New England that
22 we were not in any way prohibiting the state

1 proposal, but that there had to also be a
2 complimentary effort at the regional level. And
3 so those are still pending.

4 Big action as anticipated, and most of
5 the dissents, and public commentary on this have
6 come along around the element of Order 1000 on the
7 rights of first refusal. Basically, Order 1000
8 requires that public utility transmission
9 providers had to remove from commission
10 jurisdictional tariffs and agreements, a federal
11 right of first refusal and exclusive right to
12 build transmission facilities in a particular
13 incumbent's footprint for projects that were going
14 to have regional cost allocation, subject to
15 certain limitations that incumbents could still
16 build what they needed to for reliability and pay
17 for it themselves, that we wouldn't affect state
18 laws that gave people exclusive rights, wouldn't
19 affect rights of way and property rights, and
20 there's a back shop that something is being done
21 regionally and it's not coming on in time to meet
22 a local need, and I forget if there's a fourth

1 requirement, I just lost it, but there are some
2 exceptions already in the rule.

3 This is what most of the thorny
4 compliance issues have come around. The first
5 threshold issue we deferred until compliance some
6 legal questions about what were the standards of
7 review that would govern the Commission's look at
8 the rights of first refusal proposals, and there
9 was a suggestion that the Transmission Owners
10 Agreements in ISO New England, PJM, MISO and SPP.
11 And SPP is still pending, but the other three I
12 can discuss were voted out. The question of
13 whether the Transmission Owners Agreements were
14 themselves contracts entitled to Mobile-Sierra
15 protection, so they could only be amended if it
16 was a violation of the public interest. And we
17 decided in the first round of cases in PJM and
18 MISO, I think were the first two we voted out,
19 that they did not get an automatic public interest
20 protection because they weren't developed in the
21 kind of arm's length commercial; I'm selling power
22 to you, what are you going to pay for it, what are

1 the terms, because they were developed by people
2 with common interest with respect to the right of
3 first refusal.

4 So having reached that conclusion, in
5 the New England case, there was a follow-on legal
6 issue that there is a 2004 FERC order approving
7 the New England Transmission Owners Agreement that
8 specifically approved some terms that gave public
9 interest protection to certain components of the
10 Transmission Owners Agreement. And we recognized
11 in the order that that meant that those elements
12 of the Transmission Owners Agreement could only be
13 changed if there was an actual public interest
14 need rather than just because they were no longer
15 deemed to be just and reasonable. And we spent a
16 considerable amount of -- I spent, actually, a
17 considerable amount of time reading all the
18 Mobile-Sierra cases back to Order 888 and Order
19 636, a little walk down memory lane.

20 Actually, considerably off memory lane,
21 since I didn't remember most of it, of what did it
22 mean to have a public interest standard and how

1 would we parse that, and trying to really figure
2 out was there a space where something could be not
3 just unreasonable, but we could say to the people
4 in new England or someone else, don't worry, you
5 can pay non just and reasonable rates because it's
6 not against the public interest, and what is that
7 space in this area. And I think what ended up
8 coming out was the recognition that the taking
9 away the rights of, we ultimately ruled that there
10 was a public interest requirement to remove the
11 rights of first refusal, because the introduction
12 of transmission competition was important to make
13 sure that the rates were fair and the right things
14 were built.

15 And that ended up, I think, being an
16 acknowledgment of the significance of what we were
17 doing. I mean, I've actually been making speeches
18 for a couple of years comparing this to generation
19 competition, but I think there's been a -- a lot
20 of it was writ out more clearly in some of the
21 orders we just put out than had been before.
22 Probably all I can say about that. There were

1 also some issues about -- some considerable issues
2 about what kind of reference could be made to
3 state's statutes and federal tariffs, and so far,
4 I guess summarize the orders we've put out to say,
5 the state's statutes are what they are, as far as
6 -- I've never indicated that they were preempted
7 in any way, or that's never been said in the
8 order, but they can't be codified in the federal
9 tariff, because they would give them a new federal
10 right of first refusal, and we can talk about that
11 offline, but that's another, that's a very
12 detailed part of the order.

13 Finally, the last part, cost allocation,
14 we asked all the transmission planning regions to
15 come forward with a cost allocation proposal that
16 had to satisfy a bunch of principles, of which the
17 most important was that cost had to follow
18 benefit. We said we would accord regional
19 flexibility, and I think we have, particularly in
20 this area, given, shown quite a bit of regional
21 flexibility. PJM, I think, was of the RTO's made
22 the most change, or one of the ones that made the

1 most change in their cost allocation proposal,
2 came forward with a hybrid approach for projects
3 over 500 KV, we approved that. MISO made some
4 changes in the definition between local and
5 regional, and what they would cost allocate, that
6 was approved. There's some others still pending
7 and some that have been pushed back for more
8 detail on certain things, and, as I said, we have
9 four more of these coming.

10 In terms of next steps, we voted out 120
11 -- in all cases, the next step is coming up in 120
12 days, so that's imminent, that is 120 days, and
13 Clair probably knows from the first ones. Right
14 around the corner in July, the interregional
15 compliance filings are due, some are already in, I
16 haven't really looked at them well enough to make
17 a speech about what they say, but we will be
18 digging into those, obviously. And, not to be
19 forgotten, I guess it's not surprising, given
20 what's afoot, here, that there have been
21 considerable legal challenges already to Order
22 1000, and I am sure there will be more, as the

1 compliance issues get worked through.

2 So those have been assigned to the
3 circuit court in the District of Columbia. There
4 was some question of which circuit it was going to
5 go to. And the court has worked out, I don't have
6 it at the top of my head, but a very detailed
7 briefing schedule on issue by issue that I think
8 will go into the summer and fall, so we'll be
9 working through the legal side while we're
10 simultaneously working through compliance side.

11 Do you want me to keep going? That's
12 all I was going to say on Order 1000. I think --
13 all right. So that's it on Order 1000, I'm sure
14 I've answered all your questions, all is clear
15 (laughter). Just turning to cyber security, a
16 little bit more. While the Hill continues to
17 debate various legislative proposals, at least
18 within the electric system of the electric grid,
19 FERC does have the responsibility on the Section
20 215 reliability standards require that we approve
21 standards to prevent cyber security incidents, and
22 I have said it's kind of like the iPhone, with

1 iPhone1 and iPhone2, and you go buy a new one,
2 they tell you a new one's coming, don't buy that
3 one.

4 Well, we're on iPhone 5. Five was
5 approved in May, and -- I've said this is just
6 like, my daughter broke her phone, and they said
7 don't buy a new one because six is coming, like,
8 in two weeks, just cobble together the old one.
9 The industry came and said we don't even want to
10 bother with SIP 4, let's just go right from SIP 3
11 to SIP 5, because it costs so much money every
12 time you do something new. And we approved that,
13 we largely approved SIP 5, asked some questions
14 about the implementation schedule and a few other
15 things.

16 Basically, in a nutshell, SIP 1 through
17 4 were about designating what was a critical cyber
18 asset, who designates what the critical cyber
19 asset, how critical. Now SIP 5 is a different
20 approach, it says everything gets some level of
21 cyber protection, but just the most important
22 things get the most and the things that impose the

1 least vulnerability in the system gets the least,
2 which was one of the things we asked is what they
3 do get, a nerve to come back on. So it still will
4 not get us out of the characterization, but it
5 reduces the all-or-nothing characterization.

6 In the meantime, President Obama, as you
7 all know, put out an Executive Order, I believe it
8 was in February, on cyber security, calling for
9 more information sharing, as well as the
10 development of a voluntary cyber framework. FERC,
11 because it's an independent agency, isn't actually
12 covered, whatever that means, but we've announced
13 that we're voluntarily doing it. I think I've
14 talked about it in this room before, that FERC has
15 set up an Office of Energy Information Security,
16 and Joe McCohen's group has been meeting with
17 folks in past groups, the states, NARUC,
18 Department of Homeland Security, and really anyone
19 that wants to meet with us to try to do things
20 together, and I think that process is subject to
21 anyone else's thinking of developing that
22 voluntary framework is making progress.

1 Other reliability orders, in May, we --
2 I've been, I talked about geomagnetic disturbances
3 at this table before. In May, we voted out a
4 final rule on geomagnetic disturbances, I'm sure
5 people might disagree, but I think we were
6 somewhat quite responsive to some of the comments
7 we got, not just in changing the timeline, but
8 also in getting more flexibility in compliance.
9 It basically requires the development of a
10 standard on procedural response, what you would do
11 if there were a massive solar storm in terms of
12 operating procedures, kind of like a storm plan
13 that you have for hurricanes or tornadoes. Six
14 months for that standard, 18 months for a bigger
15 standard.

16 That would include an assessment of
17 vulnerability and a plan which would vary by
18 equipment, location, geography and so forth, or
19 how to mitigate those vulnerabilities. This is
20 something where, as a standard gets developed,
21 we're also learning more about what we're
22 protecting against, but it's going to be such a

1 long-term, multi-phase effort, I've been a big
2 advocate of we should get started, and I think
3 this is an important step.

4 A couple others, just wrapping up, July
5 9th, we're having a technical conference on
6 reliability, because who wouldn't want to come to
7 Washington in mid July for a reliability
8 conference? We previously, I think, have done
9 this in, like, the early part of the year, and
10 Jerry Cully and the folks at NARUC asked if we
11 could do it after their annual reliability report
12 came out, which seemed to make, actually, quite a
13 lot of sense, so we're doing it after the report
14 came out in May.

15 And, so, we'll look at the annual state
16 of reliability, probably -- the agenda is not out
17 yet, but certainly priority, what NARUC is working
18 on, and I think we'll ask NARUC to talk about some
19 of their major efforts on the reliability
20 assurance initiative, which is their compliance
21 restructuring, and the standards, and maybe some
22 other things. Gas Electric, we had the last tech

1 conference in April, we are working on next steps
2 on the communications, Gas Electric
3 communications, whether we need to clarify
4 anything there. So watch this space for something
5 on communications, following up on the tech
6 conference in February. In the meantime, I see
7 Gordon and Clair and others are working within the
8 regions on proposals for this winter and beyond,
9 and we're closely following those efforts, but I
10 think communication is, in terms of something to
11 expect from us, the next thing we'll think about.

12 And, finally, some of you might know,
13 I've been clamoring -- well, maybe clamoring is a
14 strong -- gently agitating for a technical
15 conference on capacity markets, and it looks like
16 we're getting some traction, so we hope to have
17 one in the fall at some point, to be announced.
18 Really looking, and I guess my reason for calling
19 for this is, since I've been on the Commission,
20 we've probably done 30 or 40 cases on capacity
21 markets, and many of them are extremely specific.
22 New York City taxes and cone, fuel cells and PJMs,

1 zones. Very, very narrow. And the things, the
2 big picture of, like, how far out in time should
3 you look, what should be covered, how should
4 exemptions work, we can never talk about because
5 it's always ex parte because we always have cases
6 pending.

7 So the idea was to kind of take a step
8 back and take a look at some of the big
9 philosophical issues, are they working, how
10 they're supposed to work, which things different
11 people do it differently, how is it working, what
12 might change in the future with things like gas,
13 electric coming down the pike, and the state
14 renewable requirements and how they fit in,
15 different places with demand curve and not with
16 demand curve, and so forth. So it's a tall order
17 to even put together an agenda, but there's plenty
18 to talk about, and I think the concept is, at a
19 minimum, maybe we'd learn something that would
20 inform us as we went back to looking at the narrow
21 cases, or inform the stakeholder processes, dare
22 we hope people learn from each other, it's a dream

1 bio, so that's about as official as you get
2 (laughter).

3 MR. POPOWSKY: And has really done
4 (applause), we really owe her a great -- thank you
5 for taking the time at each of these meetings, and
6 reporting to us, hearing from us. So thank you
7 very much, Commissioner La Fleur.

8 MS. LA FLEUR: Printing from what you're
9 all doing on storage and transmission, and some of
10 the things you work on.

11 MR. POPOWSKY: Great, thanks. I'm
12 sorry, Pat, did you want to go first before we --

13 MS. HOFFMAN: I can take my turn, like
14 everybody else. Just a couple comments. One
15 thing I forgot to bring up that, Commissioner, you
16 should keep in mind is, I know that Dr. Moniz is
17 doing a quadrennial energy review, and that
18 something that even the states should think about,
19 because I know the states are doing their energy
20 plans, and how we can see if we can pull some of
21 those threads together in looking at the energy
22 strategy, the infrastructure requirements. So

1 just something to keep in mind.

2 I know it's a little bit one-off from
3 some of the things you're working with, but I
4 think it's something that we could, hopefully, if
5 done right, could probably bring some parallel
6 pieces together. The second thing is, I know I
7 was in a meeting with some of the industry folks,
8 Chairman Molenhof and Joe, and I know that Joe
9 McClellan's doing his own kind of maturity model
10 Q&A questionnaire for utilities, and there was a
11 strong ask that the federal government get
12 together and -- how should I say -- gain some
13 consensus from different assessment pools that are
14 out there, because we have our maturity model and
15 Joe's developing a questionnaire type format, and
16 there was a request to make sure that we try to
17 pull that stuff together. So I just wanted to put
18 that on your radar.

19 MS. LA FLEUR: Well, first of all, on
20 the quadrennial energy review, whether we have any
21 direct role, which we'd probably welcome, but it's
22 definitely, what comes out of that then indirectly

1 informs things that people then subsequently file
2 with us, so I'm very happy it's happening. I've
3 heard somewhat similar things on the different
4 tracks in government, so maybe we can take it
5 offline. It certainly makes sense to work
6 together.

7 MR. MILLER: Thank you. Again, Rick
8 Miller with HDR Engineering. I offer this comment
9 and question with a little bit of trepidation, my
10 first time here at EAC. My background is over 35
11 years in grid operations, energy storage, and I'm
12 past president of national hydropower association.
13 We, as an association in the hydropower industry
14 have done a bit of work with FERC, with Arnie
15 Quinn, Mason Emmitt, and the team on markets and
16 recognizing strategic flexibility.

17 What, from a Commissioner's perspective,
18 what guidance or insights could you provide to us
19 or to the industry with regards to how do we help
20 create linkage of the Office of Electricity and
21 DoE and FERC to help present the most, what's
22 happening out there in the grid and create that

1 linkage? Maybe some consensus from that, back
2 again to the federal government to more of a
3 stronger voice. Some insights from you,
4 Commissioner, would be helpful.

5 MS. LA FLEUR: Well, thank you, Rick.
6 I'm not sure I have a lot of insights about how
7 you help us work better together, but it seems
8 like groups like this, other things that we do
9 with Pat's office and Bill Brian, and people like
10 that are important to understand what we're each
11 doing. In terms of hydro, I had made a comment
12 when I spoke at the National Hydro Association, I
13 think, in 2012, that I think it's important that
14 we hear from the hydro industry. Most of the
15 hydro work that we see at the Commissioner level
16 is very micro, appeal from some license suspension
17 or, you know, it doesn't get that policy-ish.

18 I mean, it's policy of how you move the
19 hydro licensing around and what gets an exemption
20 and all, but in terms of increasing the profile of
21 hydro in shaping the markets, that's not going to
22 happen in the individual hydro dockets. And I

1 think I've made the comment that hydro can be a
2 little bit of a taken for granted resource,
3 because with some unique exceptions up in Alaska
4 and so forth, we're not seeing a lot of big hydro
5 development anymore, it's more small hydro
6 development and increasing output along the edges.
7 But I think the hydro folks need to get in the
8 conversation on what they can help do in the
9 places where you can still run your hydro this
10 way, to help balance other renewables, and as kind
11 of a storage resource.

12 Storage is very sexy, hydro is not sexy,
13 but hydro is storage, in a way. So I think it's
14 communicating what you can do in the same way that
15 the flywheel people and the battery people, I
16 think, have been effective in getting their voices
17 heard on frequency regulation, teaching us what we
18 didn't know. Hydro, I think, maybe could have a
19 bigger role there.

20 MR. MILLER: Follow up. Is that most
21 effective through dealing with FERC and Office of
22 Markets, or the Commission staff or through the

1 Office of Electricity? Give us some insights
2 there.

3 MS. LA FLEUR: In the Office of
4 Electricity at DoE?

5 MR. MILLER: Yes.

6 MS. LA FLEUR: Well, I can't -- I mean,
7 that sounds to me to be a good thing to deal with
8 them, also. In terms of FERC, I think, I usually
9 tell people to really know the staff that
10 regulates you, so, in your case, it's probably
11 most likely Projects. On some of these more
12 forward-looking things, the Office of Energy
13 Policy Innovation, and if it's, when you have the
14 time and opportunity to go to the five
15 Commissioner's offices -- I know that the Stations
16 of the Cross can be slow, but it's good for us to
17 hear it. But never skip staff, always go to staff
18 and the five Commissioner's offices.

19 MS. GRUENEICH: One question and then
20 one comment on the upcoming fall conference. Is
21 there any place where FERC hosts like an annual
22 meeting of all of the ISOs and the RTOs? At the

1 last NARUC Sunday collaborative, there was an
2 informal presentation by each of the ISOs and RTOs
3 that I felt was tremendously useful just because,
4 in one room, you heard different aspects. And, to
5 me, it was so interesting to understand the
6 governance of each of them is quite different. So
7 that was my question. Is there any hosting like
8 that done by FERC?

9 MS. LA FLEUR: To the best of any
10 knowledge, it's not something we've done, like, on
11 a regular basis. And perhaps we should. And I
12 was at that NARUC meeting and would agree, it was
13 excellent. In, I think, early 2012, but maybe it
14 was early 2011, because my years are running
15 together, we had all of the RTO/ISO presidents
16 come in and talk about the matrix report at a
17 regular open meeting, which was actually one of
18 our best open meetings, I think. Maybe that's
19 damning with faint praise, some of them are very
20 short, but that was really meaty, and I thought,
21 very good.

22 Now, recently, we've established much

1 more targeted having all of the RTOs come in and
2 talk twice a year about what they're doing on
3 gas/electric, and we did that most recently just
4 in May in a special session. But it wasn't all
5 the CEOs necessarily, as the first one was. It's
6 something to think about. I don't want to make a
7 trend where a trend doesn't exist, but the last
8 couple of open meetings, we've tried to put
9 things, the chairman had tried to put things on
10 the docket like the gas/electric, and then we have
11 the capacity portability kind of a report at open
12 meetings.

13 There's certainly scope to use that
14 forum more than we do, because we do get a little
15 bit of tech conference overload, where you can
16 only have so many tech conferences.

17 MS. GRUENEICH: And I wasn't suggesting
18 it, I just think it's interesting to think about
19 maybe on a periodic basis. So my comment, then,
20 is, I think that the upcoming technical conference
21 on capacity markets is going to be excellent. As
22 I'm sure you know, in California, there is a huge

1 debate going on, and to the extent that there's
2 any sort of a briefing book that would be made
3 available beforehand electronically that, again,
4 would be sort of here's approaches of the
5 different ISOs and RTOs, here's our experience, I
6 think that would be extremely helpful, since,
7 obviously, not everyone's going to get to D.C., or
8 wherever it is.

9 And I would just put in a plug for some
10 of the issues, at least, of concern, I think, are
11 what is really the relationship between state
12 public policies and the capacity markets. I've
13 heard both ways that there are ways that it can be
14 written into tariffs such that there's sort of a
15 federalization of a state policy, I've heard the
16 opposite that it can't be done. Another area, I
17 think, of great interest is on the demand
18 response. And not just what do we know about it,
19 is it just least cost demand response, is it able
20 to be coming in over different times.

21 And then my third area is energy
22 efficiency. In the research that I've done, I've

1 not seen capacity markets really pick it up, it
2 pretty much seems to be demand response, and
3 especially where states are looking at
4 comprehensive, more complex types of approaches on
5 energy efficiency, is the capacity market another
6 tool, how does it work out? So I think those
7 would be useful.

8 MS. LA FLEUR: Well, those are great
9 suggestions. I agree with you on some kind of a
10 staff briefing book or something would be really
11 helpful, and I also agree you've raised really
12 interesting issues. I think, on energy
13 efficiency, the PJM press releases that came out
14 within the last couple weeks on the most recent,
15 their most recent RPM option saw an increase of
16 energy efficiency in that market, and you're
17 talking next to the, sitting next to the right man
18 for how they model it in New England. I should
19 also say, in addition, I'm talking about a kind of
20 a think-y piece capacity market conference.

21 We did say in an order that we were
22 going to have a joint tech conference with the

1 CPUC on -- and I think, I honestly don't know if
2 it's been publicly announced, but it's sooner than
3 the other one.

4 MS. GRUENEICH: I think --

5 MS. LA FLEUR: Yeah, I think it's June
6 31st, I think it's the end of July, July 29th or
7 30th, or something like that. But that one's
8 already announced, I think, yeah. I'll be around,
9 so we can talk offline, if people have questions,
10 or I can ask you questions. Thank you.

11 MR. POPOWSKY: Thanks, again,
12 Commissioner. I'm going call on myself next to
13 lead the discussion of Race to the Top. So I'm
14 going to go there, if you could pull the slide up.
15 Thanks. One of the tasks that Rich asked me to do
16 before he left for Europe was to head up this
17 working group on the Race to the Top initiative.
18 This is a working group, as opposed to a full
19 blown standing subcommittee.

20 So we're here to the a couple of tasks,
21 and we may or may not continue after today, but in
22 any case, one of the things we wanted to do was to

1 get some recommendations to the Secretary, to DoE
2 in a timely manner so that they would be useful in
3 the upcoming consideration of the Race to the Top
4 proposal, which hopefully many of you are familiar
5 with. But just to start out, the working group,
6 I'm the chair, Bob Curry is the Vice Chair, we
7 have a good cross section of members from this
8 group on the working group; Ralph Cavanaugh, Sue
9 Kelly, Paul Centolella, Dian Grueneich, Val
10 Jensen, Paul Hudson, Phyllis Reha, Ralph Masiello
11 and Mike Weedall.

12 Janine Migden-Ostrander from Wrap Staff
13 has been assisting us, and also Holmes Hummell
14 from DoE, who has really been the leader, I'd say,
15 on the DoE side of the DoE staff, and really
16 developing this whole idea and this project, has
17 been able to attend most of our meetings and has
18 really been extremely helpful in all of our
19 discussions.

20 Just to go back, actually, most of you
21 remember, we actually had a couple of telephone
22 conversations on this issue, informally, among

1 this group, not acting as the Energy -- as the
2 Electricity Advisory Committee, but just among the
3 members, some initial conversations that Rich set
4 up to talk to DoE staff about the concept of Race
5 to the Top, even before it was publicly announced.
6 And I think that those conversations were helpful,
7 each of us as individuals had a chance to make
8 some comments to the DoE staff in developing this
9 proposal, and I think a lot of us were very
10 pleased to see that, lo and behold, the
11 President's State of the Union address came out,
12 this issue was included.

13 Now, the actual language that the
14 President used in the State of the Union on
15 February 12th, he talked about a new goal for
16 America, cutting in half the energy wasted by our
17 homes and businesses over the next 20 years, and
18 said we'll work with the states to do it. Those
19 states with the best ideas to create jobs and
20 lower energy bills by constructing more efficient
21 buildings will receive federal support to make
22 that happen. Now, he didn't use the term Race to

1 the Top, but if you look at the State of the Union
2 blueprint, which was a written document that came
3 out simultaneously, the same day as the State of
4 the Union, there was a little bit more meat put on
5 the bones of the President's proposal.

6 And, in that blueprint, they
7 specifically talk about an effort to double
8 American energy productivity by 2030, starting
9 with a new, an energy efficiency race to the top
10 for the states. The idea was that, using as a
11 model the Race to the Top in the Department of
12 Education to try to give states the incentives,
13 the ability and rewards for stepping forward,
14 particularly in the area of energy efficiency and
15 productivity, and reducing waste. And there's a
16 point there, the last sentence, which I think is
17 important that, while the focus is on energy
18 efficiency and productivity, it was recognized
19 right from the start that not only will these
20 programs save consumers money, but that resulting
21 reforms will drive investments that enhance
22 manufacturing competitiveness, improve grid

1 resiliency, and cut carbon pollution.

2 The DoE budget proposal came out in
3 April, the President's budget included a program
4 for fiscal year 2014, it was actually a two-step
5 or a two-phase program. Phase one is a qualifying
6 phase, that is qualifying criteria are
7 established, will be established by DoE that would
8 include policies that states -- and, by the way,
9 when I use the word states, and we'll get to this
10 a little bit more, but we're referring also to
11 public power, co-ops, tribal utilities. But the
12 idea was that states and these entities would
13 implement policies to encourage cost effective
14 investments in efficiency, including combined heat
15 and power and demand response, clean distributive
16 generation, enhance customer access to data,
17 investments to improve reliability, security and
18 resiliency, and enhance sharing of information
19 regarding grid conditions.

20 Those are the general criteria that
21 would go into the qualifying phase of the Race to
22 the Top. Then phase two, those entities, those

1 applicants that qualified, that met the DoE's
2 qualifying criteria would then have the
3 opportunity to compete for cash awards based on,
4 and I quote here, "The most progress toward
5 improving energy efficiency and energy
6 productivity." The proposal is for a \$200 million
7 appropriation that would be in fiscal year 2014,
8 but I believe the money could be spent anytime
9 between 2014 through 2018, as proposed by DoE.
10 \$15 million would be used by DoE to oversee the
11 program, \$25 million for phase one would be put to
12 provide technical assistance to assist the
13 applicants in meeting the qualifying criteria, and
14 then \$160 million for phase two awards.

15 We had a number of meetings, we met on a
16 biweekly basis, the working group, recognizing
17 that our primary job here was to get something to
18 DoE reflecting the views of this committee
19 regarding the Race to the Top proposal, in a way
20 that would be useful to DoE in these upcoming
21 discussions over the next several months. And our
22 overriding conclusion, I think, certainly the

1 unanimous conclusion of the working group, is
2 found here, which is that the DoE, at least from
3 the working group perspective, we have reviewed
4 the Race to the Top proposal and fully support
5 this important initiative.

6 What we recognize is that many of the
7 most critical, and what I think the President
8 recognized, actually, was that many of the most
9 critical factors, policies that can support energy
10 efficiency and energy productivity do occur at the
11 state level and at the utility level, and that by
12 supporting this Race to the Top concept, there's
13 really two benefits: First, it rewards those
14 states that make the most progress in meeting the
15 energy goals established by the President and by
16 DoE, considering their individual circumstances;
17 and second, it identifies successful models that
18 other states can follow in the future in their own
19 efforts to achieve these goals.

20 We did have some very lengthy active
21 discussions among the members about some of the
22 specific recommendations that we wanted to make to

1 DoE in pursuing this initiative, and I'll just go
2 through them with you. There are five, and, by
3 the way, hopefully, all of you have with you the
4 draft document that we are proposing to send to
5 DoE, if it's approved by the committee today. It
6 looks a little bit like this, it's essentially a
7 letter from Rich Cowart to Pat Hoffman, setting
8 forth the EAC's views on the Race to the Top
9 proposal. So these principles, like I said, we
10 came up with five principles that I think we had
11 universal support for among the working group
12 members, but not everybody got to attend every
13 meeting, so, certainly, we can hear from folks
14 today whether you were on the working group or
15 not.

16 The first principle is that the Race to
17 the Top should allow participation by states and
18 other eligible applicants with all types of
19 utility ownership and business models. The point
20 being here that we know that not all of us are
21 served by, or work with or work for investor-owned
22 or state-regulated utilities. We also have,

1 obviously, public power, co-ops, tribal utilities,
2 all of whom we think, or at least the working
3 group thinks should be eligible to participate in
4 this program, to fully participate. Even in the
5 investor-owned utility arena, we have different
6 types of utilities. We have some states that are
7 with vertically integrated utilities, some with
8 restructured utilities where only a portion of
9 their service is actually regulated by the state
10 regulatory authorities. So, as we develop this
11 Race to the Top, we wanted it to be all inclusive,
12 to include all types of utility ownership and
13 business models.

14 The next principle is in phase one. The
15 qualifying criteria should be descriptive rather
16 than prescriptive. That is, allowing the states
17 and other applicants flexibility to innovate. And
18 when we, once DoE determines what the overall
19 general criteria should be, that should be done,
20 in our view, in a descriptive manner rather than
21 prescribing specific, very specific programs or
22 policies that absolutely have to be met by each

1 applicant, as long as those policies are designed
2 to achieve the overall goal of energy efficiency
3 and productivity.

4 The next principle, which is the third
5 one on this slide, is that, in phase two,
6 remember, that's the reward phase, the ultimate
7 phase. Race to the Top applicants should be
8 judged and rewarded based on their own improved
9 performance. This arises from the concern that we
10 know that all these states, or many of these
11 states and many of these other applicants are
12 starting from a different place. You have to
13 think of this, it's hard to not use supports
14 analogies when you think of this process, but we
15 know that some states are starting off on the
16 opponent's ten yard line, they don't have that far
17 to go. We know that other states are probably on
18 their own, practically on their own goal line,
19 that's where they're starting from.

20 And we want to make sure that those
21 states that get from their own goal line to maybe
22 mid field or maybe to the opposing 40 yard line

1 gets, has the ability to get some of these
2 rewards, rather than limit the ward to those
3 states or those entities that finish across some
4 magical finish line first. Because the concern is
5 that, if there is just this one finish line, we
6 sort of know from the start, or we have a good
7 idea from the start which entities might win,
8 whereas what we really want to do is, at least in
9 our view, from the working group's view, is to
10 reward those states and applicants who make the
11 most progress in achieving these goals. So it's
12 based on their own improved performance.

13 Having said that, remember, though,
14 these states have to have met the initial
15 qualifications established by DoE to participate
16 in the programs. So there are some minimum
17 qualifications, but within that group of
18 applicants, we want folks to be judged on their
19 own performance rather than the first across a
20 finish line. The last two recommendations,
21 basically, we support the two-phase program; phase
22 one funds should be used to support the

1 development of innovations, programs, policies,
2 regulations and/or laws that advance energy
3 efficiency and energy productivity. Whereas phase
4 two awards should be made based on the achievement
5 of improvements in energy efficiency and energy
6 productivity.

7 The first phase is basically designed to
8 encourage the development of policies that will
9 get us to, that will help the states get to where
10 we all hope that they will go, the second phase,
11 the rewards are based on performance, actually
12 implementing some of these proposal and who make
13 the most, who achieve the most improvements in
14 terms of energy efficiency and energy
15 productivity. The final principle is just that
16 the RTT awards should be focused on achieving
17 improvements in energy efficiency and
18 productivity.

19 What we're saying there is that those
20 are the goals; energy efficiency and productivity.
21 Now, I think, at least I believe that energy
22 productivity is a broader concept than energy

1 efficiency. Typically, I think energy efficiency,
2 what we're talking, I think most folks are talking
3 about end-use efficiency. Whereas energy
4 productivity is a broader term, it includes
5 basically any way to get your economic output to
6 be provided with the fewest or the smallest
7 possible energy input. I think that's right,
8 Paul, what do you say?

9 Anyway, and that can involve any number
10 of programs that go beyond the classic or
11 traditional end-use energy efficiency. So we want
12 to focus on a broad view of energy efficiency and
13 productivity, but that is the goal; greater energy
14 efficiency and productivity. And, as was pointed
15 out in one of the earlier slides, the State of the
16 Union blueprint points out that those factors,
17 that those policies that improve energy efficiency
18 and productivity have also benefit the grid in
19 terms of greater reliability and greater
20 resiliency, they provide benefits in terms of
21 reduced carbon pollution and other factors.

22 So, hopefully, you've all had a chance

1 to take a look at this. Let me call on Bob and
2 Holmes first to see if you have anything to add.
3 As I said, Holmes Hummell from the DoE staff was
4 instrumental, maybe the prime architect of this
5 idea, and whatever, if you'd like to add
6 something, you and Bob, and we could hear from
7 other members of the working group, and then all
8 the members of the committee.

9 MR. HUMMELL: Good afternoon, everyone.
10 I want to thank the subcommittee for giving
11 attention to the concept, I cannot claim to be its
12 architect, so it would seem flattering for all the
13 attention the proposal has received. In fact, the
14 Race to the Top is borrowed directly from the
15 success the administration had achieved in other
16 parts of the policy portfolio, including health
17 and human services and education. We understand
18 the distinct differences between energy and those
19 other parts of the portfolio.

20 What you're seeing in this proposal is
21 an approach that is innovative in terms of federal
22 relationships with states, that reserves to the

1 states the full flexibility of achieving
2 objectives that still serve national interests and
3 the goals of many state leaders. The material
4 that's in the public domain about the proposal is
5 fairly limited, only three pages, so I think it's
6 impressive that the subcommittee members have
7 cultivated their views on the concept, with real
8 deliberate thought to the detail and its
9 potential, while knowing that there's still very
10 much about the program that's yet to be designed.

11 The Department is operating under a
12 continuing resolution that actually says in black
13 and white text that we are forbidden from even
14 issuing a request for information to invite
15 stakeholder input on this proposal until it is
16 appropriate rated. For that reason, members of
17 the FACA here, and the FACA that serves the State
18 Energy Advisory Board members are the two places
19 that we can go to seek policy input in a public
20 setting that would allow us to continue to
21 cultivate and develop the idea. And the
22 contributions on the weekly telephone calls

1 chaired by Sonny Popowsky and others that have
2 participated have been highly useful and very
3 informative already.

4 So, with that, I'd like to thank the
5 group, and, of course, attend, as I have the
6 previous calls carefully to the comments of the
7 committee. Thank you all.

8 MR. POPOWSKY: Thanks, Holmes. Bob?

9 MR. CURRY: I have very little to add to
10 what you've put together. I think the idea of the
11 descriptive, not prescriptive is terribly
12 important because I don't think the goal of this
13 committee or of the Department to try to line up
14 sort of litmus tests or saliva tests for getting
15 into this whole mix. That's one point. The
16 second point, I would note that, in his
17 confirmation testimony, Secretary Moniz has made
18 this a significant ingredient in the way he sees
19 things playing out going forward. And the fact
20 that it was mentioned in his response to questions
21 from -- I still have trouble thinking about
22 Franken as a Senator, but that's my personal

1 problem -- in response to a question from Senator
2 Franken, this was a significant part of his
3 answer.

4 So having a lot of confidence in him and
5 his perspective on our industry, as well as his
6 comprehension of the political ingredients that go
7 into moving things forward, I think that this
8 deserving of the committee's full attention.

9 MR. POPOWSKY: Okay. Thanks, Bob.
10 Granger, you had your card up first, and then Sue.

11 MR. MORGAN: Yeah. My apologies if, I
12 should have gotten this to you earlier, but I
13 would like to suggest one additional sentence in
14 section 4. This is a very nice document, I agree
15 with it in its entirety. I would like to suggest
16 we maybe add a sentence that reads, Because the
17 successful adoption of many energy efficiency
18 measures depends on human preferences and
19 behaviors, the EAC believes the DoE would be well
20 advised to place particular focus on the inclusion
21 of high quality behavioral social science in the
22 design, execution and evaluation of at least --

1 well, of RTT projects.

2 There is an enormous amount of lousy
3 evaluation and social science that's been done in
4 this phase, I can say that because I have a lot of
5 colleagues who have looked at it, and I think some
6 modest nudge to include some serious social
7 science behavioral design in these projects, not
8 all of them, but at least in some of them, would
9 be appropriate.

10 MR. POPOWSKY: Okay. Before I move on
11 to other folks, does anybody have any comments on
12 Granger's suggestion, either members of the sub
13 working group or anybody else?

14 MS. GRUENEICH: Could you repeat again
15 what the proposed addition, and I guess where it
16 would go?

17 MR. MORGAN: Sure. And you're welcome
18 to edit it. Because the successful adoption of
19 many energy efficiency measures depends on human
20 preferences and behaviors, the EAC believes the
21 DoE would be well advised to place particular
22 focus on the inclusion of high quality behavioral

1 social science in the design, exclusion and
2 evaluation of our RTT projects.

3 MS. GRUENEICH: I, maybe eliminate the
4 word particular emphasis. I mean, my only concern
5 --

6 MR. MORGAN: That's fine, happy to do
7 that.

8 MS. GRUENEICH: Yeah, because especially
9 for states first starting off --

10 MR. MORGAN: I can simply say consider.

11 MS. GRUENEICH: -- confusing what it
12 means to have behavioral sciences included. I
13 don't have -- I mean, I'm all for having better
14 EMND, especially for consistency things like that.

15 MR. MORGAN: Do you prefer well advised
16 to consider the inclusion, do you like that
17 better? Fine.

18 MR. POPOWSKY: Okay. Any other comments
19 on -- Merwin, talking about Granger's proposal.
20 Okay, Merwin.

21 MR. BROWN: Yes. I'm just going to add
22 a vote with Dian, which is, our institution has

1 also been involved in the human behavior science
2 question, and it is pretty early to make that a
3 hard criteria for something like this. But I do
4 think anything that would encourage that to be
5 brought into the picture would be a good start in
6 the right direction. So, again, I just want to
7 add more weight to what Dian said.

8 MR. POPOWSKY: Okay. And just to be
9 clear, Granger, you're talking about this, the
10 last page of the document that was handed out
11 under the paragraph numbered four?

12 MR. MORGAN: I put it at the end of the
13 first of the two paragraphs in section 4, phase --
14 the paragraph that starts, Under this principle in
15 phase one --

16 MR. POPOWSKY: Right.

17 MR. MORGAN: Yadda, yadda, yadda. And
18 then the sentence there. And I'll, I can hand you
19 this.

20 MR. POPOWSKY: Okay. Are there any
21 other comments or objections or concerns to
22 Granger's -- sure. I think Paul was next, Paul

1 first -- yeah. I'm sorry, Paul was --

2 MR. CENTOLELLA: Granger, I appreciate
3 the idea, because I think it's very important that
4 we figure out how to design nudges into the
5 regulatory system, and --

6 MR. MORGAN: It needn't be nudges, I
7 mean --

8 MR. CENTOLELLA: I understand that.
9 But, in general, to pay attention to the
10 behavioral economic side of what we do, because we
11 have not paid enough attention to that, and I'm
12 not done seeking you out. I'm a little bit
13 cautious about not also suggesting that, to the
14 extent that there are ways in which this can be
15 done through automation or oh approaches that
16 don't require human behavioral change, that we may
17 be missing an important component, here, and I'm
18 not sure if there's a clear way to integrate that
19 into your sentence.

20 MR. MORGAN: I'm simply going to add the
21 word often depends on human preferences and
22 behaviors. That's certainly the case. But you're

1 absolutely right, there are ways to automate or to
2 take people out of the loop, the problem is, in
3 many cases, people are in the loop.

4 MR. CENTOLELLA: And I guess what I'm
5 suggesting is that it may be appropriate for, if
6 we're going make this suggestion, that we also
7 suggestion that the Department look at ways in
8 which people don't have to be in the loop, or
9 people can be in the loop once and, you know, make
10 a decision that carries forward.

11 MR. POPOWSKY: Okay. Judith, I think
12 you had a comment?

13 MS. SCHWARTZ: That actually relates to
14 my question, because when you look at the
15 segmentation and what people care about, and there
16 is a lot of evidence to support that it is really
17 effective, some of the people choose automation.
18 But the idea of choosing to purchase automation
19 is, in fact, a consumer decision. So I guess one
20 of the questions that I have for you, in terms of
21 the scope, that isn't obvious to me as someone new
22 to it is, are you talking about also, are you

1 including in your energy efficiency and energy
2 productivity talking about price signals, which
3 would be very motivating for some people, and
4 other things related to Smart Grid, which enable
5 the automation to be easily implemented?

6 Because I think one of the things that's
7 causing a problem today in terms of customer
8 acceptance is this bifurcation that somehow energy
9 efficiency is somehow separate and independent of
10 Smart Grid and dynamic pricing and other kinds of
11 DR.

12 MR. POPOWSKY: Well, I think the
13 answers, we were trying to be more generic and
14 tried to avoid the pitfalls, I guess, of trying to
15 be too specific on that. I thought that Granger's
16 addition, my own view, it was general enough, and
17 I think what you're saying it was, especially the
18 way you've agreed to modify it, that it would make
19 sense. I have no problem with it, but let me hear
20 from other folks. Sue, did you want to comment on
21 this, too?

22 MS. KELLY: I would just say that the

1 decision to automate or the decision to not make a
2 decision is part of human behavior. So that, if
3 you're considering human behavior in constructing
4 these, that's, not participation as well as
5 participation is part of that calculus. So I
6 think it's like Prego, it's already in there.
7 (Laughter) But that would be my comment on that.
8 I appreciate the edits that you've made to address
9 concerns expressed by the group, and I think it is
10 important to try and make sure that the measures
11 that we push forward and try to get states and
12 co-ops and public power systems and tribal
13 utilities to adopt actually are ones that will be
14 accepted by people. That's a great idea.

15 In addition to that, I would just speak
16 to the overall question that our committee worked
17 very hard on this entire piece, took into account
18 a lot of different viewpoints, we had some nuanced
19 and important discussions among the committee, and
20 I would just urge us to avoid having those all
21 over again here.

22 MR. POPOWSKY: Okay. Billy?

1 MR. BALL: Yes. My questions have
2 really less to do with the recommendations in the
3 report, because I don't really have an issue with
4 those. I'm not really going to speak to Granger's
5 comment, I think it's already been talked about.
6 My concern is more of an overall concern in that,
7 as a committee, we're about to officially respond
8 to something that we know very little about. And
9 I just personally don't buy into the account vote
10 for it and then read it. And so I guess my
11 concern is more with the start-off wording where
12 we say that this committee, as a whole, have
13 reviewed the proposal.

14 Well, maybe we've reviewed what's
15 public, but there's no secret that there's no,
16 there's not sufficient detail to review. And that
17 we fully support this initiative when we don't
18 know the details of the initiative. And I think
19 this is, regardless of the topic, whether it's
20 this issue or any other issue, I just think that's
21 a very strange place for this committee to go to
22 provide verbal input, that's wonderful, to provide

1 a less formal input is great, I don't have a
2 problem with the input at all. I do have a
3 problem with, at least the way I interpret the
4 opening paragraph, it just seems like a full
5 endorsement of a program that we don't even know
6 the program.

7 That's really my fundamental question,
8 Sonny, is what, as a committee, are we signing up
9 behind when I don't know details?

10 MR. POPOWSKY: Okay. If I could just
11 respond. I appreciate that. We did have, we
12 certainly had to rely on the public documents, and
13 there are -- and perhaps the words, you know,
14 reviewed the proposal and fully supports, there
15 may be tweaks to that, but what we support is
16 certainly -- well, I shouldn't say certainly, but
17 I think the idea is that we had, like I said, many
18 meetings over the last few months with input from
19 DoE providing us information that they could.
20 Although, again, we have to rely on the public
21 information. So that we went around the horn
22 several times in our group to say do we generally

1 support this in principle, and among the working
2 group at least, there was unanimous support in
3 principle.

4 If it would help to change the language
5 a little bit there to say we've reviewed the
6 public documents related that have been made
7 available so far, and we support this initiative
8 in principle, something like that. I suppose we
9 could do that. Again, I'll look to the other
10 members of the --

11 MR. BALL: Or to the --

12 MR. POPOWSKY: -- work group --

13 MR. BALL: -- we've reviewed, you've
14 reviewed the publicly available information, and
15 you have the following recommendations. I find it
16 hard to fully support something, again, I can,
17 maybe we can get behind and fully support the few
18 paragraphs that are out there, but I just -- I
19 think you're really providing recommendations on
20 the publicly available information is what you're
21 doing.

22 MR. POPOWSKY: Okay. What about, does

1 anybody else have any comments on Billy's point --
2 I'm sorry, were you about to -- did you have a
3 comment?

4 MR. HUMMELL: I'd like to engage Mr.
5 Ball for just one moment, because, of course, I
6 take incoming from stakeholders all over our
7 field, and have now for months on this proposal.
8 The committee has an opportunity to express to a
9 larger audience that, based on the depth of your
10 expertise and your own interest in the electric
11 power sector, varied as they are around this
12 table, that there is some merit to the federal
13 government giving states an opportunity to be
14 rewarded for superior performance against their
15 own aspirations in areas that are aligned with
16 national interests.

17 This proposal will not be any further
18 developed unless it is appropriated. It will not
19 be appropriated unless people, in the sector that
20 would have its policies affected by it, find it to
21 be desirable. I cannot be more clear about our
22 constraints and restrictions about further

1 developing the proposal in the absence of
2 appropriations. I hope that's helpful.

3 MR. POPOWSKY: Sue, is your card still
4 up? Okay. Wanda?

5 MS. REDER: Yeah, I support Billy's
6 comments. I don't know if we really concluded on
7 that, but I think the document is well done, and I
8 think with those minor edits, I support.

9 MR. POPOWSKY: Okay. Bob?

10 MR. CURRY: Perhaps the way we could
11 present this is, that the committee has reviewed
12 the information that is publicly available
13 regarding the Race to the Top proposal and fully
14 supports the concept as described therein, and has
15 the following recommendations.

16 MR. POPOWSKY: Billy -- could you try
17 that again, Bob?

18 MR. CURRY: No. (Laughter) The
19 Electricity Advisory Committee has reviewed the
20 publicly available information regarding the Race
21 to the Top proposal and fully supports this
22 important initiative as described therein. It has

1 the following recommendations. I'd have to add
2 more words than that, but that's the concept.

3 MR. POPOWSKY: I'm sorry --

4 MR. CURRY: Race to the Top concept
5 (inaudible).

6 MR. POPOWSKY: We can work on the final
7 language during a break, but is that generally
8 where you want to be, is that okay Billy and
9 Wanda?

10 MR. CURRY: Yep.

11 MR. BALL: You got it.

12 MR. CURRY: I hate to agree with Billy
13 on anything, but (laughter) --

14 MR. POPOWSKY: Whose turn is it? Jay?

15 MR. MORRISON: Thank you. I also wanted
16 to add support for the idea of the initial
17 sentence going from we have reviewed to have
18 recommendations. There are some things that are
19 in the public documents that it's not clear to me
20 are necessarily exactly consistent with where the
21 recommendations come out. Particularly, I liked
22 very much how Holmes just described this as

1 encouraging performance, as opposed to encouraging
2 specific policies. I think the lack of clarity of
3 that difference in the public documents is why
4 recommendation to is so good and so important.

5 And so, because it's not entirely clear
6 to me that the public documents are today
7 consistent with what the committee is
8 recommending, I'm more comfortable with going
9 directly from we have reviewed and have
10 recommendations than we have reviewed and agree
11 and we have recommendations. There's also one
12 other concept that I would love to have seen in
13 the documents, partly just because it's the mantra
14 of our membership, and that's cost effectiveness.
15 We would be uncomfortable if what winds up being
16 some of the proposals that are supported is the
17 replacement of 8-cent power with 12-cent something
18 else. And so, since the President has made a
19 point that Race to the Top should save consumers
20 money, I'd like to see that boiled into the nature
21 of the recommendations, that this is support for
22 cost effective improvements and energy efficiency

1 and energy productivity, as opposed to leaving
2 that important term out.

3 MR. POPOWSKY: Did you happen to find a
4 place where you could get that in there, did you,
5 Jay?

6 MR. MORGAN: Well, you could do it in
7 that first paragraph in section four under the
8 principle in phase one, the Department would
9 provide tools and technical assistance to states
10 and other applicants to help develop cost
11 effective approaches, or their cost effective
12 approaches to advanced energy efficiency, and
13 blah, blah, blah.

14 MR. POPOWSKY: Okay. That's a good
15 place to put it.

16 MR. CENTOLELLA: I guess I'm going to
17 voice a different opinion, which is Prego, it's
18 already there. When we say energy efficiency, we
19 say energy productivity, it implies cost
20 effectiveness, we don't need to be adding
21 additional concepts at this point. The committee
22 worked long and hard to get this language, and I

1 guess I'm of the opinion we should limit the
2 amount of edits here, because I think it's already
3 there.

4 MR. POPOWSKY: Good point. I mean, the
5 sentence that Granger just referenced said
6 approaches to advanced energy efficiency and
7 productivity. Is there a subset of energy
8 efficiency that's not cost effective?

9 MS. GRUENEICH: Yes.

10 MR. CENTOLELLA: Yeah. I mean, from --

11 MS. GRUENEICH: Most energy efficiency
12 going forward won't be.

13 MR. CENTOLELLA: -- LED -- you're really
14 talking about efficiency, and you're talking about
15 productivity, you are inherently making a decision
16 that the value that is being received is in excess
17 of the costs that are being used to create it. If
18 that's not the case, then you're not talking about
19 efficiency and you're not talking about
20 productivity. So I guess I think we're getting
21 caught up in sort of traditional regulatory lingo
22 that I think the approach here was to try to

1 encourage a broad thinking about how do we move
2 forward on a national energy agenda, and I don't
3 want it to be captured in what has necessarily
4 been the least cost lingo of the past.

5 MR. POPOWSKY: Jay or Rob? Bob, you
6 still have your cards up.

7 MR. MORRISON: If the committee believes
8 it's there, and certainly DoE has heard the
9 discussion, then I'm not obviously going to
10 insist. I would like to make the point that I do
11 believe that there is a category of efficiency
12 that is not cost effective, there is certainly a
13 tremendous amount of cost effective efficiency out
14 there to be obtained. But what particularly
15 caught my attention is that the concept of
16 customer-owned generation and efficiency seemed to
17 have been conjoined in some of the materials.
18 And, given that, my concern about cost
19 effectiveness is that much greater.

20 MR. POPOWSKY: Okay. Well, it seems to
21 me we don't -- okay, anybody else have any, want
22 to put anything else out on the table? It seems

1 to me that, with some modest edits over the
2 upcoming breaks, we ought to be able to come up
3 with something that we can load on today or
4 tomorrow morning. Hopefully today. Because, like
5 I said, I think it's really important that we put
6 this out there at this meeting rather than wait
7 until October when everything is already decided.

8 So I guess I would encourage a few folks
9 -- I'm sorry, Pat, did you --

10 MS. HOFFMAN: One thing I guess I'll
11 just point out to the committee is, I know in past
12 documents, in order to keep things moving and move
13 forward, we recognize that if there was an issue,
14 it was either debated or characterized that we
15 just stick a point note that this was discussed in
16 the meeting, and then leave the document as is.
17 Put a note in the document recognizing, you know,
18 that issue that was brought up so we can just keep
19 moving things forward. We've done that in the
20 past where we've had kind of issues that were kind
21 of debated and discussed.

22 MR. POPOWSKY: Okay. Granger?

1 MR. MORGAN: I'm perfectly happy to have
2 the document stay as it is in this respect, but I
3 would point out that a number of folks, ourselves
4 included, in a recent piece in issues in Science &
5 Technology have produced energy efficiency supply
6 curves, and if you go far enough out on those
7 supply curves, it's no longer cost effective. And
8 so that's why I agreed with the comment, but I'm
9 also perfectly happy to accept the language just
10 as it is.

11 MR. POPOWSKY: Okay. Could I get a few
12 volunteers to meet over the break, Bob, Sue, Paul?
13 Okay. Merwin? Okay. Oh, do you have another
14 comment, I'm sorry.

15 MR. BROWN: Yeah, I'm sorry. I guess
16 all the comments have got me into a nitpicky mode
17 (laughter). But one thing that does bother me a
18 bit is the statement lifted from the blueprint,
19 it's in number five, recommendation five, as noted
20 in the State of the Union blueprint, the energy
21 efficiency and productivity achievements resulting
22 from the Race to the Top program will not only

1 save consumers money, but will drive investments
2 that enhance manufacturing competitiveness and
3 improve grid resiliency and cut carbon pollution.
4 Did the committee actually question that, whether
5 those were completely true statements? I mean,
6 I'm not convinced they are. I mean, yeah, I can
7 see instances where this does happen, but I don't
8 see it all following that that will happen.

9 And I'll just say I feel more
10 comfortable if the subcommittee could suggest that
11 you look at this and were comfortable with those
12 words, and that's okay. If not, maybe just take
13 them out, because it doesn't really add much to
14 the recommendation, per se, as I can see, and
15 neither challenge nor accept that particular
16 statement. But just wanted to raise whether or
17 not you raised the question.

18 MR. POPOWSKY: Any comments from members
19 of the working group on that? Paul?

20 MR. HUDSON: Just real quickly. I mean,
21 the reason I didn't raise any objection to that
22 language is because the assumption I was making

1 going in is that the Department would implement
2 the program in such a fashion as to carry forth
3 those goals. I mean, it certainly all depends on
4 implementation.

5 MR. POPOWSKY: We could even say, if
6 implemented properly, it would have those results,
7 or we could take it out. I mean, like I said,
8 it's true, the point in that paragraph, like I
9 say, we're focusing on energy efficiency and
10 productivity, but if you really do energy
11 efficiency and productivity, it should have these
12 additional, we agree it should have these
13 additional results. But I have to admit, we
14 certainly didn't do a study of that.

15 MR. HUDSON: But you see them as
16 criteria as opposed to natural results that would
17 result from any of these activities.

18 MR. POPOWSKY: Okay. Sue?

19 MS. KELLY: One possible way to finesse
20 that point would be to move that statement back
21 into the section that describes the Race to the
22 Top section. That way, it's there as a statement

1 of what was in the blueprint as opposed to
2 something that we all, you know, to a man and
3 woman, all agree 100 percent with. And, that way,
4 it will be in there, but it will be in there in
5 perhaps a less controversial way.

6 MR. POPOWSKY: Okay. Well --

7 MS. KELLY: Maybe you could leave this
8 to the drafting group to look at over the break.

9 MR. POPOWSKY: Yeah. Who have we got on
10 this committee now? Sue --

11 MS. KELLY: Sue, Paul, Bob, I think, was
12 the --

13 MR. POPOWSKY: Bob. Okay. Janine, I
14 guess, did you --

15 MS. MIGDEN-OSTRANDER: I'll help.

16 MR. POPOWSKY: You'll help too, okay.
17 Janine -- great. Okay. We are just about at the
18 time for our break, is there anything else on this
19 -- I'm sorry, Holmes?

20 MR. HUMMELL: Before the break, I simply
21 want to express my appreciation to the hard
22 working members of the subcommittee. I first

1 brought to this FACA a proposal in December of
2 2012, that was the glimmer in the eye of a budget
3 process that was under tremendous pressure. For
4 the administration to have come forward with a
5 \$200 million-plus up to the Department of Energy
6 means that we withstood all comers from all
7 agencies for all time between December and March.

8 That was an incredible melting,
9 withering assault on our idea, and it was the
10 support of the members of this committee who
11 recognized that there was some innovative
12 potential to refresh the kinds of relations and
13 activities that can take place between the
14 Department of Energy and states and co-ops and
15 public power authorities that gave this proposal
16 the winning status in what is really a
17 fiercely-fought sweepstakes.

18 To come out of the budget request with
19 this intact is a remarkable tribute to the kind of
20 support that members of the subcommittee have
21 provided in terms of very careful edits, very
22 attentive criticisms, constructive criticisms that

1 have helped us improve and be more responsive to
2 those in the field that would ultimately benefit
3 from a program if it were appropriated. I won't
4 be here when you reconvene, so I couldn't help but
5 seize the opportunity to express my appreciation
6 and also reflect back to you the effects of your
7 handiwork. Thank you very, very much.

8 MR. POPOWSKY: Thanks, Holmes, and
9 thanks again to you for all your great work on
10 this, we really appreciate it. Samir, did you
11 have an announcement?

12 MR. SUCCAR: Just a logistical note.
13 For the break, there is a deli in the building
14 through the double doors and sort of over to your
15 right, you'll see a sign for the cafe, so you
16 don't have to leave the building. For those
17 registered for dinner, we'll have an announcement
18 about that. Dinner will take place at 5:01 North
19 Randolph on the other side of the mall, and we'll
20 have a meet up, we'll announce a time for folks to
21 walk over together, if you so choose.

22 And, with that, I'll follow up that, the

1 note about dinner later in the day, but I just
2 wanted to give you those heads up, thanks.

3 MR. POPOWSKY: Thanks. So shall we
4 shoot for 10 after 3:00, give people 15 minutes
5 rather than just 10. Is that okay, Chris? We'll
6 start promptly at 3:10. We've got a full
7 afternoon ahead of us in terms of the cyber
8 security issues, and then some important
9 transmission issues at the end of the day. So
10 thanks a lot for your attention, and see you at
11 3:10.

12 (Recess)

13 MR. POPOWSKY: Thank you very much. I'm
14 sorry, we're a few minutes behind schedule, but
15 let's get started. Chris, any time you're ready
16 to get started.

17 MR. PETERS: Sure. Thank you, Sonny.
18 As the agenda indicates, we have what I think is
19 an outstanding panel, with some very distinguished
20 panelists with unique backgrounds here, I think
21 are very germane to the cyber debate that we read
22 about every day in the papers, and hear from the

1 President and Congress on quite frequently. The
2 title of the panel is Key Federal Roles to Enhance
3 Cyber in the Power Sector. And I can't think of a
4 more appropriate topic, given where we are with
5 NERC-SIP, version 5, and the executive order.

6 So on my left here, our panelists: We
7 have Marianne Swanson, who is the Senior Adviser
8 for Information Technology Security Management at
9 the Computer Security division at NIST; we have
10 Dr. Robert Coles, who is the Chief Information
11 Security Officer and head of Digital Security and
12 Risk at the National Grid; we have Samara Moore,
13 Director on National Security staff for Cyber
14 Security Critical Infrastructure Protection; and
15 Jason Christopher, with the Department of Energy,
16 who is the technical lead for Cyber Security
17 Capabilities and Risk Management. And Jason, from
18 what I understand, will be taking over the C2M2
19 model.

20 So, without any further ado, we're going
21 to kick off this panel with Marianne Swanson, and
22 she's going to give us a couple thoughts on her

1 role at NIST and where some of her focus is on the
2 cyber debate.

3 MS. SWANSON: Good afternoon, everyone.
4 I decided I better bring these, just in case, but
5 it looks pretty big at the moment, so I think I'm
6 good. So let's talk about cyber security and what
7 the National Institute of Standards and Technology
8 is doing. So we've been involved in the
9 electricity sector for about the last four years,
10 now. Actually, NIST is also very much, our
11 mandate is to provide guidance to the federal
12 agencies, cyber security guidance to federal
13 agencies. And then, under SSSA, we became
14 involved, then, with the electricity sector.

15 So, back in about three, no, about four
16 years ago, we started a group called, back then,
17 it was the Cyber Security Working Group, and that
18 was something we put together. Gosh, we had about
19 800 members that ultimately joined this group.
20 When we formed, when NIST formed and Department of
21 Energy, we formed the Smart Grid operability
22 panel, this committee was brought in under that,

1 or this working group was brought in under that.
2 So, at this stage, now, the committee, or this
3 Smart Grid operability panel, which is what I
4 chair under the Cyber Security committee, under
5 this Smart Grid interoperability panel has been
6 changed from a member, from a public/private
7 partnership.

8 So this was a NIST-funded deal, and then
9 the public coming together, we now are a
10 membership based organization. So the SGIP is a
11 membership based organization that started in
12 January. So now we are the Cyber Security
13 Committee under, within the SGIP. So I'd have to
14 say we're having a little bit of, what would you
15 call it, birthing pains, we're coming together,
16 and hopefully, a lot of you are, have heard of the
17 SGIP. And we are now up to about 200 paid
18 members, so we are moving along quite well.

19 The cyber security committee is doing
20 quite a bit of work, we're continuing on, we're
21 now at about 75 members, instead of the 800 that
22 actually, in all reality, we had probably about 50

1 that really did work. So now I have 75 that I'm
2 really going to make them work, and they've signed
3 on, so we're going along. So we've been doing a
4 lot. For the last four years, the committee has
5 been quite active, and I thought, well, I'd give
6 you just a few highlights of some of the work
7 we've done.

8 We put together a NIST interagency
9 report, Guidelines for Smart Grid Cyber Security,
10 in August 2010, and now we're updating it. So
11 this guideline is actually being used throughout,
12 it's global, we've got China, who actually
13 translated it, they're using it, we have the
14 European union, who has taken the recommendations.
15 We have requirements, and they're high level
16 security requirements on the kinds of things you
17 should be doing from a cyber security perspective
18 for securing your information systems, your
19 industrial control systems that are related to
20 Smart Grid. So these requirements are being used
21 in many documents throughout the world, so we
22 really have a success on our hands with this NIST

1 IR.

2 Something else that we're working on
3 right now is a user's guide. So we have these
4 requirements and how you should be applying them,
5 but what we really need is a step-by-step very
6 simplistic approach on how you would go about
7 applying the requirements to your system, and walk
8 you through a risk management approach on how to
9 do this. So we're working on that right now.
10 Another document, which I actually didn't list on
11 here that goes with this, is an assessment guide,
12 and it's actually taking those high level security
13 requirements, and how you would assess them,
14 things you would need to look at to see if those
15 high level security requirements were being
16 implemented, thing you should review, people you
17 should discuss, who you should interview, that
18 kind of thing.

19 So the NIST IR will be updated, it is
20 being updated, we'll be putting it out for public
21 comment, because it is a NIST document, that's the
22 way we do things, probably within the next month

1 or so. So it's coming out pretty quickly, and
2 that would come out for about a 60-day review
3 cycle. Something else that we're doing under the
4 Smart Grid interoperability panel is reviewing
5 standards. So we have standards, and part of SSSA
6 is to facilitate the development of interoperable
7 secure standards for Smart Grid. So one of the
8 things that we're doing in our committee is
9 reviewing these standards, standards that are
10 being worked on within the Smart Grid
11 interoperability panel, other standards that were
12 deemed key standards that are in our NIST
13 interagency framework document.

14 So we've already done, in the last four
15 years, about reviews. So we've taken these
16 documents, these standards, reviewed whether they
17 have addressed cyber security appropriately, or,
18 and then make recommendations where we feel that
19 the standard may be lacking, maybe not
20 facilitating the functionality for a secure
21 interoperability. So we have quite a few reviews
22 that have been completed, and these reports are

1 out there right now on the NIST Wiki site that you
2 can review. So if you're looking at something
3 like IEC's -- gosh, any of them, practically.
4 Pull it up, you can take a look and read it. SEP
5 2.1 is one we're reviewing right now. I think
6 Open ADR was another one we just reviewed.

7 So we've got a lot that we've done. And
8 you can then look and see what are some of the
9 security recommendations that we've made and that
10 the standards bodies are now taking back and
11 trying to implement. We've also worked on taking
12 a NIST document, a NIST Special Pub 839, which is
13 risk management, and working with Department of
14 Energy and on NERC to develop a guide for the
15 electricity sector using that NIST document,
16 taking it apart and turning it into something that
17 would be unique to the electricity sector. So
18 we're taking away all that federalese, the normal
19 federal terminology that you get on the NIST Pubs
20 and making it something that's more for the
21 electricity sector.

22 We're also working on a case study where

1 we actually are taking that user, that risk
2 management guide and applying it to a fictitious
3 electricity company. So I think it's Papaya
4 Power, and it's quite good, so we're hoping to get
5 that published very soon, because that's a real
6 world kind of implementation of how you would go
7 about addressing risk in your utility. We've also
8 done some white papers, we've taken a look, we
9 actually collaborated with DoE's NESCOR SEP 1.0
10 and 1.1 mitigation strategy. That protocol had
11 some cyber security related issues and so we came
12 up with ways that you could mitigate some of those
13 cyber security vulnerabilities.

14 And then, lastly, and there are more,
15 but I'm only going to go on a few, was a white
16 paper on automating Smart Grid security, and this
17 is all about the Smart -- or a Secure Content
18 Automation Protocol, and it's something that we're
19 doing at NIST called SCAP. And SCAP is really the
20 way that we, within the federal government are
21 facilitating continuous monitoring, or situational
22 awareness of all our IT systems. So it's a

1 protocol where the different tools can talk
2 together using a standard protocol, something that
3 we're very interested in from a Smart Grid
4 perspective. And so we wrote a white paper on
5 that.

6 And that's just a few. We've done
7 things in privacy that are numerous, as well. So
8 some NIST Smart Grid related projects, so those
9 were the SGIP where NIST is playing a key role as
10 the chair of that committee, but we've also got a
11 lot of, we are doing some things within NIST. So
12 one of them, right now, is we're partnering with
13 the Department of Energy and their Oak Ridge
14 National Laboratory. What we've done is we've
15 taken the NEMA upgradability, AMI upgradability
16 standard, so we've taken that standard and written
17 a NIST IR on how you would test to it. So we've
18 taken the standard and written test cases on how
19 you would test a meter implementation, so an AIM
20 implementation, and how you would test to see if
21 it is meeting that NEMA standard.

22 And what we've done is, we're now

1 working with Oak Ridge on implementing that test
2 suite on an actual AIM implementation to see,
3 then, if they, the NIST IR is written accurately
4 from a test criteria perspective. But then, more
5 importantly, to go back to the C 12, the ANCC 12
6 standards group, who are ultimately going to be
7 revisiting that NEMA standard, to ensure that,
8 when we were testing this standard, what was
9 missing, what needed more work. It would have
10 been nice if we would have tested security in this
11 area, or it would have been great for the standard
12 actually had these things in addition.

13 So this is a great way of informing the
14 standards body, who is going to be revising the
15 standard, of the additional things that the
16 standard should really obtain. So it's a great
17 project, and it's going along quite well. Another
18 thing we're doing is we're putting to the a test
19 bed at NIST on cyber security. It's a cyber
20 security telecommunications test bed, so that's
21 just getting started. In fact, they're still
22 taking out the walls, so we're not anywhere near

1 there. And then one other item that you may or
2 may not be aware of is the executive order.

3 So, back in February, and I know, Samir,
4 you're going to talk about it a little bit more,
5 but back in February, the President issued an
6 executive order on securing the critical
7 infrastructure, the cyber security of the critical
8 infrastructure, and tasked NIST to develop a
9 framework, and we had something like 240 days to
10 do it in. So we have been going, working quite
11 diligently, we've held a workshop just last week
12 -- well, I'll backtrack. We actually, in
13 February, put out a request for information to the
14 public asking, we had about 30 questions on what
15 you're doing, what's important from a critical
16 infrastructure perspective and cyber security, and
17 we received over 260 responses back. Some a
18 couple pages, many in the 20, 30, 40 pages, and
19 some in the 100 pages of responses back to these
20 questions.

21 So we've taken those, analyzed those,
22 came up with some themes, and then had a workshop

1 just last week where we had over 420 critical
2 infrastructure participants or stakeholders attend
3 where we went through our analysis of our, of
4 those requests for information responses, and came
5 up with four tracks that we had. And we split
6 everybody up in working groups and came up with
7 the business of cyber risk, the threat management
8 track, a dependency and resiliency track, and then
9 progressive cyber security, or what we like to
10 call it is the basic hygiene and maturity.
11 Anyway, those four tracks were what we were
12 meeting on and delving deep with the members, or
13 with the participants. So now we're going to be
14 having, powwowing tomorrow, actually, and we're
15 going to be developing this framework, an outline,
16 and it will be a fleshed-out outline of what this
17 framework we believe should look like based on the
18 workshop that we had last week.

19 These themes will come up with best
20 practices and standards, so we'll see. The next
21 workshop is going to be held, and with this
22 executive order, it actually said that NIST, you

1 must work with the private sector, this isn't for
2 you to go off and do all by yourself. So we're
3 having to convene with the private sector, so
4 we'll be having our next workshop to go over this
5 outline in San Diego July 10th, 11th and 12th. So
6 that will be the next one, and then in September
7 we'll hold the final where we'll have the actual
8 document, the straw man. And, again, everybody
9 will come together, and anybody is invited to look
10 at this straw man and help us finalize it at the
11 very end. So that's kind of the path forward for
12 that.

13 And then some potential future work.
14 SCAP, as I mentioned a minute ago, is something
15 that we're really wanting to pursue, so I suspect
16 that that will be one of the areas that you'll see
17 NIST delving into. We, the whole lightweight, low
18 power crypto is another one that we feel very
19 strongly that is needed, especially like in the
20 metering, where you want to have encryption, but
21 the devices themselves can't really support that.
22 We also are working with Brazil's Inmetro, which

1 is sort of a sister agency to NIST, on developing
2 additional AMI security failure scenarios, and
3 then, now, the actual mitigation and how you would
4 mitigate these scenarios, from a cyber security
5 perspective.

6 And then another one, probably not until
7 the beginning of the fiscal year, but another one
8 we'd like to work with the Department of Energy on
9 would be on supply chain. So I think that's going
10 to come out from this executive order, and all the
11 work we're doing, but this will probably be a gap
12 that we're going to see that we need more guidance
13 in supply chain. So this might be a natural fall
14 out for us to work together on that.

15 And I think that's it for me, and I
16 guess we're going to do questions at the end, yes?
17 Okay. Very good, thank you.

18 MR. PETERS: Marianne, thank you.
19 (Applause) And thank you for the outstanding work
20 you've done at NIST and the support you've given
21 the private sector, it's much appreciated. Our
22 next panel list will be Jason Christopher from the

1 Department of Energy.

2 MR. CHRISTOPHER: I didn't bring my
3 glasses, but I brought water, which is equally as
4 important for me. My name is Jason Christopher,
5 thank you very much very having me today. I'm not
6 going to be speaking about all of the things that
7 OE does in cyber security, there are a lot, but I
8 will be speaking about the one piece that Chris
9 already alluded that I'll be taking over, which is
10 the Electricity Subsector Capability, Cyber
11 Security Capability Maturity Model, which is a
12 mouthful, so just say ES-C2-M2, makes life a lot
13 easier.

14 So, to give a little bit of background,
15 this is an administrative-led, this is led by DoE
16 with collaboration from both private and public
17 sector. The challenge was to develop capabilities
18 and manage dynamic threats, to understand the
19 cyber security posture of the grid. The approach
20 that was taken was to actually develop a maturity
21 model in order to measure these capabilities. The
22 results were a very useful tool, and I'll go

1 through exactly what that looks like, to be able
2 to let a utility sit down, have the discussions
3 and the dialogue, go through and look at metrics
4 to see where you are in terms of maturity for your
5 cyber security capabilities.

6 The project was kicked off in January of
7 2012, and by April of 2012, there were 17 pilots,
8 and by May of 2012, the document was released.
9 So, in terms of actually producing something in a
10 quick time span, the team did a fantastic job of
11 giving something that was both timely and useful
12 for industry. The future objectives that we'll be
13 looking at is strengthening the cyber security
14 capabilities. One of the things that I'm
15 emphasize is lot is that we are talking about
16 maturity of the capabilities, and one of the
17 things we're looking at in the future is where is
18 the adequacy and the strengthening, the weaknesses
19 and the prioritization that comes with that.

20 In order to do that, we need
21 benchmarking. That's one thing that utilities
22 have been asking for, they've been saying, well,

1 okay, now that I've been doing this facilitation,
2 where do I lie, how do I compare? Those are some
3 of the things we're going to be looking at in the
4 future. And also, with that, comes sharing the
5 knowledge of if people are at a higher maturity,
6 well, would they be able to provide insight and
7 input to somebody who may not be as mature in a
8 certain capability. So, I'm putting some screen,
9 I don't want people to have their eyes glaze over
10 or get overwhelmed because there's ten things on
11 the board. There's a lot.

12 However, what I will tell you is that,
13 when you do facilitation, we cover all of this in
14 one day. This is very different than other cyber
15 security test audits that are out there which
16 could take on the period of weeks. So, in terms
17 of sort of the bang for your buck, the gut check
18 of where you are, to be able to set aside the time
19 and capabilities for one day and the resources to
20 do this, you're covering these ten different
21 domains. If you talk to your cyber security
22 staff, this isn't going to be anything that is

1 mind blowing, that seems like a curve ball. It's
2 things like risk management, things that we
3 actually just started, Marianne discussed, that
4 they were talking about for Smart Grid cyber
5 security.

6 We baked in everything that has been
7 learned from other standards, but also threats and
8 vulnerabilities that we're aware of during the
9 creation of this project. So I'm not going to go
10 through, necessarily, and list all these things,
11 but this is really kind of the basic where you're
12 looking at when you're developing your models and
13 where you want to be for cyber security. So,
14 really quickly, now that you've seen the ten
15 things that we're going to be looking at in terms
16 of domains, where do we rank people. And it's
17 this thing of looking at your maturity levels, the
18 maturity indicating levels, MILs, you have three
19 levels. Technically four, because there's a zero
20 level when you're not doing anything.

21 In these cases, what you're looking for
22 is whether or not practices have actually been

1 initiated, meaning that they're on an ad hoc
2 basis. If they are on an ad hoc basis, that would
3 be kind of determined by your resources, who's
4 doing the initiation. So it may vary from person
5 to person if you don't really have a set up,
6 documented practice. So the next part is
7 performed, you're documenting that practice,
8 you've actually done something more than doing the
9 ad hoc, you've had adequate resources applied to
10 them. And, finally, we're talking about actually
11 managing the practices. So you have the
12 documented procedures in place, now you have a
13 policy in place that you can compare to, and maybe
14 you're doing a review cycle on that.

15 So when we're talking about the
16 different metrics across those ten domains, there
17 are 312 metrics that you're actually looking at.
18 This is what we're ending up trying to find out
19 from what your maturity level looks like. Another
20 thing where -- don't let your eyes glaze over,
21 it's really fun. These are donuts. Everybody
22 loves donuts. The green donuts -- and, I

1 apologize, I'm color blind, so going forward in
2 the future, I may work on the green shading a
3 little bit. If you're green, whether you've got
4 light green or dark green, it means that you've
5 achieved that MIL. If you see any red or light
6 red, it means that you're not there yet.

7 And the way that you can see it is in
8 the key right there, on the bottom there; it is
9 fully implemented, largely implemented, partially,
10 or not implemented. This isn't a binary test,
11 there's no pass/fail, if you're going through this
12 and you are, you've got a practice in place, but
13 you have some gaps, okay, well, maybe you're
14 partially implemented. If you've got some things
15 to strive to improve upon, then we could say that
16 you'd be largely implemented. And, likewise, if
17 you've met everything that's in that metric, then
18 fully implemented.

19 What I want to capture here is something
20 very important, this isn't a one-off test. As you
21 hear, whenever you talk to somebody from cyber
22 security, there's no silver bullet. This is not a

1 silver bullet, but it incorporates into the
2 practices, it helps you with your defensive
3 posture, it helps you evaluate that. So when you
4 perform an evaluation for the ES-C2-M2, you're
5 going to see where your gaps are, you're going to
6 go back to that wonderful donut diagram, you're
7 going to see where your red pieces are, you're
8 going to analyze those gaps, and then you're going
9 to prioritize.

10 So if I go back over here and I look at
11 this fictional utility summary score that we would
12 give out at the end of the facilitation, you can
13 see that, for risk, they're at a MIL one, because
14 that donut is all green. But they've got two
15 practices that are not implemented that would get
16 them to a MIL 2. Should they prioritize that,
17 compared to things that are MIL 0, which they're
18 at asset in their cyber security program. Maybe
19 that's where they should be focusing on,
20 especially since you see it's a lightly shaded
21 red, they may be closer to doing that. So it
22 helps with the dialogue to actually figure out

1 where you're going to prioritize next.

2 And I also emphasize that, it may not
3 make sense for every single utility to be MIL 3
4 across the board, this is really something that
5 you tailor to yourselves based on your own
6 internal discussions and on your own resources.
7 So we're not talking about when we say
8 benchmarking, comparing a smaller mini co-op to a
9 larger customer footprint such as a Con Edison,
10 you don't want to necessarily, they're not going
11 to have the same resources at play. So in terms
12 of what your evaluation will look like, it will
13 vary from utility to utility.

14 Once you prioritize and plan out how
15 you're going to implement something, you can then
16 implement to fill those gaps, and then, finally,
17 really encourage everybody to go back and perform
18 the evaluation again. It doesn't necessarily have
19 to be an annual basis, once again, this is
20 tailored to what you would want to do, but it
21 would be shorter or longer than that to find out
22 where it is that you're tracking along and how

1 you're getting there. One of the things that we
2 encourage people to do before facilitation takes
3 place is actually figure out where do you want to
4 be, or where do you think you are right now.

5 The dialogue of where you think you are,
6 and then you do an evaluation and you find out
7 where you actually are, could spur a lot more
8 internal dialogue about where you want to be
9 later. A lot of that's an educational for
10 utilities that have participated. I'll get back
11 to that in one second. So one of the things I
12 want to talk about also is kind of the usefulness
13 that utilities have seen in this. So far, since
14 the pilot programs, we have had roughly a dozen or
15 so self-facilitations where we actually go out to
16 the utilities and help them with facilitations at
17 no cost. We've had over 200 people request the
18 tool to use for their own purposes, so it has
19 gained traction, we are looking at more people who
20 want to do this kind of life cycle analysis of
21 where their cyber security capabilities are.

22 Lastly, what I'll leave with -- and I

1 realize that there's a lot of information, so I
2 will be here and entertain as many questions as
3 people can throw at me. I want to give you a real
4 life scenario of when the team had put together
5 why you'd have these different ten logical
6 domains, what they were there to address. They
7 are to address real threats. There was an APT, an
8 Advanced Persistent Threat, discovered by McAfee
9 in 2011 called Night Dragon. So Night Dragon used
10 social engineering techniques, combined with
11 well-coordinated targeted attacks with Trojan
12 horses and other malware, so when you look at how
13 that is being reacted to, you can then see where
14 you'd want to be with this model, and why the
15 model would end up helping that. So social
16 engineering.

17 And one of the things that the practice
18 in the ES-C2-M2, one of the metrics is having the
19 awareness based off your own threat profile. So,
20 with that being said, if you're getting a phone
21 call that says that I'm from IT and I need to know
22 your password so that I can update your account,

1 maybe one of the things you bake into your
2 situational awareness is that IT will never ask
3 you for your password. It's things like that that
4 kind of start the dialogue, and so that's captured
5 in the work force domain. Likewise, you have very
6 simple things like known vulnerabilities and lack
7 of awareness, information sharing, being a part of
8 the ESI set, getting their alerts, ICS or US-CERT.

9 So all of this is kind of baked into the
10 model, is what I'm trying to get at, and it's
11 based off of real life things, it's not sort of an
12 esoteric or existential exercise, there is
13 tangible results that can be played, here. With
14 that, the model is online, it's really available.
15 If you e-mail ES-C2-M2@DoE.gov, the e-mail goes to
16 me and my team, we will happily answer any
17 questions you have on it. Likewise, we provide
18 the tool kit, which is more than just a model that
19 you see online. The tool kit itself will give you
20 the lovely donuts when you fill out all the
21 questions, so you can find out how much green or
22 red you have in your donuts.

1 We provide that so you can go off and do
2 your own facilitations, do your own life cycle
3 analysis, but, again, we offer these free
4 facilitations, we'll go out and we'll help you do
5 the exercise itself. Thank you very much.

6 (Applause)

7 MR. PETERS: Thank you, Jason, and I'm
8 sure all of us will never eat Dunkin' Donuts again
9 without thinking about cyber, so thank you. Our
10 next panelist is Dr. Coles from National Grid.
11 I've had the privilege of working with Dr. Coles
12 for two years, he is the founder of the North
13 American Chief Information Security Officer Forum
14 that he founded two years ago, and marshaled
15 industry leaders across the utility sector to talk
16 about subjects such as cyber threats, risk, NERC
17 CIP, and he's done an outstanding job at leading
18 this forum and helping us.

19 He has brought some of his best
20 practices from the U.K. over to the U.S., and I
21 find it ironic that somebody from the U.K. had to
22 form a North American alliance to get us all

1 moving in the right direction.

2 So, with that said, welcome, Dr. Coles.

3 DR. COLES: Thank you, Chris. Chris
4 asked me to talk about a real life case study of
5 (inaudible). So, just a little bit of context for
6 those that don't know, National Grid operates in
7 the U.S. and the U.K. In the U.S., in the
8 Northeast, we deliver and transmit gas and
9 electricity for quite a big chunk of the
10 Northeast, and all the generation for Long Island.
11 In the U.S., we're the monopoly transmission
12 system operator for electricity, and we transmit
13 and distribute gas to about a fifth of the
14 country, about 8 million customers in the
15 northeast of the U.S., and about 18 thousand
16 staff, so I think we're the second, I think we're
17 still the second biggest investor and utility in
18 the U.S.

19 So that's the context. So, in terms of
20 enterprise security management, everything we do
21 is driven by risk. My team is dedicated to risk
22 management, so we have a systematic process of

1 looking at threats, looking at incidents,
2 understanding the business and how it's changing,
3 which may introduce risk or it may mitigate risk
4 in its own right. Similarly, technology and
5 technology changes, which, again, new technologies
6 may introduce risk or may, indeed, mitigate risk.
7 And then compliance, which is driven by
8 legislation and regulation.

9 So those are all the things that we look
10 at when trying to understand risk, internal and
11 external, or they provide us with an independent
12 view of all of that as well, which goes into the
13 formula. And then the outcome of that formula is
14 our understanding of risk, and if we think that
15 the risk is too high, given our risk appetite, and
16 that drives the program for the things that we do
17 to reduce risk. Otherwise, then, we're happy to
18 look at the risk and accept it, put it on the risk
19 register and regularly review it.

20 So that's what my team does, in the
21 bottom left hand corner. I joined the
22 organization three years ago from the financial

1 sector, I was Chief Information Security Officer
2 for Meryl Lynch before this job. And I guess the
3 trigger for change for us was that my boss joined
4 the organization, he's the CIO about six months
5 before me, he was expecting to see -- he came from
6 finance, Thompson Reuters, and I think CIO for the
7 Royal Bank of Scotland before this, and various
8 other bank jobs. He was expecting to find a big,
9 complex cyber security team with the senior person
10 having it out, and he just didn't find that, he
11 found a very small team, half a dozen people, low
12 level, very buried, very far down within the IT
13 organization.

14 So his challenge to me was to build a
15 team, which we've done over the last three years,
16 to getting on for 14, my team now. We cover
17 governance, risk and security within IT within IS,
18 investigations and threat management, I've got a
19 group that are specialists, security subject
20 matter experts which get involved in all the
21 systems change and systems development we
22 undertake, making sure that when we buy or when we

1 build systems, we ask for security and we get what
2 we ask for. I've got a group responsible for
3 strategy, architecture and policy, a group to face
4 off against the businesses so that we can
5 articulate technology risks to the businesses in
6 such a way that they fund, where appropriate, the
7 changes we need to reduce the risks, and then a
8 very small privacy team.

9 We built a risk management and reporting
10 structure around the activities that we undertake,
11 so we have committees in the U.S. and the U.K.
12 because our businesses are quite separate, they
13 are run semi autonomously. We have regional
14 security resilience committees which look at all
15 the risks and make the decisions about the
16 appetite for risk, and then they report up into a
17 global risk and business risk. And a resilience
18 committee that reports through to the exec and
19 through to the board. So I get to address the
20 board roughly about twice a year, the full
21 executive committee roughly three or four times a
22 year, and on a monthly basis the U.K. and the U.S.

1 resilience and security committees.

2 So that's the overall structure. When I
3 joined the organization, the challenge from my
4 boss was to answer the question, how secure are
5 we. Very large, very complex organization, very
6 difficult question to answer, actually. The way
7 that I chose to do it was initially through a
8 whole series of workshops, so I ran 33 workshops
9 covering all business areas, all asset types by
10 getting together business people with IT people,
11 with risk people, with audit people, and we
12 brainstormed the threats, we brainstormed the
13 vulnerability of those assets to those threats, we
14 brainstormed the current level of control, and
15 then we looked to see if there were any gaps and
16 what we could do to close those gaps.

17 That was actually quite a cathartic
18 process for the National Grid, nobody ever got
19 some of these groups together before, and we found
20 that individual people had worries and concerns
21 that they've never been able to tell to get on the
22 table. We found that individuals had part of the

1 picture, but actually had never spoken to some of
2 their counterparts that had the other part of the
3 picture. So actually getting people together was
4 quite a good sort of cathartic process, and doing
5 it in a bottom-up way also got the buy in for the
6 things that we needed to do and the momentum to
7 really carry the program forward.

8 We looked at the threats to the National
9 Grid, we conceptualized the threats in two ways;
10 we conceptualized it in terms of causes and
11 effects. So causes or the threats, we look at
12 malicious actors, and we look at benign factors
13 which could give rise to threats. So the
14 malicious actors, we look at foreign nation states
15 looking to steal intelligence for espionage, the
16 gain or benefits of companies operating in foreign
17 countries. We look at rogue actors, rogue nation
18 states looking to cause damage, we look at
19 criminals, criminals looking to steal data
20 information that could give them financial
21 advantage.

22 We look at terrorists and radicalized

1 insiders that could look to cause damage
2 internally with their national grid, people who we
3 employ, or contractors or third parties. And then
4 -- so that's the threats. If you look at the
5 outcomes or the impacts, then we track the two
6 main risks that we have, which is a catastrophic
7 cyber security breach of critical national
8 infrastructure systems. So that's really the
9 systems that run electricity and gas, essentially.
10 And we look at the (inaudible) sub security breach
11 of business systems and data. So, without the
12 National Grid business systems, it's going to be
13 very difficult to operate the critical national
14 infrastructure systems, because there's a
15 dependency there.

16 And then a new risk that we haven't
17 really fully got our heads around at the moment,
18 which is IT embedded in operational technology.
19 So this is something that's really crept up on us
20 over the last, sort of 10, 20 years, really. And
21 the equipment that we use out in the field 100
22 years ago would have been all mechanical, 50 years

1 ago it was electromechanical that would serve as
2 motors and analog systems controlling that. And,
3 slowly, over the last 10 or 12 years, it's slowly
4 being converted to essentially PCs and servers.
5 So you buy a substation these days, and,
6 essentially, you're buying a data center, a fully
7 fledged, fully equipped IT data center with modern
8 technology in it.

9 We've got a lot of legacy equipment in
10 National Grid that's been built up over that
11 period when we weren't really sure, I think
12 historically, what we were buying. And, to be
13 frank, we didn't ask for any security because we
14 didn't realize that it needed it all those years.
15 So this is something that sort of crept up on us
16 that we're giving quite a lot of attention to at
17 the moment, just to try and understand what that
18 risk is and what the size of that risk is. That's
19 led to the overall program of investment. So the
20 improvements that we've made over the last couple
21 of years, and we continue to make, we're investing
22 in end point security, shared information, network

1 security, access control and some specific
2 improvements in those systems that run the
3 electricity and the gas networks.

4 And that was spread over a number of
5 programs and foundational things that we just
6 needed to get on with and do quickly, make some
7 improvements in, and tactical things which were
8 short term, but which really gave us a measure of
9 protection while we were building a bigger
10 strategic, long-term remediation program. That
11 program is about half way through at this point.
12 We're tracking the risk production, we got the joy
13 of doing the workshops, so that very granular
14 level, of course, is where a huge amount of data,
15 so we can very finely track the risk reduction
16 that we get through the entire program.

17 We recognize that we are not an island
18 -- clearly we're an island, the U.K., within the
19 U.S. We recognize that we work with other
20 organizations, as Chris kindly mentioned, I've
21 been trying to convene my peers and get some of my
22 peers together to work cooperatively together. I

1 find that very useful as a check and balance on
2 what I'm doing, and hopefully, others find the
3 same. So we share information amongst ourselves
4 about threats, about our programs, about what
5 we're doing.

6 I think we do need better intelligence
7 and coordination from the intelligence
8 communities, we're quite good at sharing
9 information ourselves, but we don't have access to
10 that intelligence community readily. It's a
11 little ironic, my English accent, so clearly, I'm
12 a foreigner. My boss is a CIO who is a foreigner,
13 his boss is the CEO, he's a foreigner, so the
14 three people that could actually spend money based
15 on intelligence given to us, we're not allowed to
16 know, because we're foreigners. So I have to have
17 my staff security cleared in the U.S., and they're
18 not allowed to tell me some things, but, you know,
19 it's not an ideal situation, but we get by.

20 We need disruptive capabilities, we, as
21 a commercial, as a private organization, we can't
22 disrupt criminals, we can't go out and attack

1 people, it's against the law, for one thing. So
2 if we're being attacked, we can defend ourselves,
3 but we can't respond or retaliate. We do need a
4 regulatory environment that allows us to invest
5 nimbly in security, the threat is changing very
6 rapidly in cyber security. So when I joined the
7 organization, there were very, very rare the
8 reported incidents, very, very few cyber security
9 incidents. We're now finding that we are
10 regularly under attack, as are our peers, and
11 that's regularly being reported in the press, as
12 I'm sure you all see.

13 We need, we do need a regulatory
14 environment that allows us to very quickly react
15 and direct our investment dollars to defending
16 ourselves, which we don't have at the moment, I
17 don't think. And we do need facilitated
18 coordination of incident response across
19 government and business. And that exists to a
20 certain extent, and I think the Obama Executive
21 Order will certainly help to improve that. What
22 we don't need, we don't need forced disclosure of

1 incidents, because that in and of itself can lead
2 to us disclosing vulnerabilities that other people
3 can take advantage of.

4 We don't need more standards, audits and
5 compliance-based rules, we've got plenty of those
6 through NERC CIP. Ironically, historically with
7 the National Grid, that's actually led to us
8 holding back investment in some areas because
9 where NERC CIP defines that we must do certain
10 things to protect the bulk electric system, then
11 historically, management have said, well, if
12 that's what FERC and NERC requires, then that's
13 the minimum, then that's also the maximum, that's
14 the only thing we'll do. So, historically, those
15 standards have actually held back investment for
16 us.

17 And, finally, sanctions for infringement
18 of the rules don't help, either, so where you're
19 forced to disclose incidents and there's sanctions
20 for not doing so, you tend to find that lawyers
21 crawl all over everything before anything can be
22 released, because it must be declared by a lawyer

1 incident. So, again, ironically, where you're
2 forced to disclose incidents, actually, in some
3 respects, it limits the amount of information
4 that's disclosed and actually reduces information
5 sharing rather than increasing it, in some
6 respects.

7 So that concludes the thoughts I have.
8 Chris?

9 (Applause)

10 MR. PETERS: Thank you, Dr. Coles. And,
11 lastly, we have Samara Moore from the National
12 Security Staff.

13 MS. MOORE: Thank you. Good afternoon,
14 all of you. So I am the one at the end, and the
15 one with no slides, so I hope to keep you engaged.
16 So I appreciate the opportunity to talk with you a
17 little bit this afternoon about the White House's
18 efforts related to critical infrastructure cyber
19 security. At the White House National Security
20 Staff, I'm on detail for two years, or a year and
21 some time, and my role is Director of Critical
22 Infrastructure Protection, and given the activity

1 that we have going on right now, my main role is
2 the White House lead for implementation of the
3 executive order. So I am living and breathing it
4 right now.

5 So I wanted to talk to you a little bit
6 about that, and really, the combined approach
7 that's being taken to address the cyber threats
8 that are faced by the critical infrastructure,
9 really focusing on the combination of information
10 sharing and adoption of cyber security practices.
11 So, first, to start out, a little bit about the
12 cyber security challenge that we are faced with.
13 As organizations realize the efficiencies from
14 information technology, we're seeing increased
15 reliance on information systems and the internet
16 to accomplish core business functions or to
17 achieve mission objectives.

18 A good example of this is grid
19 modernization, that's definitely leveraging
20 technology, but we're also seeing that it is
21 opening up to new threats that, really, we haven't
22 had to focus on or deal with before, and these are

1 threats that need to be managed. So the trend
2 that we're seeing is, and you guys, I'm sure, have
3 seen articles in the paper on this, or even heard
4 speeches and presentations on this, but we're
5 seeing that threats are continuing to increase in
6 intensity, and increasing in complexity, but also
7 the skill set required to be able to carry out
8 such attacks is not as high as it used to be.
9 We're seeing that the accessibility of tools and
10 resources to carry out some of these attacks is
11 much more open and available than it used to be.

12 Also, we're seeing that the impact of
13 the cyber threats is on, could be potentially on
14 your reliability, right. So there may be concern
15 of impacting productivity and performance, but
16 we're also seeing an impact that may not be
17 immediately apparent, and that's a concern that
18 we're very much aware of, related to economic
19 impact, and that's on our intellectual property.
20 So, as we're working on innovative technology and
21 ways, we're really concerned about our
22 intellectual property, theft of business-sensitive

1 or proprietary information, as well.

2 So, to address these concerns, one of
3 the activities that the President is focused on is
4 the Executive Order. And, as Marianne mentioned,
5 in February, Executive Order 13636 was signed, and
6 the intent, the goal was to help strengthen cyber
7 security protections for critical infrastructure.
8 The Executive Order is designed to increase the
9 level of core capabilities that our critical
10 infrastructure has in place to be able to manage
11 these cyber threats that are faced, that we're
12 faced with. And it does so by focusing, really,
13 on three key areas; the first of which is
14 information sharing, the second is adoption of
15 core cyber security practices, and then the third
16 is insuring that all of the actions done in this
17 space are done with strong consideration and
18 protections of privacy and civil liberties.

19 So we see a clear role for government in
20 increasing cyber protections by sharing and
21 leveraging those unique resources that the
22 government has to partner with critical

1 infrastructure owners and operators in managing
2 cyber threats. And we're doing that now, there
3 are existing programs in place to do that now, but
4 we want to do more of it. In particular, if we
5 talk about information sharing, over the years,
6 there are several programs, we take for example
7 both within DoE and within DHS in sharing
8 information, we've shared lots of technical
9 information, threat information. What we want to
10 do, though, is do more of that, we want to do a
11 better job of that.

12 And so, we are working with the
13 information, the intelligence providers to make
14 sure that we're getting information out to
15 critical infrastructure stakeholders in a timely
16 manner and in a manner or a way that's useful to
17 you, and to the degree that we can provide
18 information at an unclassified level, we're trying
19 to do much more of that in a useful way. Not to
20 state that we don't recognize the need for
21 clearances, and so expediting the provision of
22 clearances is part of the activities within the

1 Executive Order, as well, and DoE and DHS specific
2 to the electricity or the natural gas sectors are
3 currently working on processes for that.

4 We also, as I mentioned, are committed
5 to making sure that we address privacy and civil
6 liberty concerns, in particular as it relates to
7 information sharing, privacy and civil liberties
8 is an area that represents a challenge that has to
9 be addressed for us to be able to share
10 information to the degree that we should, that we
11 really need to, to impact this problem. And so
12 DHS has the lead in working and coordinating with
13 the agencies to make sure that privacy is
14 addressed. And then, finally, we're working with
15 the private sector to develop a framework of core
16 practices to really, again, work to develop these
17 capabilities, those core set of practices that all
18 organizations should have in place to some degree
19 to manage cyber risk.

20 Underscoring this framework, and it was
21 mentioned in the remarks earlier, is really a
22 recognition of the need for cost effectiveness,

1 and making sure that, in this framework, it's
2 considering cost and the impact on owners and
3 operators, and also looking at practices that are
4 flexible and scaleable and can be applied to
5 different organizations based on their
6 organizational context and their risk profile. So
7 Marianne gave us a description of the framework
8 and the process that NIST is going through to
9 develop it, from our perspective, and NIST is
10 working really hard to do this, the framework
11 really should leverage existing industry best
12 practices and guidelines in this area, where
13 appropriate, and incorporate those core security
14 measures.

15 What I'm referring to are these common
16 industry practices that many firms are doing
17 already, either in whole or in part across the
18 organization. A great example of this is the
19 ES-C2-M2, the capability maturity model that Jason
20 just briefed us on, which really, I look at this
21 body, it really leverages a lot of work that
22 several organizations here participated and

1 engaged in and helped us to develop. In
2 particular, the framework, you know, there's
3 concern on how does this impact existing
4 requirements and regulations. The framework is
5 not focused on compliance, however, we're working
6 really hard to make sure it doesn't undermine
7 existing requirements that are in place.

8 Also, as we go through the development
9 process, we recognize we may identify gaps where
10 further work is needed, and we may have
11 recommendations for standards bodies to develop
12 either standards or guidance in these areas. We
13 also understand that, with the framework, so what
14 we're focused on is addressing a significant part
15 of where we're being impacted by cyber threats.
16 We realize that the advanced attack or the
17 persistent attacker or the well resourced and well
18 funded attacker may still be able to get through.
19 Because, again, what we're talking about is cost
20 effective flexible core practices.

21 However, what we want to do is reduce
22 the noise, we want to address those core areas

1 that all organizations should be, again, in a cost
2 effective and risk based way. That way, we can
3 focus our efforts on the more sophisticated
4 threats, but then also it causes the attacker to
5 have to focus their efforts and work harder. The
6 last point that I want to make related to this is,
7 is that we're well aware of the interdependencies
8 across sectors, and we're looking across the
9 critical infrastructure community to have a
10 consistent risk based application of cyber
11 security risk management.

12 We see that this is particularly
13 important, you know, coming from DoE, my focus has
14 really been on the energy sector. Now that I'm
15 looking at all 16 critical infrastructure sectors,
16 I constantly hear and I constantly see the
17 significance and importance of interdependencies.
18 So this is something we're also paying
19 particularly important too (sic). So, the impact
20 on this body of all the activity I just described,
21 I'll sum it up in a couple of bullets. One,
22 information sharing. There's sharing going on, we

1 already have examples of where we're starting to
2 improve and increase those processes for this
3 body, and I encourage this sector to continue to
4 be engaged and take advantage of that.

5 There's information sharing forums such
6 as the ESISAT, ISC-CERT, the DHS in-kit, those are
7 all resources that are available now, that the
8 sector should be leveraging. And hopefully, what
9 you'll see is continued improvement and refinement
10 in information sharing there. And then the second
11 area for this group is adoption of practices.
12 Many of you are doing some really great things in
13 this space, I've worked with you guys or with
14 folks in your company, I really encourage you guys
15 to continue to partner with us as we develop this
16 framework. We really want to get it to something
17 that is usable and implementable and could really
18 achieve the objectives that I stated earlier.

19 So moving away from the EO just a bit, I
20 want to talk just a second on legislation. We
21 recognize that the Executive Order is not enough,
22 there are some real challenges that we have.

1 Particularly, we mentioned information sharing,
2 that could only be addressed through legislation,
3 so we're continuing to actively work in this area.
4 As it relates to information sharing legislation,
5 there are three fundamental priorities that we're
6 focused on. The first is carefully safeguarding
7 privacy and civil liberties, insuring that we
8 preserve the long-standing and respective roles of
9 mission, and missions of civilian and intelligence
10 agencies, and then provide for targeted liability
11 protections to help enable information sharing.

12 It's important to note that, on the
13 legislative front, information sharing is not the
14 only part of what's needed, there are other areas
15 that we're also looking for to be addressed in
16 cyber security legislation. So, again, continuing
17 on with the theme of promoting adoption of cyber
18 security best practices, updating the laws that
19 relate to federal agency networks, and then giving
20 law enforcement the tools that they need to fight
21 crime in the current age, and creating a national
22 data breach reporting requirement.

1 So, in conclusion, you know, I'd like to
2 reiterate that we're really focused on partnering
3 with critical infrastructure stake holders with
4 owners and operators to work together to manage
5 the cyber risk. It's really about risk
6 management. And we continue to promote an
7 understanding of the threats that are out there,
8 but not just the fact that there are threats, but
9 really making that link between the business and
10 mission functions, the organization's objectives
11 in the cyber threats, and making sure that we
12 understand what those impacts are so we can make
13 informed risk management decisions and investments
14 in cyber security.

15 So, thank you, and I look forward to
16 additional questions. (Applause)

17 MR. PETERS: Thank you, Samara. What
18 we'd like to do now is open up the floor for the
19 committee members to ask any questions that you
20 may have based on our panelists' briefings this
21 afternoon.

22 MR. POPOWSKY: Chris, I think Pat wanted

1 to make a couple comments.

2 MR. PETERS: Okay.

3 MS. HOFFMAN: You guys are going to have
4 to indulge me on this one, because I'm passionate
5 about this subject. First of all, one of the
6 things that we've been driving for and towards is
7 a risk based process, and so we had did a risk
8 management plan with the electric sector, really
9 looking at the governance structure, which goes
10 back to how does a utility look at their
11 enterprise system and evaluate risk. Because the
12 first thing you're going to do is really
13 understand the risks, or your perceived risks.

14 Now, in my conversations with folks is,
15 not everybody interprets risk the same way, or has
16 a high or low tolerance for risk. So if you don't
17 start at the right level of what do you perceive
18 the risks are and your acceptance level of risk, I
19 think, especially with the conversation with the
20 regulators, you've got to get on the same page of
21 -- because you're not going to be 100 percent
22 secure. I mean, the investment that's required

1 can, you know, get exponential as you get less and
2 less risk tolerance, and so we're going to have to
3 figure out how to work that conversation, at least
4 to get folks on the same page on the risk
5 analysis, at least a governance structure.

6 I was very appreciative of the
7 conversation of having somebody in charge of cyber
8 security, from National Grid's perspective, but
9 that's one thing to look at as we move forward.
10 The second thing is, when we -- so once you go
11 from the risk process, then it's going down to
12 evaluating your maturity level. And the reason
13 that we pushed really hard on maturity level, went
14 back to the question of how secure are we. And,
15 in my mind, when we were having this conversation,
16 it was like, what capabilities do we need to have
17 in the industry to demonstrate that we have our
18 arms around cyber security. And it was a way to
19 say, okay, confidence level, if we're secure, we
20 have a good understanding of maturity around cyber
21 security, we have good situational awareness, we
22 have a strong idea of what the threats are, we

1 have role based access, these are all confidence,
2 but maturity level in which we hope to guide the
3 conversation.

4 So one of the things that, when we
5 looked at the maturity model was a way for
6 everybody to focus how they would represent how
7 secure are we. Because I get that question all
8 the time, and it would be nice of the community to
9 figure out or think about how do we all answer
10 that question in the same way, and what are some
11 of the metrics. I have situational awareness
12 tools, I can have, I have visibility over my
13 system, different things, I have role based
14 access, so we can kind of go through the process
15 of at least representing how secure we are the
16 same way. I mean, I'm interested in National
17 Grid's perspective on that.

18 The other question or the think that we
19 looked at with respect to capabilities, and I know
20 it's not ideal, but we looked at kind of the
21 physical maturity model that some people will have
22 developed, and it was done under DHS, but when the

1 conversation becomes more sophisticated, the
2 security experts are able to sit down and say I
3 know the cost effectiveness of a camera versus a
4 fence versus a guard dog, and they can put a
5 weighted kind of assessment of cost effectiveness
6 around those different tools. And one of the
7 things is, we've got to get to that level in the
8 cyber area where we can kind of compare capability
9 A versus capability B, and say, okay, the security
10 guys feel that having this type tool is a little
11 bit stronger than having B, and it helps us with
12 that overall long-term investment strategy.

13 So, as I look to develop, or as the
14 industry looks to develop best practices, one of
15 the things that I'm keeping in the back of my head
16 is, really, a little bit of a weighted evaluation
17 on some of those different best practices for cost
18 effectiveness and performance, so that as people
19 go forward and say, okay, how do we invest in it,
20 we can have a little bit of a baseline. Supply
21 chain, gosh, that's a big issue, and these guys
22 can comment, but the frustration thing there is,

1 there's a lot of vulnerabilities out there, how do
2 you prioritize it. The cyber community, if a
3 vulnerability isn't fixed because they perceive
4 it's a higher risk than the supply chain
5 developer, then they disclose the vulnerability
6 and they write an exploit on it, and they put it
7 on the internet. And, God, we need some better
8 kind of, how do I say it, morals or something in
9 the R&D community, supply chain community.

10 And the question that I have, is there
11 some need for disclosure roles within the supply
12 chain community and the users, even if it is
13 directly between those to disclose any
14 vulnerabilities as they're discovered so that the
15 utility or the users can better assess their risk.
16 Because it's hard for a utility entity to assess a
17 risk if they're waiting for some third party R&D
18 organization or cyber organization to disclose it
19 on the internet, and then have to back it up into
20 their processes. So something to think about, I
21 wouldn't mind your thoughts on that. But
22 determine practices really come into play, there.

1 So I guess the last thing that is, I met with
2 several CEOs, with the Deputy Secretary, senior
3 leadership of DHS and DoE, and we've been talking
4 around this subject for a while on priority, and I
5 guess we put a little bit of a stake in the ground
6 saying, okay, out of all the domains of the
7 maturity models, what would be the three top
8 things that I would want the industry to focus on
9 in the near term. And the first one was
10 situational awareness and the development of
11 situational awareness tools. Because what we
12 don't know is hard enough as an industry, and so
13 we need to, there's publicly available,
14 commercially available tools out there that
15 provide great insight, so as a community, as an
16 industry, it's how do you want to have the tools
17 and who needs to have higher sophistication in
18 tools versus some of the basic tools that are out
19 there to gain more situational awareness.

20 So situational awareness, some people
21 call it continuous monitoring. I use those terms
22 interchangeably and I probably shouldn't, but so

1 that's priority one. Priority two goes back to
2 what Samara talked about Merwin's talked about it,
3 is information sharing, making sure that the
4 information is shared between like entities, so
5 IOU to IOU, and regionally sharing of information
6 because something may be seen in one utility in
7 the Washington, D.C. area may be seen by others.
8 So how do you create a forum where you can share
9 information. But also between the federal
10 government and industry, back to what Samara said,
11 and making sure it's actionable, and how do you do
12 care lines and the architecture to make sure that
13 it's actionable.

14 The third thing is actually running
15 through incident management, but really going
16 through and taking a look at the exercises that
17 are out there and making sure that we have some
18 procedures in place to manage incidents. The
19 thing that we're going to have to get sharp on
20 real quick is how much, how many resources do we
21 need in looking at forensics analysis or looking
22 at other support infrastructure to manage a cyber

1 incident. So that's another thing that I've asked
2 the community to take a hard look at, and relate
3 that to exercises. So I just wanted to put that
4 on the table of what some of what's being remarked
5 on. And I guess the last point is our high factor
6 R&D activities.

7 What should we be working on that, I'll
8 say disrupt them, but I don't think it's, for
9 cyber security, everything's armor plating it. If
10 it's anything, it's what type of approach should
11 we look at with how we're operating the system,
12 what insights can we gain from sensors and
13 separate data measurements, characteristics on the
14 system to have redundancy and have the ability to
15 represent the security of the industry.

16 So I'll leave it at that, but I just
17 wanted to add that to the conversation.

18 MR. PETERS: Thank you, Pat. Robert,
19 any thoughts on a couple of themes Pat touched on?

20 DR. COLES: Is that good, okay. Yes,
21 you mentioned processes of risk assessment, risk
22 management, I completely fully agree with that. I

1 find the current regulatory structures we have
2 around NERC CIP really pull directly against that.
3 It's, within National Grid historically, it's held
4 us back from looking at the risks, it's given us a
5 false sense of reliance that if it's mandated by
6 NERC, if it's within the set standards, then
7 that's both the minimum and the maximum that we
8 must do. And if that's mandated, then that must
9 be good for us, therefore, we'll not bother to do
10 anything else.

11 So you talked about minimum standards
12 and what everybody's doing, that's really on the
13 control space. What we kind is that you can't
14 benchmark risks because the risks are completely
15 unique to National Grid. The impacts to us if
16 National Grid goes down, the threats to us, there
17 may be some commonality in the threat, but
18 certainly, the impacts and the probability of
19 attack are completely unique to us, you can't
20 benchmark risk. And, therefore, I really quite
21 strongly agree, I strongly would like to suggest
22 that the role of the regulator should be around

1 assessing the proficiency of the organization
2 around understanding its risks, and then managing
3 those risks, and then challenging the controls
4 decisions. And then as they go around lots of
5 different organizations in the country,
6 normalizing and saying, well, if your peers are
7 doing that, why are you doing that.

8 And then you can have a grown up
9 discussion with the regulator and you can say
10 we're not doing that because we're managing our
11 risks, and that risk, we don't need to do that
12 because we're managing that risk in a different
13 way. And I think the current regulatory
14 structures that we have don't facilitate that
15 conversation. They're very black and white, and
16 it's very much down to if it's mandated in NERC
17 CIP, you must do it, and if it's not, then nobody
18 does it in the industry.

19 MR. PETERS: Thank you, Robert. Bob?

20 MR. CURRY: Who's running this meeting?

21 MR. POPOWSKY: Yeah, right. Chris, do

22 --

1 MR. CURRY: Robert --

2 MR. POPOWSKY: -- you want to take the
3 questions and --

4 MR. PETERS: Yeah, go ahead, Mr. Curry.

5 MR. CURRY: This is Bob Curry, former
6 regulator in New York and I'm quite familiar with
7 your activities both in that state as well as New
8 England. And I look at the New York staff, which
9 is good sized, 565 or 70 people, but the folks who
10 are assigned this task are nowhere near as, how
11 shall I put it, up the learning curve as you all
12 are. So when you're relating on the distribution
13 networks, you're dealing with the states as
14 opposed to the transmission that you deal with in
15 the U.K. and the transmission you deal with here.

16 Do you think there's adequate education
17 at the regulator level, is that something that the
18 DoE might be able to enhance and give you folks
19 that you can have the all the conversation you
20 alluded to with, because they have matured a great
21 deal in a short period of time thanks to
22 education?

1 DR. COLES: Yes, I do, and I'm doing the
2 best I can to educate, certainly, the state level,
3 I'm seeing Masti Eudora Friday, actually. And
4 your PSA do have got a good understanding at the
5 state level of cyber security, and they've
6 recently conducted an exercise to look at
7 strategy, cyber security strategy, which was a
8 very thorough review. So I think it's patchy.
9 Yes, absolutely, I think there's a need to
10 increase the level of skill within those
11 organizations.

12 The difficulty, I guess, would be how do
13 you recruit senior expensive experts into an
14 organization like that, how do you keep them busy,
15 how do you give them a career path, how do you
16 keep them. So I guess, realistically, they could
17 be brought in from consultancies and from external
18 organizations, I guess, is the issue with that.

19 MR. CURRY: Or, maybe in New England, we
20 could get Gordon to socialize the cost. He's not
21 paying attention, but -- (laughter)

22 MR. PETERS: Yeah. We've got a question

1 from Granger.

2 MR. MORGAN: Yeah, actually a comment
3 and then three points. I mean, my principle
4 concern in this space is the reliability of the
5 bulk power system. And the problem is, of course,
6 we have to take the problem, think things apart.
7 I mean, cyber security also applies to smart
8 meters. I don't much care, personally, although I
9 understand that, if you're trying to collect
10 bills, you do care about hacking smart meters,
11 their reliability of the financial and billing
12 systems.

13 And unless they're interconnected to the
14 SCADA in some way that they shouldn't be, that's
15 not likely to cause problems with the bulk power
16 system, that's going to be similar to the sorts of
17 problems that all major firms face. So let's stay
18 focused for a moment on the bulk power system.
19 And so my first comment is, we need to be really
20 careful not to get overly fixated on cyber attacks
21 on the bulk power system at the expense of
22 physical attacks. I mean, I don't know how to

1 bring the power system down for weeks and weeks or
2 months with a cyber attack, I know how to do it
3 easily with a physical attack, and so one does
4 need to keep some since of balance.

5 The second comment is that, I understand
6 all the reasons one needs to put more and more
7 intelligence into the bulk power system, that is
8 more control, more real time automation, more
9 autonomous agents, and so on. But every time I do
10 more of that, I presumably also introduce
11 additional vulnerability in terms of places where
12 a smart attacker can get access. And I have not
13 been able to figure out how to do a balancing
14 analysis. I mean, I've been trying to figure out
15 how to do this, because I train doctoral students
16 in this sort of space, and we just produced a
17 lovely PhD, for example, looking at the question
18 if I could cycle hundreds and hundreds of smart
19 meters that are frequency, that is critical as a
20 resident frequency of the bulk power system, could
21 I do any serious damage. You can't prove a
22 negative, but we don't think the answer is yes, we

1 think probably you can't.

2 But I don't know how to work that broad
3 of a problem, so if any of the four you have any
4 insight about that, I'd sure like to hear it. And
5 then the last thing I wanted to ask about is red
6 teaming. Who is actually trying to figure out how
7 to make attacks that will bring down the bulk
8 power system, get to the point of just not quite
9 pulling the trigger, and what empirical evidence
10 is there that a higher maturity score actually
11 provides greater protection against that?

12 I mean, I understand that maturity
13 scores are lovely, but can I have confidence that,
14 because I have a high maturity score, the effort
15 level for a red team attack on my bulk power
16 system will be much, much greater than if I have a
17 lower maturity score? It's not clear to me.

18 MS. SWANSON: I can talk a little bit
19 about maturity and then I'll definitely hand --
20 little bit about the maturity and then you can, by
21 all means, since that was a document that I wrote
22 many, many years ago under NIST, was a maturity

1 model using, actually, Carnegie Mellon's, the CMM
2 maturity model, so it's kind of interesting. I
3 think what it does show is a basic level of
4 improvement over time, so you shouldn't be taking
5 just one snapshot when you're looking at the
6 maturity level, you should be looking at it again
7 to see if you're improving.

8 MR. MORGAN: And we're talking just
9 about bulk power here?

10 MS. SWANSON: Well --

11 MR. MORGAN: I understand about billing
12 systems and all the other things, but we're
13 talking just about bulk power?

14 MS. SWANSON: Right. Well, I don't
15 think that's just about bulk power, I think it's
16 about your whole organization, because ultimately,
17 that does affect power, is your organization's
18 view on cyber security, as well. So there's a lot
19 of program management pieces to cyber security
20 that need to get deployed, and that starts with
21 work force and goes on from there. That,
22 ultimately, will affect bulk power, from a cyber

1 security perspective, so I think it's a lot of
2 things, it's not just the technical, and we get
3 it, ICS and SCADA is very not, in a lot of cases,
4 not IT. But there are a lot of pieces to it that
5 are not just technical, so you've got your
6 operational and you've got your program management
7 pieces. So I would say yes.

8 MR. CHRISTOPHER: So, as I said before,
9 it's not a silver bullet, I don't want somebody to
10 take the ES-C2-M2, or any maturity model, period,
11 and think that if they applied this, they're going
12 to have the answer. What it does do is it gives
13 you indicators. So, one example, I'll take the
14 risk of naming an example really quickly. Just
15 the risk domain, so -- is mine on? Hello? Am I
16 closer? There, we go, I'll just put it right
17 there.

18 So, the risk domain is an example. One
19 of the things it asks about is whether or not you
20 do risk assessments, whether or not you have risk
21 models. There are a lot of risk models out there,
22 you can find, you can just Google right now,

1 anybody that's got a computer, risk models, you're
2 going to find hundreds of them. There's no way in
3 the model, there's no, it's agnostic as to which
4 one you would pick. So I want to go on a
5 facilitation and attack what risk model you ended
6 up choosing and saying that, well, you shouldn't
7 be doing that, you should be looking at this other
8 one.

9 It's not about the adequacy as much as
10 it is are you having the conversations, are you
11 doing ad hoc risk management process or are you
12 actually having documented procedures in place, do
13 you have a policy, even, doing an annual review
14 of, do you have the resources kind of dedicated
15 towards that? It's the first step of the
16 conversation, so it's not the time end-all,
17 be-all, this will get you to security, it's the
18 evaluation of whether or not you're having those
19 types of conversations.

20 So, to -- and I've got the four other
21 things, here, I took notes during your questions,
22 so I can get to all --

1 MR. MORGAN: I was asking, are we
2 running closed loop? That is, are question doing
3 red team attacks on the bulk power system --

4 MS. MOORE: I can talk to that --

5 MR. MORGAN: -- confirming that higher,
6 you know, scores on maturity lead to a greater
7 effort at attack.

8 MS. MOORE: So, I can talk to that, as
9 well, as part of the team in the development. And
10 one of the key, a couple of the key inputs into
11 the development was leveraging some analysis and
12 work that had been done over the years, very
13 similar to what you were referring to. So there's
14 a program that does, I believe it would be
15 considered red teaming, for selected entities and
16 where very skilled professionals perform analysis
17 of an environment ahead of time, and then they go
18 in and try it again and see what they can do.

19 And that had been done over a period of
20 time, and we leveraged the recommendations that
21 came from those types of exercises and
22 incorporated that into the practices, as well as

1 some vulnerability testing and work that had been
2 done by the National Laboratories, and then the
3 common recommendations that had come from years of
4 doing vulnerability testing on industrial control
5 systems. So consideration for that was a
6 significant input, along with some analysis of
7 threats and vulnerabilities in that space. And
8 so, as Jason said, it gives you indicators, but
9 what we found from both the results of the red
10 teaming and some of the common vulnerability
11 analysis work were there were similar capabilities
12 that would address those cyber threats, and that's
13 what has been incorporated into the model.

14 MR. MORGAN: Okay. So I'll shut up, but
15 I think I've just heard the answer, we're running
16 open loop in this space.

17 MR. PETERS: Thank you. I think next
18 question, Phyllis, thank you, you had your hand
19 up.

20 MS. REHA: Yeah, thank you. I'm looking
21 at this from the state regulator's perspective,
22 and Dr. Coles mentioned as one of the needs is a

1 regulatory environment to allow investment in
2 security infrastructure to address changing risks,
3 and you have to be nimble and be able to do that
4 quickly, and that we don't need more standards or
5 compliance-based rules. So I'm thinking about
6 that from a regulator's perspective that has to
7 review those infrastructure costs, or cost
8 recovery, and we have to do an analysis of cost
9 effectiveness and cost benefit analysis for that
10 cost recovery, and if we don't have standards to
11 guide that analysis, how do we judge the cost
12 recovery?

13 So I was just wondering if you would
14 address this kind of broader policy kind of issue,
15 as opposed to some of the technology issues that
16 were raised.

17 DR. COLES: Yeah, sure. So, I think the
18 way you address it is by evaluating an
19 organization's processes for understanding its
20 risks and challenging its decision making
21 processes, and then doing exercises like the New
22 York PSC has done recently, which is to go and

1 review every single utility in the state to look
2 at all their practices, and then to normalize and
3 say, well, if all of your peers are doing this,
4 why aren't you doing it, and then you can have a
5 grown up asking with your regulator and you can
6 justify not doing that, because you're doing
7 something different that's better or because the
8 threat isn't the same.

9 And I think you do it through evaluating
10 those processes of risk assessment and risk
11 management, challenging those processes, and then
12 by doing that lots and lots of times across the
13 whole geographical area and getting an
14 understanding of what everyone else is doing, you
15 can act as a normalization agent.

16 MR. PETERS: I think Paul had the next
17 question.

18 MR. CENTOLELLA: I guess I want to, I'm
19 troubled by something that I've been troubled
20 about for a long time, and I'm troubled a little
21 bit by some of the comments in this discussion.
22 There were a couple of comments about, well, we

1 can't expect every organization (inaudible) to be
2 doing the same, have the same capabilities, be
3 making the same investments. But that strikes me
4 as something that is not a risk based criterion.
5 I could imagine a small utility that, if it was
6 vulnerable, could potentially do real damage to
7 the interconnected power system.

8 I'm interested in your PhD thesis,
9 Granger, about whether or not those sites can do
10 damage to the power system. I am concerned, when
11 I look at the NERC CIP standards that there are,
12 that even in CIP five that smaller generating
13 plants are at the lowest level of requirements.
14 I'm concerned that, you know, only aspects of the
15 distribution system are even included within the
16 bulk power system's definition, and therefore
17 covered.

18 And I'm wondering has anyone really done
19 an analysis to ensure that what we're looking at
20 in the area of cyber security, that what we're
21 evaluating governance on including all of the
22 right things that actually represent potential

1 vulnerability to the bulk power system.

2 MR. CHRISTOPHER: I guess I'll lead off
3 with, when -- and I made a similar comment
4 regarding the capability and maturity model, that
5 maybe not everyone would want to be at a certain
6 level. You're right with regards to the
7 vulnerabilities, but when you're talking about the
8 risk, you're talking about the vulnerabilities and
9 the impacts. So it's more than just the
10 vulnerabilities by themselves, the risk equation
11 itself is vulnerabilities, impact and threat.

12 So, depending on the utility's risk
13 profile, they'll have to internalize that
14 themselves, find out, okay, what are our
15 vulnerabilities. And some of them will be common,
16 you're actually right, their control systems have
17 commonalities and they have common
18 vulnerabilities, same thing with IT systems. But
19 they also may have a different threat profile and
20 they also may have different consequences.

21 To your point regarding the size thing
22 and whether or not you're looking at different

1 loads, again, with risk, what you would be looking
2 at is communications and how, in a cyber
3 environment, everything connects. So it wouldn't
4 necessarily be, well, I have this much load and
5 therefore, if I lose this, it will have this much
6 impact. It's more about, if I lose the system, if
7 I lose the communications between the systems,
8 what is that consequence. Because that's more of
9 what the cyber security attacker would be going
10 for, is to cripple those -- and I know that
11 systems, I'm not talking about distribution or
12 transmission, I'm talking about, for example, like
13 your e-mail system or your communication system
14 that you rely upon.

15 So when we talk about different risk
16 profiles, you're really looking at a broader
17 picture than maybe just your generation facilities
18 or your customer load or what type of fuel type.
19 It's not really based off of that for the cyber
20 security elements of the risk part. Does that
21 make sense?

22 MR. CENTOLELLA: I'm not --

1 MR. CHRISTOPHER: I see your face --

2 MR. CENTOLELLA: No, maybe I haven't
3 been clear about my point. So if I'm talking
4 about critical national infrastructure, here, I'm
5 not talking about the billing system. I could
6 imagine a small utility with a critical facility
7 in a critical location that, if it came down,
8 would not just affect that utility, but would
9 affect the interconnected grid, as a whole.

10 MR. CHRISTOPHER: Right.

11 MR. CENTOLELLA: And, so, I am wondering
12 whether or not we are setting up criteria in how
13 we think about this that does not reflect the risk
14 to the system as a whole, and how do we insure
15 that there's not a gap in our governance in an
16 organization that maybe is a small utility that
17 maybe doesn't have a lot of resources, but if we
18 looked at it from a national perspective, might be
19 critical to the maintenance of the power system.

20 MS. MOORE: Yeah, so I can talk to that
21 point. So one of the activities that we do have
22 underway, DHS is leading in partnership with the

1 sector-specific agencies is looking at each of the
2 sectors, so electricity is part of that, and
3 understanding what are the critical functions
4 within the sector, then understanding for each
5 critical function what's the value chain, and then
6 what are the systems that underpin that, so then
7 we can identify and understand what organizations
8 own and operate those assets so that they are
9 aware, or their impact nationally.

10 So, at the start, so that's what we're
11 calling it, it's a sector-level risk assessment
12 process that we're going through for all 16
13 sectors. So, at the start, we're focusing on
14 catastrophic impacts, catastrophic national
15 regional impact to public health, public safety,
16 national security and economic security. That
17 will be completed by July, that is a very high
18 threshold when you say catastrophic. From there,
19 we'll look for further analysis, but we started
20 with the highest threshold and we're continuing to
21 work through that.

22 So there's some sectors that are further

1 along than others, but we are at least doing that
2 initial catastrophic assessment, and then focusing
3 -- we're not limiting our efforts to only those,
4 but we want to have awareness and make sure that
5 they are aware, so that we can manage that risk.
6 It doesn't mean that they're not already managing
7 the risk, but just making sure that we understand
8 where that lies. So that is something that's
9 currently underway.

10 MS. SWANSON: I guess I'd like to add to
11 that. So, part of that piece that they're
12 talking, that she's just talking about is going to
13 be put into the framework, as well. So it will be
14 something we're calling a filter. So as we come
15 across and start to develop this framework
16 document on best practices and providing guidance
17 on how the sectors should be securing their IT and
18 their OT, we'll be using that as guidance as to
19 how we put that together. So that's a piece of
20 it, as well.

21 MR. PETERS: Thank you. Let's go to
22 Commissioner La Fleur.

1 MS. LA FLEUR: Thank you. I have two
2 questions, if you will indulge me. My first is
3 for Robert and your comments on regulatory
4 standards. I do understand your point about the
5 compliance overhang and the concern about
6 compliance-based standards and the need to have a
7 risk-based process. But I'm interested in your
8 explaining the point that any standard that sets a
9 minimum will automatically become the maximum.
10 Because, under the scheme in the Federal Power Act
11 that we're required to implement with these
12 consensus-based standards that are drawn from
13 registered entities, large and small, across
14 multiple sectors and regions, you're necessarily
15 going to get a consensus-based standard.

16 And it's certainly not the intent, for
17 example, in a tree trimming standard that whatever
18 the envelope defined in the standard is the
19 maximum, and you could never trim your trees more,
20 and will go on and say no, you must trim to only
21 that. And I'm interested in why the minimum
22 becomes the maximum.

1 MR. COLES: It becomes the maximum
2 because, if you don't have an educated set of
3 management that really understand the risks, then
4 they don't engage in that deep thinking about what
5 they're protecting themselves against, and
6 therefore, they assume that if this is the
7 consensus of the industry, well, that must be good
8 enough for us. And, therefore, the actual
9 tendency for uneducated management is to say that
10 is the maximum that we will do because that's what
11 the industry has opined on.

12 Now, it works really well for tree
13 cutting, because the risk, the threat for tree
14 cutting, the threat for overhanging branches on
15 the power lines hasn't changed in the last hundred
16 years, we've got some really good statistics on
17 it, we know really finely what the threat is, we
18 know clearly how, if you cut back to a certain
19 degree, then the probability that some damage will
20 be caused to a line is reduced by a very precise
21 amount. In this area where the threats changed
22 since I've been in the industry, three years,

1 significantly, you can't afford to wait three to
2 five years to gain industry consensus because the
3 threat you're addressing is three to five years
4 old.

5 And, therefore, the money that you're
6 spending on that three to five year old threat
7 isn't the current threat, and it's diverting
8 resources away from what is the current threat and
9 defending yourselves against the state of the
10 nation today.

11 MS. LA FLEUR: Well, that's, obviously,
12 really an argument against using the whole
13 NERC-based consensus standards for cyber security,
14 which this is probably a segue to my next
15 question, but some of the Congressional things
16 we've seen would have a whole different way of
17 determining cyber security standards and so forth,
18 but if, in fact, as -- I know you're right, that
19 the risks change quickly, that makes it even more
20 unfortunate if a standard that might be a couple
21 years old becomes the maximum. I would that
22 management would think, well, there might be

1 places we need to go beyond because the risks have
2 changed.

3 My second question is for Samara, and I
4 completely understand if you can't answer it,
5 because I say that all the time when people ask me
6 questions. But I share your hope for legislation
7 that helps address the information sharing even
8 more than the Executive Order already did, because
9 we need to get the information in the hands of
10 people who can act on it. And I'm curious
11 whether, as you look at, we've seen so many pieces
12 of legislation kind of bubble up by committee, get
13 passed by one branch and not the other; is it
14 your, do you only accept multi sector legislation
15 that takes a comprehensive look at this, or is
16 there any openness to energy-focused cyber
17 security legislation?

18 Assuming that all the other privacy and
19 civil liberties -- and I realize I'm not asking
20 you to endorse any specific bill, I'm just
21 curious, because we've seen a lot of
22 energy-specific pieces of legislation sort of seem

1 to start to move, and I don't know if that's a
2 nonstarter, if you can say.

3 MS. MOORE: So, it's not something that
4 I can really speak to. I do know that we're open
5 to discussion on different areas, but it's not
6 something that I can speak specifically to.

7 MS. LA FLEUR: I understand. Then I'll
8 take that as a comment rather than a question,
9 thank you very much.

10 DR. COLES: Could I come back just on
11 the point I made earlier? Sorry, just one further
12 point. I think there probably is a medium ground,
13 here. If you look, if you compare other
14 regulatory regimes, if you look in the banking
15 sector, particularly at Basel II, for example,
16 there's a two-tier regulation. If you have a very
17 simplistic understanding of your risks, if you're
18 not sophisticated, if you're a small organization,
19 then it allows you to follow a standard, just
20 apply the rule, apply the standard and that's good
21 enough.

22 If you can demonstrate that you've met

1 them all, that you've had a challenge over your
2 thinking about how you understand risks, you've
3 got a sophisticated risk management process, and
4 you can prove that to your regulator, then you get
5 into a different sort of regulatory regime, you
6 get into a different conversation. So I think
7 there's probably a medium ground looking at a
8 different sector, which seems to be, seems to have
9 worked reasonably well. Certainly last to lead,
10 if not from three, four years ago.

11 MR. CURRY: Could I just jump in for a
12 second? Going back to Commissioner La Fleur's
13 comment, one of the concerns that I had is for
14 state regulatory agencies who are charged with
15 looking at the prudence of expenditures, often the
16 minimum can become the maximum if they are --
17 that's why I asked the educational question
18 earlier, if they're not far enough up the learning
19 curve, the accountants will come in and say, hey,
20 you exceeded the minimum, that's on your
21 shareholder's equity side, it's not on the rate
22 payer's side. Have you run into that at all?

1 DR. COLES: I have, and I've overcome
2 that through talking about the risks and through
3 educating management about the risks. And the
4 risk of not recovering that money that we're
5 spending is a risk that they're prepared to take,
6 because they think it's important enough to manage
7 the risks.

8 MR. PETERS: We'll go to Ralph.

9 MR. MASIELLO: A little discomfort, I'll
10 raise this question. Samir, you had supply chain,
11 I think, and I think you also did on the DoE
12 donuts. The dominant scape vendors are global
13 firms that develop software around the world.
14 Most of the other places that develop software are
15 in the European union, therefore, plausibly no
16 worse than domestic, but historically, they've had
17 software developed in places like Moscow and
18 Singapore.

19 So, and then, second, it's common
20 business practice in that industry to deliver the
21 source code with the system. It's usually a
22 contractual requirement. And even if the U.S.

1 Operation is not selling systems into Libya or
2 Jordan, European businesses are. So here we've
3 got critical infrastructure, and chances are good
4 the source code for a lot of it is sitting in
5 places that you wouldn't let a U.S. supplier sell
6 the stuff to. And this has been a rant of mine
7 for some time, that we focus on intrusion and
8 external threats, but the threat of something
9 buried in three or four million lines of source
10 code, sitting there for five years, is probably
11 the greatest threat, and certainly the place where
12 the damage potential is the highest.

13 So, and it's also the case, if I, as a
14 contractor, want to work for Gordon and get into
15 Gordon's facility outside visitor quarters, I'd
16 probably have to go through a background check,
17 but I can get a job writing software for a scape
18 vendor without that. So, to me, there's a supply
19 chain problem, here. Now, maybe this has been
20 addressed in the past couple of years, and I'm on
21 a rant, but I don't think so, I think the risks in
22 the supply chain are much greater in many ways

1 than we realize.

2 MS. SWANSON: I guess I'll attempt.
3 Yes, it's scary, there's a lot of potential places
4 where bad things can happen to your products. It
5 can happen from the software, it can happen from
6 being sitting in a warehouse after the product has
7 been put together and something getting put in
8 there, there are a lot of places where the
9 integrity of your product is vulnerable. And
10 we're aware of that. So NIST has written a
11 special publication on supply chain that talks
12 about the kinds of things you, as a procurer of
13 products, should be thinking about and what you
14 can put into your procurement language.

15 And, yes, and I'll tell you, with the
16 vendors, we've had an uphill battle trying to get
17 this, the first draft even though because the
18 vendors are saying it's impossible for them to do
19 these things, that they have vendors themselves or
20 product suppliers and they could not do these
21 things, and request this. And I think we have to
22 change that mentality, we have to start to demand

1 that we want good source, we want good, secure
2 code.

3 We have ways to write it, we know this,
4 there's a whole software assurance group in DHS
5 that is part of this, there's another group out
6 there that does this for Microsoft, so there are
7 places where we're starting to do this, but it's
8 not an easy one, I'll guarantee it.

9 MR. MASIELLO: I think I have to join
10 Granger's company, then, in assessment. A second
11 question that's related to it, and I'm not going
12 to describe the way I would modify a scapetive
13 system because irreparable physical damage, but
14 we're not, to my knowledge, doing anything on
15 resiliency where another piece of the
16 interconnected IT systems can detect that
17 something that shouldn't ever happen is happening,
18 and stop the process.

19 We're worried about the security and the
20 intrusion and validate the data exchange from a
21 protocol standpoint, but not from a realized that
22 you're being told to do something you shouldn't.

1 I mean --

2 MR. PETERS: Okay. Samara, I'm going to
3 have to keep this on track, so this will be the
4 last response.

5 MS. MOORE: Okay. I'll keep it brief.
6 So, there definitely has been some discussion
7 specific to that, both considering cyber physical
8 and not looking at each in a vacuum, but
9 considering cyber physical as well as what you
10 just discussed. So one of the approaches that
11 both the Executive Order and the Presidential
12 policy directive that was issued at the same time
13 does, is we transition to take looking at things
14 from a cyber physical perspective, as well as not
15 focusing on critical infrastructure protection.
16 But now you hear us saying critical infrastructure
17 security and resilience.

18 And so one of my key partners in crime
19 at the White House is my peer on the resilience
20 side, and so now we're working rather closely
21 together to look both at security and resilience,
22 and really trying to have the appropriate balance

1 of protective measures, detective measures so that
2 we can identify when things go wrong, and it may
3 be identifying something on the physical side that
4 doesn't quite look right that might be an
5 indicator of a cyber or vice versa, and also
6 response and recovery capabilities.

7 So we're starting to approach this
8 challenge from a different perspective to take
9 into account what you've addressed, which has come
10 up a lot in our discussions.

11 MR. PETERS: Okay. Again, a round for
12 the panelists, thank you. (Applause)

13 MR. POPOWSKY: Thanks, Chris, and thanks
14 for the excellent panel, we really appreciate your
15 time and thoughtfulness. Why don't we move right
16 into the last subset of our agenda today. Gordon
17 van Welie is going to pinch hit for Mike Heyeck,
18 who was unable to be here today on behalf of the
19 Transmission Subcommittee, and they have a couple
20 orders of business to take care of before we
21 finish today.

22 MR. VAN WELIE: Thanks. Yeah, I was

1 kind of hoping to run on another 15 minutes. And
2 let me say up front that if there's any glory to
3 be had today, I'll take it, and if there are any
4 complaints, we'll send them to Mike, how about
5 that? So I'm hoping this will be reasonably
6 brief, there are two decisional items and two
7 updates for the committee. The two decisional
8 items, the first is a paper with a recommendation
9 on the future of interconnection wide planning.

10 And I think the best way of teeing this
11 up is to quickly read to you two paragraphs that
12 are at the beginning of the document, which both
13 summarize -- well, it's a summary and a
14 recommendation. The EAC commends the
15 interconnection-wide planning efforts to date
16 funded by the DoE. This funding provided the
17 first of its kind interconnection-wide planning
18 efforts in the eastern interconnection, and both
19 of the existing interconnection-wide efforts in
20 the west and Texas. The process allows for
21 greater stakeholder input across governmental and
22 private sectors.

1 The EAC recommends that DoE work with
2 each group to facilitate their continued efforts
3 with clear objectives and governance and assist
4 the groups in arranging their own funding
5 mechanisms either through established mechanisms,
6 by proposal to the DoE, or by other means. To the
7 extent that other funding is more forthcoming, we
8 encourage DoE to protect the rates of substantial
9 return on its initial investment by responding
10 positively to well grounded proposals from the
11 interconnection-wide planning groups.

12 So I'm not going to go through the rest
13 of it, I'm hoping everybody's had a chance to read
14 through this, but it's a fairly simple
15 recommendation and I invite discussion. And,
16 Sonny, when you're ready, to take control of it.

17 MR. BALL: I'm actually fine with what
18 the paper says, participated in that group. I
19 guess my only additional comment, Pat's here, and
20 other folks, I think one of the key items here is,
21 as we move forward, all of these processes and
22 groups, we need to, our long term focus needs to

1 be moved into an area where these good efforts are
2 sustainable on their own.

3 And I do fully agree with the
4 recommendation of the paper, but I would just
5 encourage DoE, if you do continue to fund certain
6 aspects, always ask the question, do you have a
7 plan -- you know, this doesn't go on forever, the
8 authorities asking do you have a plan to where you
9 can get yourself to where your efforts, your
10 involvement are self-sustainable in some way.
11 Because I believe they can be, and I believe in
12 these efforts.

13 MS. HOFFMAN: Billy, I would agree with
14 that. I also recognize that we tried models that
15 had success, and, you know, there's areas of
16 improvement. And one of those things is, you look
17 at sustainability as we continue to find ways that
18 really makes it effective in how these sort of
19 interactions occur. So, from that perspective, I
20 agree wholeheartedly.

21 MR. POPOWSKY: Any other comments?
22 We've got a motion to support the recommendation

1 from the Transmission subcommittee. Wanda moves,
2 is there a second? Becca? Great. All in favor,
3 say aye.

4 MULTIPLE SPEAKERS: Aye.

5 MR. POPOWSKY: Any opposed? Great.
6 That wasn't so hard, Gordon. (Laughter).

7 MR. VAN WELIE: Great.

8 SPEAKER: Excellent, Gordon.

9 MR. VAN WELIE: Okay. I'll take the
10 glory on this one, thank you. So, the next one, I
11 might be deferring to Mike, we'll see how this one
12 goes. (Laughter) So this is a recommendation on
13 the CSG interstate transmission signing compact,
14 and I've had occasion at the break to have some
15 offline conversation with Dian and Tom, and so
16 I've got some words missing that I would like to
17 propose to the Committee. Let me just explain the
18 context before I jump into some of the details,
19 here.

20 It seems like there are some concerns
21 about the details of the interstate electric
22 transmission line signing compact, and there was

1 also references in the paper that NARUC had
2 considered this, and apparently, they have not
3 yet. So we need to correct that. Clearly,
4 Congress contemplated their states could enter
5 into interstate signing compacts in order to deal
6 with transmission. So the thing I've attempted to
7 do in my wordsmithing is separate that source, the
8 fact that Congress encourages states to consider
9 interstate signing compacts, and still retain what
10 Tom would like to see the committee do, which is
11 to provide some level of support to the specific
12 interstate signing compacts that's attached as an
13 example to this particular proposal.

14 And, so, really, the recommendation is
15 then framed as asking the Department to engage in
16 supportive efforts as are reasonable, including
17 but not limited to communicating to state
18 governors and legislatures the DoE's support for
19 the state's adoption of interstate compacts in
20 general, sort of interstate, small I, small C, but
21 including as appropriate the specific interstate
22 compact that is referenced in this document. And

1 then, furthermore, to advocate for the adoption of
2 compacts, and that would be compacts in general in
3 regularly scheduled DoE NARUC's discussion and
4 DoE's technical conferences.

5 So, really, just to repeat sort of two
6 thoughts, separate answers thought that we'd like
7 the DoE to be supportive of compacts in general,
8 and that, where appropriate, in other words, in
9 the right forums or the right space discussing
10 this specific proposal, be supportive of this
11 proposal, as well. And so, if you accept those
12 two basic thoughts, there are probably a couple of
13 dozen edits that have to be made to this document
14 in order to conform the document with those two
15 thoughts.

16 I can walk you through them in detail,
17 or you can just leave it up to me to do it, and
18 I'll take some direction from you on that.

19 MR. POPOWSKY: Tom, you want to --

20 MR. SLOAN: While I obviously would like
21 a strong a statement as possible, because I do
22 think that it does help the Department and the

1 FERC meet some of the objections raised to what's
2 in EPAC 05 in terms of backstop, signing authority
3 and transmission quarter designations, and all. I
4 also recognize that there are concerns from the
5 regulatory perspective, even though this is
6 voluntary, states don't have to participate and
7 utilities don't have to participate, but Gordon
8 showed me the conceptual language and would be
9 caveat that I would like to see the final version
10 from Samir, I can support the proposed changes.

11 MR. POPOWSKY: Okay. And I know, Dian,
12 you had some questions about this.

13 MS. GRUENEICH: Yes. I want to thank
14 Gordon and Tom working with me on it. I'm
15 comfortable with the changes. I mean, my
16 particular concerns are having been involved in
17 the area of both state regulation and transmission
18 for 20 years, now, very detailed. When I think
19 about the role of DoE -- first of all, the role of
20 this advisory committee to DoE, and then the role
21 of DoE going forward, I become very worried that
22 it backfires for DoE to be going to states saying,

1 okay, this is how to solve your transmission
2 problem, here's the compact that has been
3 developed, and now go ahead and use it.

4 So this approach, I think, is a little
5 more nuanced, more falls in line directly from
6 Congress saying we endorse the use of the concept
7 of the compacts, so I think it's appropriate,
8 then, for DoE, in the various forums, to say, we
9 agree with that, as well. But, again, it's a
10 little more nuanced by saying in a particular
11 situation, it may be where the states themselves
12 sort out the specific compact approach, which this
13 one could well work, but maybe there's some
14 different approaches. So that's sort of what I
15 think would overall be a better role for DoE to be
16 taking with regard to the states and why. I think
17 it's been for us giving advice to DoE what I tried
18 to add to the discussion.

19 MR. POPOWSKY: Rebecca?

20 MS. WAGNER: Thank you. First I wanted
21 to -- I've been back and forth on this issue, and
22 before the language change, I wouldn't have been

1 able to support it, not because I don't support
2 the concept of it, and this is why I wanted to,
3 why I'm making a comment now. I like the idea of
4 state compacts, California and Nevada have a state
5 compact on Lake Tahoe, it's survived over many
6 years, so I like the idea of it. What I've been
7 concerned about with this compact is, one, I'm not
8 sure I agree with the interpretation with respect
9 to EPAC 2005, to me, that went more to the
10 national interest court orders designated by DoE
11 as congested areas, and would only those states be
12 part of a compact. So that was unclear to me.

13 It also suggested, not that every state
14 is not doing enough for transmission, and I would
15 argue that states in the west have been. States
16 in the west probably wouldn't use it because they
17 probably wouldn't be able to figure out how to get
18 along with California (laughter). So I didn't
19 want a one-size-fits-all approach, but, to me,
20 it's a great tool for the tool chest. So, with
21 these language modifications, I can support it.

22 And I love the concept, I don't think it

1 can apply everywhere, but I think that certain
2 states, it could be very valuable.

3 MS. KELLY: I'm just raising a point of
4 procedure. You all are talking about language
5 changes, but we haven't seen them, so are you
6 going to give them to us before we vote on this?

7 MR. VAN WELIE: We keep this
8 deliberately away from you so that -- I'd be happy
9 to sort of just walk you through my proposed
10 changes. I wanted to first have some discussion
11 on the general concept, otherwise, the discussion
12 on those specifics is kind of pointless.

13 MS. KELLY: Okay. That makes sense to
14 me, I just thought I was going to hear all of a
15 sudden, and now let's vote, and I'm, you know -- I
16 wanted to make sure that I'd like to see some
17 words before we do that.

18 MR. VAN WELIE: Okay. Sue, you're
19 holding my feet to the fire. So --

20 MR. CURRY: Point of order, Mr.
21 Chairman. Would it be more propitious to try to
22 do a turnaround over night and take a look at the

1 exact language in the morning?

2 MR. POPOWSKY: Yeah --

3 MR. VAN WELIE: Because, Gordon, I've
4 seen him type with two fingers, I know he can do
5 it.

6 MR. POPOWSKY: Yeah, and hopefully, our
7 -- Samir and the --

8 MR. VAN WELIE: Yes, that's exactly what
9 I was thinking.

10 MR. POPOWSKY: But I think you gave us
11 -- hopefully, I haven't seen them either, I think
12 we've all got the concept, and then when we turn
13 it around, we can, we have a lighter agenda
14 tomorrow, so I think we should be okay tomorrow to
15 do that, as well as the Race to the Top changes,
16 which we made a lot of progress on today, as well.
17 But we can talk about that in a few minutes. But
18 is that okay, Gordon, can you work with Samir and
19 get that --

20 MR. VAN WELIE: Yeah, because I think it
21 would be good to, if we can, distribute it
22 electronically so everybody can get to see it

1 before we, rather than listening to me read it
2 out.

3 MR. POPOWSKY: Right. Do you want to --
4 so we'll hold off on any vote until tomorrow.
5 Gordon, you had a couple of other transmission
6 subcommittee things you want to report on.

7 MR. VAN WELIE: Yes. There were two on
8 pace, one's really brief, it says here status in
9 the paper of the transmission technologies. My
10 understanding there is that that's on hold until
11 we hear back from the DoE grid tech team, so we'll
12 come back to that during the course of the year.
13 And then I was going to ask David Till to give us
14 an update on the status of work on grid resiliency
15 and ageing transmission assets. So, over to you,
16 David.

17 MR. MARCHESE: We have two major
18 sections that have been drafted, one on the ageing
19 assets of the grid, Clark Gellings, and the other
20 reasonable solutions by me. We'll be combining
21 those, making sure that we're consistent, and then
22 the rest of the paper, we'll build from there.

1 And we're planning on coming back, I believe, at
2 the next -- I may be mistaken, but I think it's
3 the next EAC meeting that we'll be presenting
4 that.

5 MR. POPOWSKY: And at that next EAC
6 meeting, I believe is when Mike has planned, Mike
7 Heyeck has planned to put on that panel and some
8 of the post-Sandy related issues.

9 MR. MARCHESE: Yes, that's correct.

10 MR. POPOWSKY: Are there any questions
11 or comments for Gordon and David or Clark for the
12 transmission subcommittee issues? Okay, good.
13 Thanks Gordon. So tomorrow, then, we will have a
14 revised draft of the transmission compact letter.
15 We've taken care of, now, the interconnection-wide
16 planning, and hopefully, by tomorrow, we will also
17 have a revised draft of the Race to the Top
18 letter. We made some progress on our short
19 meeting this afternoon at the break, I think we
20 just have a couple more issues to iron down. If I
21 could just get those little subcommittee members
22 together at the end.

1 Not the little members, but the little
2 subcommittee (laughter). And, otherwise, thank
3 you very much, and I think Samir will now tell us
4 when and where we're having the members -- I'm
5 sorry, one other point. And for those of you who
6 are still in the audience, if you, the comments
7 from the public are to be made at the end of the
8 day tomorrow. And if you do have any comments,
9 any issues you want to raise with the committee,
10 please register them with Sherry or Samir so we
11 know that you want to speak tomorrow, and I'll ask
12 again tomorrow to see if there are any public
13 comments at the end of the session.

14 So, Samir?

15 MR. SUCCAR: Okay, great. So, on
16 dinner, for those that are registered for dinner,
17 the restaurant is call ed Tutto Bene, it's at 501
18 N. Randolph, and if you have any further questions
19 about dinner or the location, you can ask Sherry
20 -- Sherry, raise your hand -- and she can help.
21 We're going to walk over with a group at 5:40, the
22 dinner is at 5:45, and starts with some

1 refreshments.

2 So, if you have any questions either on
3 what entree you ordered, walking directions, or
4 any other specifics, please see Sherry. Thanks a
5 lot.

6 MR. POPOWSKY: And where is the group
7 leaving from at 5:40?

8 MR. SUCCAR: Right here in the lobby,
9 right by the front doors.

10 MR. POPOWSKY: Okay. So if anyone wants
11 to join the group, that's fine, or you can head on
12 over there on your own. Does anybody have
13 anything else before we adjourn for today? Okay,
14 good. I hope many of you can join us for dinner.
15 Thank you very much.

16 * * * * *

17

18

19

20

21

22

1 CERTIFICATE OF NOTARY PUBLIC

2 COMMONWEALTH OF VIRGINIA

3 I, Carleton J. Anderson, III, notary
4 public in and for the Commonwealth of Virginia, do
5 hereby certify that the forgoing PROCEEDING was
6 duly recorded and thereafter reduced to print under
7 my direction; that the witnesses were sworn to tell
8 the truth under penalty of perjury; that said
9 transcript is a true record of the testimony given
10 by witnesses; that I am neither counsel for,
11 related to, nor employed by any of the parties to
12 the action in which this proceeding was called;
13 and, furthermore, that I am not a relative or
14 employee of any attorney or counsel employed by the
15 parties hereto, nor financially or otherwise
16 interested in the outcome of this action.

17

18 (Signature and Seal on File)

19 Notary Public, in and for the Commonwealth of
20 Virginia

21 My Commission Expires: November 30, 2016

22 Notary Public Number 351998

Respectfully Submitted and Certified as Accurate,



Richard Cowart
Regulatory Assistance Project
Chair
DOE Electricity Advisory Committee

9/10/13


Date



Irwin "Sonny" Popowsky
Pennsylvania Consumer Advocate
Vice-Chair
DOE Electricity Advisory Committee

9/10/13

Date



David Meyer
Office of Electricity
Designated Federal Official
DOE Electricity Advisory Committee

9/10/13

Date



Matthew Rosenbaum
Office of Electricity
Designated Federal Official
DOE Electricity Advisory Committee

9/10/13

Date