

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MEDICINE BOW FUEL and POWER
COAL-TO-LIQUIDS PROJECT

PUBLIC HEARING

December 16, 2009

MEDICINE BOW COMMUNITY HALL
319 Pine Street
MEDICINE BOW, WYOMING 82329

Commencing at 7:01 p.m.

ATKINSON-BAKER, INC.
COURT REPORTERS
500 North Brand Boulevard, Third Floor
Glendale, California 91203
(818) 551-7300

Reported by: Carla D. Capritta, RPR

Job No.: A30AF21

1 P R O C E E D I N G S

2 MS. ALEXANDER: Hello, everyone. Thank you
3 all for coming tonight. We're going to get started.
4 Can you hear okay? No. How's that? All right.

5 My name is Lynn Alexander. I'm with the U.S.
6 Department of Energy, and I am the NEPA document manager
7 for the Medicine Bow Fuel and Power Environmental Impact
8 Statement. And we're here tonight -- first off, I just
9 wanted to thank the Town of Medicine Bow for hosting us.
10 This is a beautiful hall that you've got here, and we
11 really appreciate you making it available for us to use.

12 We're here tonight for the public scoping
13 meeting for the Environmental Imact Statement related to
14 this Medicine Bow Fuel and Power Project. And I'm going
15 to -- tonight I am going to talk about what the Loan
16 Guarantee Program is; what the NEPA process is, what
17 NEPA is, what the NEPA process is. And then I will turn
18 it over to the Applicant to discuss the technical
19 details of the project, so that you all will know what's
20 going on with this Medicine Bow Fuel and Power Project.
21 okay?

22 One thing to note is that our comment period
23 tonight, later on, is for us, at Department of Energy,
24 to receive your comments and hear your thoughts on this
25 project and on the scope of the Environmental Imact

1 Statement specifically. And we've already had our
2 question-and-answer period, so if we could try and keep
3 it to just comments towards the Environmental Impact
4 Statement, and it's not going to be a discussion session
5 at this point.

6 But we will be around after the comment
7 session is over, if you have any further questions. Or
8 you can contact me with the information that's on the
9 handout around the -- around the room. Okay?

10 MR. PEGUES: That's not one you want?

11 MS. ALEXANDER: Sorry, the next.

12 MR. PEGUES: Okay.

13 MS. ALEXANDER: All right. First off, what is
14 the Loan Guarantee Program? The Loan Guarantee Program
15 was established in the Energy Policy Act of 2005 by the
16 U.S. Congress, and its principal purpose is to encourage
17 the early commercial use of new and innovative
18 technologies in energy projects.

19 In order to receive a loan guarantee from the
20 Department of Energy, applicants and projects must meet
21 certain financial and technical criteria. The financial
22 criteria help us to meet our statutory requirement that
23 we have a reasonable chance of being repaid. And
24 there's other criteria: That the -- that the technology
25 has to be viable, that it has to be ready for commercial

1 implementation, and that it meet certain other criteria
2 such as emissions limits and carbon dioxide emissions
3 limits for air pollutants.

4 There are also some other authorities within
5 the Energy Policy Act, that have to do with renewables.
6 but for this specific project, we're looking at
7 Section 1703 of the Energy Policy Act of '05, and that
8 was written to provide technologies that use
9 innovative -- or projects that use innovative
10 technologies, including nuclear and advanced fossil
11 fuels.

12 Some key dates in the Loan Guarantee Program
13 history: First, the Act was finalized by Congress in
14 August of 2005. In summer of 2008, Congress provided
15 \$8 billion in Loan Guarantee Authority for coal-based
16 power generation, gasification, and carbon
17 sequestration. The Medicine Bow Fuel and Power Project
18 falls under this \$8 billion Loan Guarantee Authority.

19 In October 2008, DOE issued a solicitation,
20 inviting applicants who met the criteria listed in the
21 solicitation, and specifically in the law, to apply to
22 the Department of Energy for a loan guarantee. The
23 October 2008 solicitation was for fossil-based
24 innovative technology facilities such as Medicine Bow
25 Fuel and Power Project. Medicine Bow filed under that

1 solicitation. It was a two-part application process, so
2 the final application was received in March of 2009.

3 So what is NEPA, a lot of you might be
4 wondering. NEPA's the National Environmental Policy
5 Act. It was enacted in 1969 and signed by President
6 Nixon in 1970. It's -- the main purposes of NEPA are to
7 help the government make better decisions and to involve
8 the public in those decision-making processes. So NEPA
9 requires the federal government to analyze potential
10 environmental impacts of all of their major proposed
11 actions.

12 The Medicine Bow Fuel and Power Project is
13 considered a major federal action, and therefore it
14 is -- us issuing a loan guarantee to Medicine Bow Fuel
15 and Power is considered a major federal action, and
16 therefore we're doing the NEPA process on this project.
17 DOE determines what level of NEPA review, based on
18 whether the project has a possibility of having
19 significant environmental impacts.

20 The Medicine Bow Fuel and Power Project
21 consists of a coal-to-liquids plant, the surface-based
22 coal facilities, and several corridors that are
23 connected actions for the pipelines that will carry
24 product and other materials to and from the plant.
25 Therefore, DOE determined that these actions, this

1 project, could -- has the potential to cause significant
2 impact to the environment, the human environment, and
3 therefore will do an environmental impact statement.

4 There are three levels of review, under NEPA.
5 The environmental impact statement is the most
6 important -- or is the largest and takes the longest.
7 It involves a full review of any potential impacts. It
8 involves consultation with other agencies of the federal
9 government, state and local agencies, and the community.
10 It also involves formal public involvement steps, and
11 we'll go over what those are in just a moment, and
12 tonight is an example of those formal public comment
13 steps.

14 The second level of NEPA review is an
15 environmental assessment. That's a slightly smaller
16 version. If the federal government isn't sure if a
17 project will have significant environmental impact, then
18 they will do an environmental assessment to determine if
19 they -- if the project will be significant.

20 If it's not significant, they -- after
21 completing the environmental assessment, if they find
22 it's not significant, they issue a finding of no
23 significant impact. If they determine that it is, it
24 would cause significant impact, then they issue a --
25 then they have to go ahead and do a full environmental

1 impact statement. Therefore, if the government knows
2 this is something that could cause significance, they
3 start with the environmental impact statement, in order
4 to just shorten the process.

5 The third level of NEPA review is a
6 categorical exclusion. There is some categories of
7 projects and actions that the government has determined,
8 based on prior analysis, that they will not have a
9 significant impact. Every single time they do it, it
10 results in a finding of no significant impact. And
11 through rule making, through issuing a rule in the
12 Federal Register and becoming part of the Code of
13 Federal Regulations, these categorical exclusions are
14 used then for future projects that meet the definition
15 of that categorical exclusion.

16 So if a project meets the definition of a
17 categorical exclusion, and there's no extraordinary
18 circumstances such as extreme public controversy, then
19 they will issue a categorical exclusion and do not have
20 to do any further review.

21 Medicine Bow did not meet any categorical
22 exclusions, could cause environmental impact; therefore,
23 we're doing the EIS.

24 If anyone's interested in the specifics of the
25 regulatory citations and the statutory citations, the

1 National Environmental Policy Act of 1969 is the Act.
2 The 40 CFR Regulations there are the governmentwide
3 regulations that everyone has to follow when it comes to
4 NEPA. And 10 CFR Part 21 are the Department of Energy
5 specific NEPA regulations. 1021 also includes the
6 categorical exclusions that DOE has set for other
7 categories of projects. And then DOE's Order 451.1B
8 lists responsibilities for completing NEPA within the
9 Department of Energy specifically.

10 Okay. So the NEPA process can be long and
11 involved. Environmental impact statements, the average,
12 I believe, right now, is about two years for them to be
13 completed. They can go as long as 3, 5, some -- such as
14 the one that was done for the Yucca Mountain Project in
15 Nevada -- can take 10 or 20 years.

16 We, however, have committed to working with
17 Medicine Bow Fuel and Power Project and other agencies
18 to complete this project as expeditiously as possible,
19 and we are hoping that we can get this done in 12 to
20 15 months from the publication of the Notice of Intent.

21 Listed on the slide behind me is the EIS --
22 the EIS process. It starts with the publication of the
23 Notice of Intent. That's published in the Federal
24 Register and was published for Medicine Bow Fuel and
25 Power on November 27th of this year. The Notice of

1 Intent says that we are planning on doing an EIS, and
2 lists the initial scope, and invites public comment on
3 that scope. So right now we're in the public scoping
4 comment -- public comment period, the public scoping
5 period, for this EIS.

6 The scoping period lasts 30 days.

7 The purpose of the scoping period is for DOE
8 to hear from you all; to hear from the public, to hear
9 from the communities, to hear from the states and other
10 federal agencies, and from the tribes; on issues that
11 they think that we should be analyzing in the
12 Environmental Impact Statement. So this is the chance
13 for everyone to tell us, "You know what? You need to
14 worry about this species over here. It's not listed
15 yet. It's not an endangered species. It's not a
16 threatened species. But it could be, and so we need you
17 to make sure that you analyze that fully in the
18 Environmental Impact Statement."

19 It's also your chance to tell us, "We know
20 about all these other projects that are going to happen
21 in the area, that will impact the same environmental
22 resources as the Medicine Bow Fuel and Power Project,"
23 because one of the things that we do is analyze
24 cumulative impacts: What would this project impact, the
25 environment, on top of any current or reasonably

1 foreseeable projects that would impact the same areas,
2 okay?

3 So we're in the 30-day public scoping period
4 right now. That ends on December 28th.

5 After we've received all comments and
6 incorporated them into our scope, we begin drafting the
7 Environmental Impact Statement. And that is what can
8 take the longest period of time. The Draft
9 Environmental Impact Statement will cover all of the
10 areas that we've discussed and heard from you in the
11 scoping comment period.

12 Once the impact -- the Draft Impact Statement
13 is complete, we will issue -- actually, EPA will issue a
14 Notice of Availability. Again, the Federal Register
15 will also announce it on our Loan Guarantee Program
16 website and in local newspapers, so that you all know
17 that it's there.

18 If you signed up, in the back, to receive a
19 copy of it or to be informed of it, we will let you know
20 by e-mail or mail and send you a copy of it, if you wish
21 to comment on it. So if you haven't done so, please let
22 us know if you would like a copy of that, so . . .

23 It'll be a large document, just to let you
24 know. We'll be posting the draft up on our website
25 also, so it will be available electronically.

1 Once the draft is announced, there's a 45-day
2 public comment period. And that comment period is for
3 comments on the contents of the Draft Environmental
4 Statement. So that's when folks such as EPA, state
5 agencies, local agencies, and the public can read
6 through the EIS. And if they don't believe that
7 something has been covered enough or something's been
8 left out, then you can comment on that to us again, let
9 us know, and we will consider those comments in our
10 Final Impact Statement.

11 The 45-day comment period on the draft also
12 includes another formal public hearing, just like this
13 one, a little bit more formal. And that'll be another
14 opportunity for you to provide oral comments. And, of
15 course, you can also provide written comments now and in
16 the future, when the draft comes out.

17 Again, I mentioned, we consider all of those
18 comments received on the draft, in the final. They will
19 be specifically addressed, so we will note exactly what
20 our response is to every comment. So if you have a
21 comment, we'll respond to it.

22 The Final EIS is written and published. Once
23 we publish the final, again -- upon publication of the
24 final, there will be another announcement and a Notice
25 of Availability in the Federal Register, again on our

1 website, again in the newspapers, and to anyone on the
2 mailing distribution list. And that final, once that is
3 out, there's a 30-day, mandatory 30-day, waiting period.

4 After the 30 days, Department of Energy will
5 issue a Record of Decision. And that Record of Decision
6 announces what DOE's decision is, whether we will be
7 granting a loan guarantee to Medicine Bow Fuel and
8 Power, or whether we will not be granting a guarantee, a
9 loan guarantee, to Medicine Bow Fuel and Power. And it
10 will also explain why we came to that decision.

11 And it will list any mitigation measures that
12 have been determined necessary. So if DOE determines
13 that they need to have a certain distance from any
14 creeks, you know, that will be listed in there. Other
15 things that have to do with protecting resources will be
16 listed in the Record of Decision, mitigation measures to
17 protect resources.

18 And that's the end of the NEPA process, the
19 Record of Decision.

20 This is just a visual representation of the
21 NEPA process. And it shows specifically where there
22 are opportunities for the public to provide comment on
23 this Environmental Impact Statement. We're in the public
24 scoping period, here at the beginning. And again, go to
25 the public hearings during the Draft EIS comment period

1 and then during the waiting period.

2 So how is the NEPA process going to impact the
3 Medicine Bow Fuel and Power Project? First off, the
4 proposed action, just to make sure that we all
5 understand, the proposed action is for Department of
6 Energy to issue a loan guarantee to the Medicine Bow
7 Fuel and Power Project. It's not to build the project.
8 It's to issue the loan guarantee.

9 We've started the EIS process. As I
10 mentioned, we're in the scoping period now. As soon as
11 the scoping period ends, on December 28th, we will start
12 working on the Draft EIS. Our plan right now is to have
13 that Draft EIS ready for -- ready for publication
14 sometime in early summer of 2010, and then with the
15 Final Environmental Impact Statement likely around
16 December or -- December of 2010 or January of 2011, and
17 a Record of Decision issued in early 2011.

18 One thing to note is, people often ask, what's
19 the best way that we can help this go faster? Because
20 it is a long process, and we recognize that. And the
21 best way to help us to make this whole NEPA process go
22 faster is to come up and give your oral comments tonight
23 or send in something in writing later. We have comment
24 cards on the side table over here, and I believe there's
25 some in the back table. If you don't feel comfortable

1 speaking in public, you can send us comments in writing
2 or by e-mail. I'll have my mailing and e-mail addresses
3 up there in just a moment.

4 And anything that you have on the Impact
5 Statement, on the scope of the Impact Statement; any
6 other projects that you know of in the area that might
7 be built, that would impact the same environmental
8 resources as the Medicine Bow Fuel and Power Project;
9 any other controversies that you know of in the area,
10 that you believe that we should be analyzing in the
11 Impact Statement; and any resource areas, other than the
12 general one's, that you think that we should be looking
13 at, that aren't currently listed.

14 And these are the resource areas that we're
15 looking at right now. We will definitely be covering
16 air emissions and greenhouse gases. That will be a
17 major portion of the impact statement. We'll be going
18 over water resources, wetlands, and flood plains
19 assessment.

20 The project's footprint is on approximately
21 845 acres, and we'll be looking at all of those,
22 including as well as the lands that the pipeline
23 corridors might cover; ecological resources such as
24 wildlife, threatened and endangered species, and
25 vegetation. Solid waste management, there will be some

1 glassy slag that will be a waste product of this -- of
2 the facility. And we'll be looking at how that will be
3 disposed of and what impacts it might have.

4 Cultural and socioeconomic resources, we look
5 at the impacts of the project on local economies, jobs,
6 schools, emergency services, all sorts of things in the
7 area, that this might impact. Traffic, we look at
8 traffic.

9 There's also historic structures and areas of
10 significance to tribes and to the area. We know already
11 that there's at least one structure in the project area
12 that could potentially be listed on the National List of
13 Historic Places. And, you know, that's something that
14 would have to be mitigated. And we will address that in
15 the Impact Statement. So if you know of any other
16 things that you think that we need to be looking at when
17 it comes to historic or archeological resources, that's
18 another thing that it would be great to hear from you
19 about.

20 Cumulative impacts, again, I mentioned that
21 before. Any other projects that you know might impact
22 the same resource areas as the Medicine Bow Fuel and
23 Power Project.

24 So how can you provide comments? As I
25 mentioned, there's the comment cards, for written

1 comments, on the side table and in the back. You can
2 come up and speak. If you haven't already signed up
3 with Emily in the back, you can come to her, and she'll
4 add your name to my list. Or you can just come up to
5 the phone at the -- the microphone, at the end of our
6 comment period.

7 You can mail written comments to the address
8 listed on the slide up above, behind me. You can e-mail
9 comments. I like e-mails.

10 And again, those comments are due by
11 December 28, 2009.

12 If you have any additional questions, our Loan
13 Guarantee Program website is listed at the top of the
14 slide. It has great information on the Loan Guarantee
15 Program, its purpose, background; and information on the
16 solicitations, the requirements that applicants have to
17 meet in order to meet the criteria of getting a loan
18 guarantee.

19 The Loan Guarantee website also has a link to
20 our NEPA documents, so if you go to that website, the
21 Loan Guarantee website on the left, there's a link for
22 NEPA. That has information on this public meeting here
23 and other public meetings we'll be holding, on other
24 projects, and documents as they're published.

25 The DOE NEPA page is listed there in the

1 middle. That has information on general DOE
2 regulations/requirements on other DOE environmental
3 documents, NEPA documents. It's also where you can find
4 10 CFR Part 1021, if you're interested in looking up
5 those categorical exclusions. And I believe there's
6 links to the governmentwide NEPA law and regulations.

7 And, finally, if you have questions, you can
8 give me a call or send me an e-mail at the address and
9 phone number listed behind me, okay?

10 Thank you all very much. Now we are going to
11 hear from our Applicant. I've asked them to spend about
12 10 minutes discussing the technical details of the
13 project, so that you can hear specifically what they're
14 planning, if they were to get this loan guarantee from
15 the Department of Energy.

16 And then we'll begin hearing oral comments
17 after that.

18 I'd like to introduce Bob Kelly from DKRW, who
19 will be speaking now.

20 MR. KELLY: Thank you, Lynn.

21 Bill, can you run the slides for me? Great
22 job there on that last set.

23 I'm Bob Kelly, chairman of DKRW Advanced
24 Fuels. We're the sponsor company for the Medicine Bow
25 Fuel and Power Project. In the audience today, I have

1 my colleagues: Jon Doyle, chief executive officer; Jude
2 Rolfes is our vice president for engineering; and Bob
3 Moss is our vice president for environmental services.

4 What I want to do today is talk to you about
5 what Lynn has been calling "the project," what we're
6 putting up in Medicine Bow. I'll talk about the project
7 itself. I'll describe the site. I'll talk about the
8 utility and pipeline corridors where we're running our
9 gasoline, CO2, and other our utility services. And I'll
10 talk about what we've already done, extensive amount of
11 work, on environmental permitting for this project.

12 Let me start with the project. Medicine Bow
13 project is a coal-to-liquids facility. We will acquire,
14 we have an option with Arch Coal to acquire, a
15 180-million-ton coal reserve, including all the permits
16 and approvals. And it'll involve the development and
17 construction by Arch of an underground long-wall mine in
18 the Medicine Bow area, and the construction of utility
19 and pipeline corridors.

20 We'll use about 8,000 tons per day of coal,
21 to produce about 18,500 barrels per day of regular
22 87 octane gasoline. The gasoline will be transported.
23 We've already sold the gasoline forward. It'll be
24 transported by products pipelines to the local markets
25 here, to Denver. And carbon dioxide, which is captured

1 from the process and pulled out of the gas stream, will
2 be compressed, which turns it into a liquid. And it'll
3 be shipped, through a pipeline, to enhanced oil recovery
4 projects in the Wyoming market here.

5 And DKRW Advanced -- or Medicine Bow is a
6 wholly owned subsidiary of DKRW Advanced Fuels.
7 That's -- that's our company.

8 Let me take a few minutes and walk you through
9 how the technology works. Let me start in the upper
10 left-hand corner up there. And basically, this involves
11 six key processes.

12 We start with coal coming out of the coal
13 mine. We're a mine mouth facility. We're located right
14 at the mine. And we'll mix the coal with water; put it
15 in what's called a slurry; crush it. And that'll go
16 into that gasifier component, which is the second major
17 process.

18 The gasifier component, currently our gasifier
19 technology is GE gasification technology. And what the
20 gasification does is turns the coal from a solid state
21 into a gas. And the gas has, really, four principal
22 components. It has hydrogen and carbon monoxide, which
23 are the fuel elements that allow you to make methanol
24 and gasoline. It has CO2. And it has some trace
25 contaminants, mainly sulfur.

1 What that next step, which is called Selexol,
2 does is cleans up the gas. It takes the CO2 out, with a
3 process called Selexol. It removes all the sulfur,
4 which would be contaminants in our process; puts it in
5 the form of a yellow cake that'll be sold into the
6 sulfur market, used for fertilizer and other industrial
7 chemicals. And the CO2 is captured and compressed and
8 put in a pipeline to go to the EOR market.

9 What's left is the pure syngas, called pure
10 syngas. That's a combination of hydrogen and carbon
11 monoxide, CO. And that is the fuel constituent that
12 goes into the third process up there. We make a
13 chemical called methanol. Methanol's a fuel. It'll be
14 put in a tank. It's used in a wide variety of chemical
15 and fuel operations. It'll be stored on the site and
16 then taken out, to go to that lower right-hand process,
17 which is a technology perfected by Exxon Mobile called
18 MTG, methanol to gasoline.

19 What we do there is we take the methanol, we
20 push it through a reactor that has what's called a
21 zeolite catalyst in it. Methanol's kind of like a
22 gasoline molecule and a couple of water molecules, and
23 that catalyst just strips the water. So we produce a
24 lot of water, that goes back into our process and leaves
25 a residual of basically 87 octane gasoline. That

1 gasoline goes into the pipeline and go into a -- it'll
2 go into a tank and then into a pipeline and get shipped
3 to Denver, into the gasoline market there.

4 We have two other related processes that form
5 part of the technology. One is we'll need power, mainly
6 for compression. We use compression in compressing the
7 CO2 to get it in a liquid state. And the other thing we
8 use compression for is in an oxygen plant. To gasify
9 the coal, you need to inject pure oxygen into the
10 process, into the GE gasifier. And the air separation
11 plant is the process that does that, and the way it does
12 it is by compressing and chilling air. And that
13 compression takes a lot of electricity.

14 So those are the main processes: Coal and
15 water in; gasoline, pure CO2, and some sulfur out. And
16 that's -- that's the -- that's the state of our project.
17 That's the technology.

18 The gasoline we'll produce is going to be very
19 clean. The gasoline we produce has characteristics on
20 the right-hand side: Sulfur, 1 part per million; very
21 low in benzine; and very, very low in terms of CO2. And
22 that's CO2 emissions compared to the fuel we'll be
23 displacing in the market. So it's got very good
24 environmental characteristics.

25 This is our schedule. We started this about

1 five years ago, in 2005. And big industrial projects
2 take a long time, and the reason they take a long time
3 is because of all the things that you can see that we
4 have to do up there:

5 Get the technology. All these technologies
6 that I've talked about are owned by major corporations.
7 You have to negotiate licenses and so on.

8 We've done the engineering and permitting
9 work, and I'll talk more about the permitting later.

10 You have to get customers to buy the products
11 that you've got. And we have a customer that's going to
12 buy all of our gasoline for a 25-year period. We have a
13 customer we're about ready to sign a contract with, who
14 will buy all the CO2 for the length of our project.

15 You have to do final engineering. You have to
16 raise the money, and this is part of that process, the
17 financing process; and close it, which is all the equity
18 and debt that you need to build this facility. Then you
19 need to build it, put the coal mine into operation and
20 start it up in a commercial mechanical operation and
21 into final startup. We estimate we'll be mechanically
22 complete in 2014, 2015, and that our first full year of
23 operation would be 2015.

24 We think this -- it's strongly in the national
25 interest to build this project. It has a lot of what we

1 think are beneficial socioeconomic considerations:
2 producing domestic gasoline from our coal resources; job
3 opportunities that will peak at about 2,400 construction
4 workers; in terms of full-time jobs, 450 good jobs, both
5 not only in the mine, but in the facility itself in
6 terms of technicians, scientists, and management. We'll
7 increase employment opportunities in Wyoming for
8 enhanced oil recovery by providing CO2, which is short
9 in supply here.

10 And, of course, local businesses, many of you
11 are involved, in the area, in terms of housing and other
12 things. We'll need to have those put up to house and to
13 service the -- the facility. And, of course, there's
14 going to be state and local tax revenue impacts, both
15 property taxes, severance taxes, and other taxes that
16 the state will collect once the project is put up.

17 Let me talk a little bit about the site.
18 We're pretty close. I think, 10 miles? 10 miles down
19 County Road 3. And this is a picture of the near-term
20 area. The yellow area is specifically where we'll do --
21 put the 845 acres that Lynn was talking about. That
22 will be where the site is. It'll be at the portal of
23 the coal mine.

24 The underground mine is in the blue area over
25 there, and there's associated -- a number of associated

1 pipeline corridors that run adjacent to the plant.
2 These are corridors where there are already existing
3 pipelines and where there have been a number of
4 environmental studies, including, I believe, some
5 environmental impact statements already done on those
6 lines. So it's a well-studied area.

7 Arch will be putting in the mine. Arch
8 operates a number of these mines in the West out here,
9 and is one of the best operators of this long-wall
10 technology.

11 Here's a more detailed picture of it, and a
12 closeup. And you can see, specifically there's three
13 areas that are indicated here. We'll have the plant
14 area, which is in red. There's a construction lay-down
15 area. There's going to be a lot of heavy equipment
16 that'll be coming in, and we have to lay it down outside
17 the plant area before we begin construction. That's
18 sort of the orange area there. Then there's the mine
19 surface facilities; these are the portals and some of
20 the coal lay-down areas that will be adjacent to the
21 plant.

22 Here's what the site looks like right now.
23 This is looking towards County Road 3, which you can see
24 in the upper right-hand corner there. And you can see,
25 there's not much there at the moment. But let me show

1 you what we think it'll look like in the future, which
2 is, this is the rendering. You can see, over on the --
3 on the left side of the screen, there's the portals for
4 the underground mine; two coal lay-down areas, those are
5 the black areas there.

6 There'll be some administrative buildings for
7 the coal operation, on the left side. And then the coal
8 moved into the CTL facility, through the gasification,
9 through the cleanup process, through the methanol and
10 gasoline production areas. You can see, there are some
11 storage tanks for both methanol and gasoline there.
12 And, of course, the exit of the product, products, will
13 be mainly done through two pipelines.

14 Let me talk, for a few minutes, about the
15 actual utility pipeline corridors. Again, the main coal
16 area is outlined in the black area. And there's a
17 corridor that heads towards Medicine Bow. It's called
18 the North Utility Corridor. That includes transmission
19 lines that'll go in for electric power, and also some
20 fiber optic cable lines that'll go towards Medicine Bow
21 for running our fiber optics operations.

22 The pipeline corridors, to get to the pipeline
23 routes, we've got two options here: The west corridor,
24 and those will be the pipelines, the gasoline pipeline
25 and the CO2 pipeline. And then we've got an east

1 corridor. That's another option of moving those
2 pipelines to that general pipeline corridor you see in
3 the dotted line down there.

4 This is a overview of those corridors, which
5 you can see in the upper left-hand corner, connecting
6 into the gasoline pipeline corridor. And we have two
7 options here. One, there is an existing pipeline that
8 goes from the Medicine Bow area to the Cheyenne area,
9 and we're looking at and evaluating our options on
10 whether we can patch our gasoline into that pipeline and
11 whether that's a feasible commercial operation for us.

12 If we build our own pipeline, it will go down
13 that corridor, and this is the general route we'd use,
14 which is the same route that many of the other pipelines
15 that are going in the area have used. And we'll also
16 have a Cheyenne corridor at the terminus of the gasoline
17 pipeline, to interconnect into an existing line called
18 the Rocky Mountain Express, that goes down into the
19 Denver gasoline terminal area.

20 This is -- this is the existing pipeline that
21 pretty much looks like the pipeline route I just showed.
22 I was showing both of those, those options. There is an
23 existing line. We may be able to patch in with them,
24 and we're in discussions with them at the moment.

25 We've done a lot of work on this already, as

1 you all know, because I've seen many of you, for many
2 years, in putting this together.

3 Previous environmental analysis of the site,
4 there was a Environmental Imact Statement done on this
5 site for the coal mine. It was completed by the
6 Department of the Interior, Bureau of Land Management
7 and Office of Surface Mining in 1999, and it analyzed
8 the impacts of the Elk Mountain surface mine and the
9 Saddleback Hills underground mine, which is the mine
10 we'll develop for the coal supply for our project. It
11 encompassed the 18,360 acres that we're looking at for
12 our mine.

13 Now, the value of this is many of the cultural
14 studies, many of the monitoring that are required under
15 that study, have been going on for 10 years. So there's
16 a lot of information that we may be able to incorporate,
17 by reference, into our Environmental Imact Statement.

18 But these are the other permits that we've
19 secured: Conditional Use Permit, which is the zoning
20 approval; the Wyoming Industrial Siting Council Permit,
21 which looks at all the local impacts, tries to address
22 different state issues and how you're going to be
23 impacted and how those are going to be financed; the
24 Federal Air Permit, we have our air permit, which looks
25 at air emissions. Spent an extensive amount of time and

1 effort to go through and review all those emissions.
2 That's been reviewed by the Department of Environmental
3 Quality in Wyoming and was approved in March of this
4 year.

5 We have the Water Supply Opinion from the
6 state waters engineer. We have a minimal impact, we
7 believe, on the water supply. We take it from a
8 nonpotable reservoir, on average of about 300 gallons
9 per minute, which is about what you authorize for a
10 70-acre ranch. It's very, very low water consumption.
11 And we have the Environmental Impact Statement I just
12 talked about and the Land Quality Division of the State
13 of Wyoming, Department of Environmental Quality Permit.

14 So we have a number of permits. This is an
15 additional action that we're going through because of
16 the involvement of the federal government and the loan
17 guarantee process, which is important to the financing
18 of the project.

19 And that concludes our -- our statement.
20 That's what we're here to do. And we'll be around,
21 after, to answer further questions.

22 MS. ALEXANDER: Thank you very much.

23 All right. Now we will begin the public
24 comment period. And what we'd like to ask is that --
25 we've got a list of folks who have already signed up to

1 speak. If you haven't signed up and still would like
2 to, you can speak with Emily in the back. She's wearing
3 the black sweater, with blue underneath. And she'll add
4 you to the list. If you forget to do that, we'll open
5 it up at the end, for any additional comments.

6 I'm going to be going through the list. We
7 did have one person who's under a time constraint, has
8 to pick up their son, so we're going to let him go
9 first. Other than that, you'll be going in the order
10 that you were signed in.

11 What I'm going to do is announce the person
12 whose turn it is, and also who's on deck. So I'll let
13 you know that your name is coming up next and you're
14 expected to come up to the mic next.

15 When I call your name, if you could come up to
16 the microphone here and tell us all what your comments
17 are. Again, the comments we're asking for are comments
18 on the scope of the Environmental Impact Statement that
19 we're planning on doing here. We're looking
20 specifically, again, for information you have on issues
21 in the area, on any additional projects that might
22 impact the same area, and any resource areas that you
23 would like us to analyze in the Environmental Impact
24 Statement.

25 I'd like to remind everyone -- oh, when you

1 come up and speak, please spell your first and last
2 names; and also, if you're associated with an
3 organization, let us know what organization you're
4 representing.

5 I'd like to remind everyone that this is not a
6 discussion period, so right now we're just asking to --
7 for you to enter your oral comments into the record, so
8 that we can consider them when we're doing our Draft
9 Environmental Impact Statement.

10 I'd also like to remind everyone that we are
11 here to listen to each other; not just for me to listen
12 to you, but for all of us to listen to each other; and
13 to ask you to please respect everyone and let them have
14 their say.

15 Because we have about 20 people signed up
16 right now, I'm going to ask you all to limit your
17 initial oral comments to 5 minutes, so if you could try
18 and keep it to 5 minutes. If we have time at the end,
19 we're not too tired and you have more to say, you're
20 welcome to come back up again, once everybody's had a
21 chance to give us their comments.

22 Okay. Thank you very much.

23 And our first person is going to be Mark
24 Northam. And on deck is Terry Weickum.

25 MARK NORTHAM: Thank you. I'm Mark Northam.

1 That's M-a-r-k, N-o-r-t-h-a-m. I'm the director of the
2 School of Energy Resources at the University of Wyoming.
3 I'm probably going to break the rules immediately, but I
4 won't go over my time constraint, because I'm not going
5 to address the Environmental Impact Statement directly.

6 What I'm here for today is to support this
7 project and to express the importance of the project.
8 The mission of the School of Energy Resources is to
9 ensure that Wyoming achieves its potential to be a
10 leader in global energy markets.

11 The importance of this project is that it is a
12 big step in the direction -- in two directions, really,
13 in the area of -- in the coal arena: The first is to
14 demonstrate a flexibility of the coal. We produce
15 450,000,000 tons of coal a year, on average. 96 percent
16 of that goes into the pulverized coal power plant
17 applications, which is one of the lowest value
18 applications of coal possible. And it is -- most of
19 that value is achieved by other people, other than
20 Wyoming coal producers. What this project will do is
21 demonstrate that we can add value to coal in the state
22 of Wyoming, in an economical and environmentally
23 responsible way.

24 The second thing is that this project
25 represents entree of Wyoming coal -- and, in fact, any

1 coal -- into the transportation fuels market, which is a
2 market which is largely dominated by imported energy
3 resources. So it's a huge step in the direction of
4 natural -- national energy security.

5 A third -- I'm not going to talk about jobs
6 and environmental contributions to this area, because
7 I'm sure there's plenty of people who will talk about
8 that. But a third, somewhat less tangible, benefit is,
9 having a -- a plant like this in close proximity to the
10 university provides opportunities for the students that
11 we are educating to see a true industrial process, in
12 fact a very cutting-edge state-of-the-art industrial
13 process, taking place in their backyard.

14 And as one of the custodians of developing
15 energy education programs for the state, this is going
16 to be a huge asset for us. To have the GE High Plains
17 Advanced Gasification Technology Center 50 miles to the
18 east and this project about 60 miles to the northwest,
19 is going to give our students an opportunity that's
20 almost unparalleled, especially in this region of the
21 country.

22 And the final thing that I will say is that I
23 have personal experience with several of the aspects of
24 this technology, specifically the methanol-to-gasoline
25 technology -- I worked with that early in my career with

1 Mobil Oil -- and with the enhanced oil recovery process;
2 both of which provide value, added value, to energy
3 resources and extreme leverage in working towards our
4 national security.

5 The methanol-to-gasoline, as I said, will
6 allow coal to enter the transportation market in a
7 sector that is currently not represented. And enhanced
8 oil recovery will continue to -- will allow Wyoming to
9 continue to produce petroleum from fields that were
10 discovered, in some cases, almost a century ago and,
11 before this technology, considered on its last legs.
12 We're the only state in the country, to my knowledge,
13 that has a continually growing reserve base based on the
14 application of the technology, rather than a very
15 aggressive exploration drilling program.

16 So as you consider the siting of this plant, I
17 hope you will not only do an extremely thorough job of
18 looking at the environmental impact, but think about it
19 in terms of the value that this will add to the state.

20 Thank you very much.

21 MS. ALEXANDER: Thank you for your comments.

22 Our next person up is Terry Weickum. And
23 Cindy Wallace is on deck.

24 Oh, and I forgot to mention this before. If
25 you have written versions of your comments, if you plan

1 on reading from written comments tonight, if you could
2 drop those up with us, we'd really appreciate it. You
3 can just leave it up here on the table, and I will make
4 sure that it gets to our court reporter.

5 Okay. Thank you very much.

6 TERRY WEICKUM: Thank you. My name is Terry
7 Weickum; T-e-r-r-y, W-e-i-c-k-u-m. And I'm the current
8 chairman of the Carbon County Commissioners.

9 And I'm here to speak positively about this
10 project, in support of it, of this project, because it
11 is so important to this part of Wyoming. I think this
12 project will demonstrate a clean use of coal, something
13 that will prove to be very important to not only Carbon
14 County, but the state of Wyoming and, therefore, the
15 United States. We're so dependent on foreign oil, and
16 we have a chance to do something about that.

17 This project is located in a place where it's
18 not going to be very visible, so it's not going to have
19 a lot of those kind of impacts. But we do recognize the
20 fact that there will be some negative impacts from this
21 project. We also believe that they'll be very minimal
22 compared to the positive effects that it'll have for the
23 local community.

24 The project's located in a place where there
25 isn't a very dense population surrounding it. But it's

1 fortunate enough to be located very close to other
2 communities that, in the past, have had a very similar
3 size workforce. These are coal miners that, of course,
4 are now out of work, and they're not here any longer.
5 But the reason I bring that up is, the infrastructure in
6 many of these towns is still in place. So the ability
7 to handle the negative impacts, which is this huge
8 workforce that would be expected, I believe Carbon
9 County's ready to handle that.

10 There is a cumulative effect, and there's no
11 question about it. Some of these things are very
12 unpredictable because a lot of these other projects are
13 not -- the exact date that they start, much like this
14 project, are not -- are not known at this time. And so,
15 you know, we all are very well aware that we'll have to
16 deal with them as -- as they come.

17 The other thing of it is, is a lot of the
18 competing projects or the other projects that will be
19 going on simultaneously will be kind of an in-and-out
20 thing. Crews come in, they put in a pipeline, and they
21 leave. This project's going to be longer term. There's
22 going to be more stability to it. I think it'll be a
23 nice bit for Carbon County.

24 I believe this project is the right kind of
25 project, in the right place, at the right time.

1 Thank you.

2 MS. ALEXANDER: Thank you for your comments.

3 Okay, Cindy Wallace. And on deck is Martha
4 Martinez del Rio.

5 CINDY WALLACE: Hi, I'm Cindy Wallace;
6 C-i-n-d-y, W-a-l-l-a-c-e. I'm the director of the
7 Carbon County Economic Development Corporation. And
8 tonight I also am speaking on behalf of our board of
9 directors.

10 And I have several of my board members here.
11 I would like them just to stand real fast. And I'm
12 their spokesperson right now, but I have several board
13 members here currently, that's on the board for Carbon
14 County.

15 And this is going to be a very exciting
16 project, not only for Carbon County, but for the whole
17 state of Wyoming. Not only will it bring in much-needed
18 jobs, with the economy; it's also going to bring
19 opportunities and, hopefully, keep our young people
20 here, bring families back who have moved away because
21 they can't find jobs.

22 And it's -- it will also -- I feel, the
23 company, they're working on trying to go through all the
24 various regulations and make sure this is a clean and
25 environmentally friendly facility that will be a good

1 neighbor, not only to the residents of Carbon County,
2 but they're going to be a good neighbor to the whole
3 state of Wyoming.

4 This also allows Carbon County and the state
5 of Wyoming to be at the forefront of some of our energy
6 needs; and we could showcase this effort, not only to
7 United States, but to the rest of the world. So we
8 could also not have to rely on dependence of oil from
9 the foreign countries that right now -- that aren't too
10 friendly right now.

11 And why not use homegrown U.S. oil and coal,
12 that we have here, to provide needs for our gasoline
13 industry? I don't think we're going to find -- it's
14 going to be, I mean, a lot of years before we are not
15 going to be driving with gasoline. I know there's some
16 technologies out there, using hydrogen and electricity,
17 but it's going to be down the future before you can find
18 a hydrogen-powered or an electric plug-in throughout the
19 country. We're going to have to rely on gas. We might
20 as well use it right here in our own country, and use
21 our own people and use our coal and use our natural
22 resources we already have.

23 I think this will be a boon to the economy.
24 It'll be a good neighbor to all of us. The people of
25 Carbon County, we're needing more jobs. Right now our

1 unemployment rate from a year ago was 3-point -- it was
2 3.1 percent a year ago. Now it's up to 7.1 percent.
3 We're losing population. We're losing people. We're
4 losing jobs.

5 This is not only fantastic to help the economy
6 here; it'll provide, like I said, jobs and opportunities
7 for people. Plus, it'll be -- it'll be something that
8 we can use to -- like I mentioned, programs with the
9 college, to show students and kids how they can -- I
10 mean, they can see a facility actually in use.

11 But that's really all I wanted to say. I
12 have -- you know, it's -- it's just going to help.
13 Anytime you bring in, a new company, bring in over 450
14 jobs, bring in the construction workers, it's a win-win
15 situation for us. And actually this will be a win-win
16 situation for the United States. And anybody that
17 drives a car and uses gas, it's a win.

18 (Telephonic interruption.)

19 CINDY WALLACE: And I've got written comments
20 I'd like to hand in.

21 MS. ALEXANDER: Thank you very much.

22 If everyone could turn off their cell phones.

23 Right up next, we've got Martha Martinez del
24 Rio. And on deck is Don Collins.

25 MARTHA MARTINEZ DEL RIO: Hi, my name is

1 Martha Martinez del Rio; M-a-r-t-h-a, M-a-r-t-i-n-e-z
2 d-e-l R-i-o. I'm a resident of Albany County, in
3 Laramie. I am representing myself as a citizen, but I
4 also come as a member of the Sierra Club and an officer
5 on the State Executive Committee. And I'm afraid I'm a
6 voice of dissent in this current project, so I'll share
7 my concerns.

8 The loan guarantee is asking for a great deal
9 of money for a very promising but, I think, not totally
10 proven technology in terms of its CO2 sequestration.
11 And I think we're needing to remember, we're working on
12 global warming concerns; and I think this is a big
13 concern, that we're adding, instead of subtracting, in
14 the long run.

15 I'd rather see the tax dollars go towards
16 conservation; increasing fuel efficiency; that we don't
17 need, we in Wyoming don't need, to produce more oil at
18 home. And we could use our tax dollars to develop
19 cleaner alternative energy options, some of which would
20 provide good local job opportunities in the area. And
21 we can see that evidenced by wind development that is
22 going on, like crazy, around us.

23 Another concern is, just how clean will the
24 air emissions be that are coming out of the plant? I
25 understand maybe 85 percent of allowable particulate

1 matter will be emitted. And if this is true, will it
2 affect the health of our local environment, our rivers,
3 our streams, the people who live particularly in the
4 neighborhood of the plant? And what is it going to do
5 to those of us who live downwind, like those of us who
6 live in Laramie?

7 I think we must not forget that the proposed
8 plant and its pipelines are also in core habitat areas
9 for sage grouse. That has been mentioned. We're going
10 to look into endangered species. And we need to really
11 remember that if its current status increases to that of
12 endangered species, it's going to affect the entire oil
13 and gas exploration of the state.

14 Thank you.

15 MS. ALEXANDER: Thank you for your comments.

16 Don Collins. And on deck we have Bill Nation.

17 DON COLLINS: Don Collins; D-o-n,
18 C-o-l-l-i-n-s; of the Western Research Institute.

19 The comments I would like to bring up are
20 going to fall along with the previous speaker, and that
21 is that, with this technology -- they didn't really talk
22 about it too much, but we're involved in research and
23 development ourselves, to clean up contaminated soils
24 and waters and reduce emissions from power plants. And
25 even biofuel processing fuel plants are actually very

1 high in contamination, similar to other fossil plants.

2 But this is one of the -- this will be the
3 world's cleanest plant. It'll emit less than, what, a
4 fraction of 1 percent of mercury which is in the
5 ecosystem Back East, so we won't have contamination of
6 our fish like there is Back East. And a lot of that, of
7 course, was from incineration plants for medicinal and
8 medical waste, which was probably 90 percent more than
9 emissions from coal back there. But that's stuck in the
10 ecosystem. So this plant will not put mercury into the
11 ecosystem. It also will not put arsenic into the
12 ecosystem, which the American Medical Association
13 showed, a couple years ago, in the water supply could be
14 a contributor to diabetes.

15 So this is going to be the cleanest plant,
16 even cleaner than any of the biofuel plants, that we
17 current are looking at today.

18 And its consumption of water is far less than
19 converting coal to ethanol for transportation fuels;
20 far, far less. A lot of those plants were shut down
21 because their consumption of water from the regional
22 water supplies was so great that it would detrimentally
23 harm the water supply to the local populations.

24 So I want to, you know, talk about those
25 particular aspects, have those -- how they're considered

1 in how you elevate the ecological impact to the
2 wildlife, which is a very big industry in Wyoming, and
3 the fish and game and keeping a healthy fishing industry
4 and the tourism industry.

5 This is -- this is going to be setting the
6 state's -- as Mark Northam said, setting the bar. And
7 the national and international ramifications of that
8 are, now we've got a place where Wyoming has
9 demonstrated this is doable. It's no longer lip
10 service. So now other foreign countries that are using
11 coal, still pursuing that, have a role model to follow.
12 And those are the big local ramifications of this
13 project, going perhaps to the rest of the world.

14 Thank you.

15 MS. ALEXANDER: Thank you for your comments.

16 Up next we have Bill Nation. And on deck is
17 Gaye Stockman.

18 BILL NATION: My name is Bill Nation; B-i-l-l,
19 N-a-t-i-o-n. And I find that the further down the list
20 of speakers you get, the less you have to say, because
21 it becomes redundant.

22 But that being said, I want to speak on behalf
23 of this project. I think, as you've heard in the past,
24 it is the right thing to do, at the right time. As a
25 citizen of the United States and a resident of Carbon

1 County, I think that it's time that we become more
2 independent and self-sufficient, and this is a way of
3 doing that.

4 It's -- it's a challenge. My day job is
5 roadway superintendent, and we take care of about a
6 thousand and fifty miles of road, with 13 people. All
7 of this road that goes out there from this town of
8 Medicine Bow will be under our auspices as far as the
9 maintenance and so forth goes.

10 This company has demonstrated that it's
11 willing to step up and do what's necessary to come in
12 and develop this coal in a safe manner and be good
13 citizens, and I would invite a close scrutiny by the
14 Department of Energy of this project. But I speak in
15 favor of it, and I think it's the right thing to do.

16 Thank you.

17 MS. ALEXANDER: Thank you for your comments.

18 Up next we have Gail (sic) Stockman. And on
19 deck is Lonnie Hobbs.

20 GAYE STOCKMAN: Hello, my name is Gaye
21 Stockman; G-a-y-e, S-t-o-c-k-m-a-n. And I'm the CEO for
22 Laramie Economic Development Corporation, and I'm here
23 to speak on behalf of our board of directors. And we
24 also service Albany County, and we're neighbors with
25 Carbon County.

1 We want to speak up in support of this. We
2 recognize that it's not only Carbon County that will be
3 impacted by the economic impacts to the community and
4 for the job creation, the services, the groceries, and
5 all of that other. We know that Medicine Bow and Hannah
6 and Rock River will have huge impacts, but we recognize
7 that Laramie will also.

8 And I'm going to follow what Cindy did. I'm
9 going to ask my board members, I have several of them
10 here, to stand up also.

11 Thank you, gentlemen.

12 Anyway, we recognize that it is really
13 important. We also are really excited about the fact
14 that we're using our resources in a cleaner technology.
15 It also impacts the university, and we're pleased about
16 that as well.

17 So we will be sending in letters. You've been
18 receiving a lot of letters from us already.

19 And thank you very much.

20 MS. ALEXANDER: Thank you for your comments.

21 Up next we have Lonnie Hobbs. And on deck is
22 Cynthia -- I can't read the last name. Cynthia DeChore
23 maybe? Anyway, Cynthia's on deck.

24 LONNIE HOBBS: Hi, I'm Lonnie Hobbs, and I
25 represent the Carbon County Economic Development

1 Corporation. I'm currently the president elect.

2 And I think that a lot of people have made
3 some good points about the jobs, because we're first
4 going to start out with over 2,000 jobs. But I think
5 what we forgot is the residual jobs, all the extra
6 people that'll be hired to run motels and stores and
7 things like that. That's going to bring a lot more jobs
8 to this county.

9 Now, even if they're importing jobs, let's say
10 they hire out of state and bring people in to help work,
11 we have to remember one thing: For every dollar that's
12 spent in Carbon County, that dollar turns seven times.
13 We're talking grocery stores, convenience stores, fast
14 food, restaurants, gas stations. So, I mean, the
15 economy circulates, and I think it's one thing people
16 have not brought up yet.

17 I also think the company has met and exceeded
18 everything that's been expected in every regulation that
19 has came before them. And they've proven: Hey, we can
20 do this. Plus, it will be the most state-of-the-art
21 facility in the country. So I think the actual impact
22 is going to be a lot less than people will try to
23 represent it to be.

24 I think the job impact is what I'm more in
25 tune with, being with the EDC of the county. You have

1 to remember, if you give a guy a choice, have a job or
2 maybe run a little piece of grass, give them self-
3 respect and a way to feed his family, what is he going
4 to take?

5 So that's basically all I have to say. Let's
6 give some people some self-respect. Let's give them
7 some jobs and get it going.

8 MS. ALEXANDER: Thank you for your comments.
9 Cynthia from the Medicine Bow Town Council.
10 And up next is Steve Gist (sic).

11 CINDY CHASE: I'm Cindy Chase, and I'm from
12 the Medicine Bow Town Council. And I would like to
13 welcome DKRW and all the people that it will bring, and
14 I would certainly do whatever I could to help this go.

15 I think that this country values education.
16 We have a lot of institutions of education. And we
17 certainly should be able to figure out how to provide a
18 lot of jobs and a lot of work and do it without harming
19 the water, harming the air, harming the wildlife. None
20 of us want to see that. But I would appreciate it if we
21 could all work together to get this done.

22 MS. ALEXANDER: Thanks for your comments.

23 And Steve Gist. And Ryan Lance is on deck.

24 STEVE GISI: Yes, I'm Steve Gisi, G-i-s-i.

25 And I want to, again, welcome you all for coming here.

1 We really appreciate it.

2 And I just wanted to say, I don't want to say
3 a whole a lot, but we really, really want you here. We
4 want this project to go through. And whatever it takes,
5 I think I speak for most of us in the town, we do want
6 this to go forward.

7 And I will save time for other people to
8 speak, and I will e-mail my further comments, once I've
9 processed what others are saying.

10 And I would like to mention that the prairie
11 chickens are not actually endangered. Whoever made that
12 comment, they're -- they're looking at putting them on
13 that list, but they're not on there yet, anymore than
14 the prairie dogs are. So I just wanted to clarify that.

15 Thank you.

16 MS. ALEXANDER: Thanks for your comments.

17 If I could remind everyone, please spell your
18 names, first and last, when you speak; and let me know
19 what organization you're representing, if you're
20 representing an organization.

21 Okay. Up next is Ryan Lance. And on deck is
22 David Challacomb.

23 RYAN LANCE: Ryan Lance; R-y-a-n, L-a-n-c-e.

24 I am here from Cheyenne, from Governor Freudenthal's
25 office. And what you learn pretty quickly, as you're

1 driving the roads of this state, is that the brilliance
2 meter gets a lot higher as you get further away from
3 Cheyenne.

4 We're very pleased to be here. I'm very
5 pleased to represent the governor. Last evening he
6 signed an initial letter of support for the project.
7 It's not the first one. In 2008 he -- he issued his
8 first letter of support for the project. And we're
9 pleased to issue our second one, following the issuance
10 of the State Industrial Siting Permitting and the EQ and
11 State Engineers Permitting.

12 Along with that letter, the governor also
13 submitted a formal request to participate as cooperating
14 agencies under the CQ regulations. So we will bring the
15 full measure of state resources and agency expertise to
16 bear, so we can help move this project along as quickly
17 as possible, create jobs, and hopefully add to the
18 capacity to create clean and renewable -- functional
19 renewable energy, given the resources we have around us
20 here, for the long haul.

21 The governor called me, as I was driving over,
22 and caught me in Laramie. And he's in San Diego, at the
23 Western Governors Association, and he wanted me to
24 relate to the good folks of Medicine Bow and the
25 surrounding communities that he would much rather be

1 here than in San Diego, listening to a bunch of other
2 blowhard governors. But the realities of the
3 circumstance is that he wasn't able to be here, so he
4 sent me.

5 And we're very pleased to support the project.
6 We look forward to a lasting relationship not only with
7 the local governments, who, unfortunately, recently
8 heard, in the governor's budget message, that times are
9 not as good in Wyoming as they have been. And we all
10 stand to feel this recession sooner rather than later.
11 And hopefully, with projects like this in the hopper, we
12 can get rig hands busy, we can get miners busy, and we
13 can start back to the business of building the state.

14 Thank you.

15 MS. ALEXANDER: Thank you for your comments.

16 David Challacomb is up. And on deck is
17 Kenneth Klouda.

18 DAVID CHALLACOMB: My name is David
19 Challacomb. That's D-a-v-i-d, C-h-a-l-l-a-c-o-m-b. I
20 represent Mountain Cement Company. And we are here to
21 support this project. We foresee it as a economic boon
22 for the area, much needed.

23 We are one of those struggling companies, with
24 the economy as it is right now, and we'd like to see
25 this go forward; hopefully, save a lot of jobs in the

1 area. There's -- we struggle daily, keeping our plant
2 running. With the way the economy is going, we've seen
3 14 plants throughout the United States go down, cement
4 plants, and project another 15 in the next two to five
5 years. So we would really like to see this project go.

6 And thank you very much.

7 MS. ALEXANDER: Thank you for your comments.

8 Up next is Kenneth Klouda. And on deck is
9 Steve Golnar.

10 KENNETH KLOUDA: Good evening, I'm Kenneth
11 Klouda; K-e-n-n-e-t-h, K-l-o-u-d-a. I'm currently the
12 mayor of the City of Rawlins. I'm here with the City
13 manager and two members of our council.

14 As I told folks today, in the last few days
15 what I was up to, to come down here tonight and possibly
16 speak, the support was unanimous; immediately followed
17 by questions of: That's a lot jobs. What are we going
18 to do about . . . How are we going to house them? How
19 are we going to feed them? After we feed them and they
20 flush the toilet, what are we going to do with that?
21 The whole -- everything that the Environmental Impact
22 Statement is going to cover.

23 I assured them that there would be comment
24 periods, and they could be part of that process.

25 Having said that, my comment to both the DKRW

1 and the DOE would be that this process must have logic
2 and common sense and cooperation. If it is not done
3 openly, honestly, and the communication is not
4 continuous, it will be a detriment to the DOE, to DKRW,
5 Carbon County, and this project.

6 Thank you.

7 MS. ALEXANDER: Thank you for your comments.

8 And just to let you all know, we do plan on
9 communicating as openly and honestly as -- as we can,
10 with everyone on this, during this process.

11 Steve Golnar is up next.

12 STEVE GOLNAR: Steve Golnar.

13 MS. ALEXANDER: And on deck is Cary Bruce.

14 STEVE GOLNAR: It's S-t-e-v-e; big G, little
15 o-l-n-a-r.

16 As a city in Carbon County, Wyoming, we are
17 financially challenged at this time, and certainly we're
18 interested in potential for the jobs associated with
19 this project. This project and the clean-coal approach,
20 the environmental-friendly technology, creates a
21 potential for cutting-edge -- cutting-edge economy and a
22 potential for supply-and-support industries.

23 We, in the city of Rawlins, would support the
24 development of those types of industries, both in the
25 support area and also in the service area, to locate in

1 our community, and we would work with them to do that.

2 Thank you.

3 MS. ALEXANDER: Thank you for your comments.

4 Okay. Up next is Cary Bruce. And on deck is
5 Beth Buskirk.

6 Cary Bruce?

7 UNIDENTIFIED SPEAKER: He left.

8 MS. ALEXANDER: Okay. Then Beth Buskirk.

9 BETH BUSKIRK: B-e-t-h, B-u-s-k-i-r-k. I
10 think I'm going to speak for people who feel the way I
11 do and may not talk. I like to come to the Medicine Bow
12 area and the Shirley Basin just to walk around. It's
13 one of the most important reasons to live in Wyoming.
14 There are all kinds of beautiful paintings of Wyoming,
15 and it's usually not of industrial coal-to-liquid
16 plants.

17 I know that there are ranchers and other
18 citizens who will be disappointed to see the change in
19 the landscape. I don't know how you measure that. I
20 don't know how you write about it in an environmental
21 impact statement. But I know many people will be
22 disappointed to see fast-food restaurants in Medicine
23 Bow, and in Hannah perhaps. And that they will borne
24 these changes.

25 And as far as energy independence goes, the

1 United States uses so much gasoline, this is really just
2 a drop in the bucket. It's a nice idea, but it's not
3 going to really change too much.

4 I understand the need for jobs here. I have a
5 job, so I'm not -- I don't need a job. I understand
6 that need, but I feel extremely conflicted about this.
7 And I'm sure I'm not alone.

8 So that's all.

9 MS. ALEXANDER: Thank you for your comments.
10 Up next we have Martha --

11 MARTHA MARTINEZ DEL RIO: I spoke already.

12 MS. ALEXANDER: Oh, you're signed up here.
13 Then Tucker Fagan.

14 TUCKER FAGAN: My name is Tucker Fagan;
15 T-u-c-k-e-r, F as in Frank, a-g-a-n. And I'm joined by
16 Patty Smith from Senator Barrasso's office. I'm chief
17 of staff for Cynthia Lummis. I carry the mail.

18 We'd like to offer our strong support for the
19 Medicine Bow Fuel and Power, LLC, coal-to-liquids
20 project. This facility will provide much-needed
21 supplies of transportation fuels to American consumers,
22 in an innovative, environmentally sensitive manner.

23 Medicine Bow Fuel and Power, LLC, is moving
24 forward with their plans to build a coal-to-liquids
25 facility in Medicine Bow, Wyoming. The project will

1 provide exciting new economic and employment
2 opportunities for this community and the surrounding
3 areas. At its peak construction period, the project
4 will create approximately 2,300 jobs. After
5 construction's finished, the project will employee
6 450 people to run the facility.

7 Further, by converting locally mined coal into
8 20,000 barrels of gasoline per day, this facility will
9 help our nation reduce its dependence on foreign sources
10 of petroleum. It's our understanding that the gasoline
11 produced at this facility will be sold into the Denver,
12 Colorado, market, replacing gasoline that is currently
13 imported into the Denver region.

14 The conversion process to be employed at the
15 Medicine Bow facility has several environmental
16 benefits. As part of the production process, the plant
17 will capture carbon dioxide and use it for enhanced oil
18 recovery. This technique is a time-tested, successful
19 process for producing additional oil from depleted U.S.
20 oil reserves.

21 The end-product transportation fuel from a
22 coal-to-liquids project will also have low levels of
23 sulfur, benzine, and result in lower carbon dioxide
24 emissions than competing imported fuel.

25 Finally, the project will assist in the

1 demonstration of carbon capture and storage techniques
2 critical to finding new and cleaner ways to utilize our
3 nation's vast remaining coal reserves.

4 We appreciate your attention to our letter and
5 urge you to move in an expeditious manner to make this
6 project a reality.

7 Senator Mike Enzi, Senator John Barrasso,
8 Representative Cynthia Lummis.

9 MS. ALEXANDER: Thank you for your comments.

10 TUCKER FAGAN: Okay. Now I'm off the clock.

11 MS. ALEXANDER: Okay.

12 TUCKER FAGAN: I was a Strategic Air Command
13 wing commander. I selected, trained, equipped, and sent
14 kids to war. I put them on the airplane.

15 This is the face of national security. It's
16 not some hard-to-understand concept. We will kill seven
17 kids today, tomorrow, the next day. This is a part of
18 that component to maintain stability in the world. The
19 more we are energy independent, we can stop killing our
20 kids.

21 So I believe there should be an international
22 component as a part of your discretion and what you
23 make, because there's a balance there. And too many
24 people think that's something else. It is not.

25 Thank you.

1 MS. ALEXANDER: Thank you for your comments.

2 I apologize. I believe I missed someone,
3 Kevin Colman.

4 KEVIN COLMAN: Yeah.

5 MS. ALEXANDER: And I believe you're the last
6 person we've got on our list. If anyone else would like
7 to speak afterwards -- okay, we've got one more after.
8 Okay. Kevin Colman, and then one more.

9 KEVIN COLMAN: Man you people are short.
10 Kevin Colman. First name, you should know; Colman,
11 C-o-l-m-a-n. Mayor of Medicine Bow.

12 First off, on behalf of the town, we do
13 support this project. We're not an outsider, looking
14 in, thinking: We don't want growth, we don't want jobs,
15 or we don't want things, you know. I remember
16 tear-filled eyes when they closed our high school and
17 that pride that left. We want that back. The only way
18 to get that back is to get people, to get jobs, and to
19 get the things that are necessary.

20 Is it going to be touch? Oh, hell, yeah.
21 There's 2500 people just in the construction phase, on
22 top of extra people here trying to make a buck just like
23 everybody else. Is it going to be rough? Yeah. Has
24 there ever been a challenge in Carbon County we haven't
25 chose to rise to or to try to meet? No. The big one is

1 the economical stage once this plant is completed.

2 Now, everyone says wind energy is the greatest
3 gift. You know, it looks like good on paper, brings in
4 450 jobs throughout the process that takes less than a
5 year. They come in, spend their money, and go to the
6 next open space of land. Then they hire ten, if that,
7 to maintain it. Ten people.

8 Ten people don't make a difference. You know,
9 ten people don't bring back your schools or help an
10 aging community to help with water bills or trash bills
11 or things of that nature. It takes a large group of
12 people. It takes a large commitment to see a future
13 become.

14 Jobs are one of the most important things. We
15 have the University of Wyoming, what, 60 miles away? We
16 have one of the best engineering departments in the
17 United States. We train them. We equip them. We get
18 them ready for the world. And they leave. Because
19 there's nothing here. We have scientists that work in
20 hotels, work at McDonald's, because this is where they
21 choose to live but the industry isn't here.

22 When we start looking at environmental impacts
23 and so forth, yes, there's going to be environmental
24 impacts. I would like to remind you that when we talk
25 about the Shirley Basin and the Shirley Mountains and so

1 forth, that's 40 miles from the site. Unfortunately, we
2 live in Wyoming, not Pennsylvania. Because we can see
3 for hundreds of miles, so it's going to be in a view
4 shed. But when we start looking at things, of what
5 we're actually changing, it's night-and-day difference.

6 The other great thing is, finally Wyoming's
7 willing to see that the money's not in transportation of
8 our products, but in the manufacturing of what they
9 produce. If it wasn't there, people wouldn't buy coal
10 to begin with, because it would cost too much to turn
11 into something. It's a big business.

12 The other impact that I think we really need
13 is, like the gentleman said right before. We talk about
14 sage chickens; we talk about the sage brush, specific
15 types of cactus and so forth. But one of the greatest
16 resources that we are losing, on a regular basis, is our
17 young men and women that are in the armed forces,
18 fighting for the product that we have the availability
19 to produce, but choose not to.

20 We talk about environmental quality, smog and
21 pollution and things of that nature, and how we have to
22 capture this and fix it and make things better. And
23 major companies say it's too expensive. Here's a
24 company that came in and said: This is a waste, that
25 people aren't capturing it and selling it.

1 There's a market for this stuff. Who ever
2 thought there would be a market for mercury? But yet
3 it's out there. People say it's too much money, but yet
4 they found a way to make a profit on what their waste
5 product is.

6 You know, I am a little concerned. My brother
7 has been on three tours in Iraq, and is looking at a
8 fourth tour, in Afghanistan, to fight for a product we
9 can produce right here.

10 So my challenge to you folks is, they've met
11 the requirements. That's what the law states. What's
12 the law state? Not what all of us may think or
13 whatever. They've met the requirements.

14 I think the problem is, we keep wanting to
15 beat another dead horse. It's like, did they meet them
16 really good enough? Did they meet them perfect enough?
17 Did they meet them and cross extra t's or dot extra i's?
18 The law says this: If they've met those requirements,
19 then it's your guys's duty, responsibility, to let this
20 project go.

21 MS. ALEXANDER: Thank you for your comments.

22 Okay. We do have three other people who've
23 signed up. Up next is -- oh, two other people: Duane
24 Short, and on tap is Ralph Brokaw.

25 DUANE SHORT: I'm Duane Short. And that's

1 D-u-a-n-e, and Short just like it sounds. And I'm here
2 representing Biodiversity Conservation Alliance in
3 Laramie, Wyoming.

4 I'm not going to stand up here and -- and --
5 and try to contradict the fact that this plant would
6 bring jobs not just to Medicine Bow, but to the entire
7 county and beyond. I'm here to point out some of the
8 downside that we often don't like to look at when we get
9 into cheerleading sessions.

10 There are environmental concerns associated
11 with -- with this plant. We call it clean coal. It's
12 kind of like saying a cigarette with a filter is -- is a
13 clean cigarette. Well, it might be cleaner than the
14 dirty one without the filter, but there's no such thing
15 as clean coal. And one of the byproducts of this plant
16 will be CO2. And CO2 sounds pretty innocuous. But if
17 anyone is willing to try the experiment, they can hold
18 their breath for about one minute and find out just how
19 toxic CO2 is. I'm serious about that.

20 This plant will supposedly capture CO2, and it
21 can do that. CO2 capture is a fairly well-proven
22 technology, but what happens to it after it's captured
23 is not so -- so well proven. Underground sequestration,
24 which is one of the components of this plant, is a very
25 unproven science. And I don't think there's anyone here

1 that can look you in the eye and say, "Oh, no, we have
2 it all figured out." I don't think there's anyone that
3 can do that.

4 So I want the people particularly of Medicine
5 Bow and Rock River to consider that.

6 I also want to point out that the CO2 that is
7 going to be used for extraction of oil, there is a
8 limited market for that. Exxon already does a lot of
9 this, and it's located near the oil fields where it's
10 used. In this case, it would have to be piped.

11 And for every -- for about every one unit of
12 CO2 used to produce more oil from the ground, about nine
13 units end up in the atmosphere. And the EPA, and this
14 isn't -- whether you -- whether you think it's right or
15 not, we are monitoring CO2 emissions. So this plant
16 could use up all the credit this entire area has; and
17 someone who wanted to start their own business that
18 produces some CO2, they can't do it, because you're
19 already over quota. So if you want to put all your eggs
20 in this basket, you might say, "Hey, let's go for it."

21 Also, this has been mentioned several times
22 before, but this plant is located right in the middle of
23 a sage grouse core area. And a core area is an area
24 that, even the governor's office has said, we don't want
25 to develop these areas. So on one hand, there's

1 support; on the other, there's an issue there.

2 So there's some downsides to this. And I want
3 everybody to take a look at that and give it serious
4 consideration. And it's tough to do this when jobs are
5 at stake, and I recognize that as much as anyone. But
6 we talk about lofty things like national security.
7 Well, environmental issues are pretty lofty too, because
8 they involve your kids and their kids and their kids
9 beyond, so please consider that.

10 And that's all I have at this point.

11 MS. ALEXANDER: Okay. Thank you for your
12 comments.

13 Ralph Brokaw, we have you up next.

14 And Ralph is the last person on the list. If
15 anybody else would like to comment after he's done, just
16 let us know. You can come on up to this microphone
17 after he's done. Thank you.

18 RALPH BROKAW: Hi, my name is Ralph Brokaw.
19 I'm a local supervisor on the Medicine Bow Conservation
20 District. I'm also the state president of the State
21 Association of Conservation Districts representing the
22 state's 34 districts. And Wyoming conservation
23 districts have statutory responsibility for the wise use
24 of our natural resources. That includes multiple use of
25 our public lands as well.

1 Welcome to Medicine Bow, Wyoming. I'm in
2 production agriculture. This is cow country. I think
3 the United States has 6 percent of the global
4 population, and we're such energy hogs that we consume
5 25 percent of the world's energy resources. Let me tell
6 you the rest of that fact, that people often neglect.
7 Production agriculture in the United States, using that
8 25 percent energy, produces food for 75 percent of the
9 world.

10 So on your way back to your big city, look out
11 and appreciate anew what Wyoming has. We value our open
12 space. We value our natural resources. And we value
13 production agriculture. It's the backbone of Wyoming.

14 I know we've had a good working relationship
15 with the company, up to date. We look forward to
16 working with the Department of Energy. As you know,
17 we've put in a formal request, as a form of local
18 government, to have cooperating agency status as you
19 develop this EIS. I encourage you to give us
20 consideration for that.

21 Our areas of expertise, of course, are water
22 quality. We're very serious about that in the Medicine
23 Bow Conservation District. We're proud we have no DEQ
24 303B listed streams in our district. We'd like to work
25 with you on your EIS to maintain that reputation we have

1 here in the Medicine Bow area.

2 Up-range management, we have policies for all
3 components within that ecosystem; range cattle,
4 wildlife. We work closely with Game and Fish and U.S.
5 Fish and Wildlife in the Shirley Basin, one of the last
6 greatest natural grasslands in the United States. We're
7 very active there with sage grouse, plovers. There's a
8 list of dozens species that we work with every day.

9 I know, in building this, this company and
10 this operation, we look forward to working with you and
11 making positive comments on how we can mitigate the
12 actual impacts you will have, because a company will
13 have impacts on our natural resources. But there's many
14 benefits to that, and I think, through proper
15 mitigation, we can make it so that those values of
16 Wyoming, production agriculture and open space and
17 wildlife, are given careful consideration.

18 We can also provide local social and economic
19 benefits to our county, to our local community here in
20 Medicine Bow, and the surrounding area. And we just
21 look forward to working with you as you develop this EIS
22 and make it a win-win for all people that live here.

23 Thank you.

24 MS. ALEXANDER: Thank you for your comments.

25 Is there anyone else who would like to speak

1 this evening?

2 Okay. Just one last time, to let you know,
3 all oral comments tonight, and written comments that you
4 might send and have already sent in or will send in
5 later, will be given equal weight. And if you would
6 like to send in written comments, there are comment
7 forms on the side table and in the back table there.
8 And the addresses to send them, either by ground mail or
9 by e-mail, are also listed on the fact sheets over at
10 the side table.

11 Okay. Anyone else? Last comment?

12 Okay. Thank you all very much for coming this
13 evening. It's been very nice meeting you all, and I
14 hope everybody has happy holidays.

15 (The hearing adjourned at 8:32 p.m.)

16

17

18

19

20

21

22

23

24

25

REPORTER'S CERTIFICATE

I, CARLA D. CAPRITTA, Registered Professional
Reporter, certify;

That the foregoing proceedings were taken
before me at the time and place therein set forth.

That all foregoing proceedings were recorded
stenographically by me and were thereafter transcribed;

That the foregoing is a true and correct
transcript of my shorthand notes so taken;

I further certify that I am not a relative or
employee of any of the parties, nor financially
interested in the action;

I declare, under penalty of perjury under the
laws of Colorado, that the foregoing is true and
correct.

Dated this 29th day of December, 2009.

Carla D. Capritta, RPR