

UNITED STATES DEPARTMENT OF ENERGY

ELECTRICITY ADVISORY COMMITTEE MEETING

Arlington, Virginia

Tuesday, September 29, 2015

1 PARTICIPANTS:
2 JOHN ADAMS
Electric Reliability Council of Texas
3
4 AKE ALMGREN
Orkas Energy Endurance Inc.
5
6 STEPHANIE AYERS
IMCORP
7
8 WILLIAM BALL
Southern Company
9
10 DERECK BANDERA
Midcontinent Independent System Operator
11
12 VENKAY BANUNASAYANAN
National Rural Electric Cooperative Association
13
14 ADAM BENSHOFF
Edison Electric Institute
15
16 ANJAN BOSE
Washington State University
17
18 MERWIN BROWN
California Institute for Energy & Environment
19
20 DOREEN BYRNE
21
22 CAITLIN CALLAGHAN
Department of Energy
23
24 PAULA CARMODY
Maryland Office of People's Counsel
25
26 EDWARD CAZALET
TexMic Inc. and MegaWatt Storage Farms, Inc.
27
28 PAUL CENTOLELLA
Paul Centolella & Associates LLC
29
30 CARLOS COE
Millennium Energy
31
32 MEGHAN CONKLIN
Department of Energy
33
34 RICHARD COWART
Regulatory Assistance Project
35
36 PHYLLIS CURRIE
Pasadena Water and Power

1 PARTICIPANTS (CONT'D):

2 ROBERT CURRY
CurryEnergy

3 LIZ DALTON
4 Department of Energy

5 RACHEL FINAN
ICF International

6 CLARK GELLINGS
7 Electric Power Research Institute (EPRI)

8 HONORABLE PATRICIA HOFFMAN
Department of Energy

9 CYNTHIA HSU
10 House Community Science, Space and Technology

11 PAUL HUDSON
Stratus Energy Group

12 PATRICK HUGHES
13 National Electrical Manufactures Association

14 MARK IRWIN
Southern California Edison

15 SUSAN KENNEDY
16 Advanced Microgrid Solutions

17 MARK LAUBY
North American Electric Reliability Corporation

18 JANICE LIN
19 California Energy Storage Alliance, Strategen
Consulting, Inc.

20 KEVIN LYNN
21 Department of Energy

22 MAUREEN MALLOY
ICF International

23 ELI MASSEY
24 Department of Energy

25 JENNIFER MENDOZA
Department of Energy

26

1 PARTICIPANTS (CONT'D):

2 DAVID MEYER
Department of Energy

3 GRANGER MORGAN
4 Carnegie Mellon, Engineering & Public Policy

5 JOSEPH PALADINO
Department of Energy

6 MARY ELLEN PARAVALOS
7 National Grid

8 WILLIAM PARKS
Department of Energy

9 SONNY POPOWSKY
10 EAC Vice Chair

11 ANNE PRAMAGGIORE
Commonwealth Edison

12 WANDA REDER
13 S&C Electric Company; IEEE

14 PAUL ROBERTI
Rhode Island Public Utilities Commission

15 MATT ROSENBAUM
16 Department of Energy

17 HEATHER SANDERS
California Independent System Operator

18 JOHN SHELK
19 Electric Power Supply Association

20 CHRIS SHELTON
AES Energy Storage

21 RAMTEEN SIOSHANSI
22 Ohio State University

23 SAMIR SUCCAR
ICF International

24 EMMANUEL TAYLOR
25 Energetics Inc.

26 ROY THILLY
Independent

1 PARTICIPANTS (CONT'D):

2 SUSAN TIERNEY
Analysis Group

3
4 DAVID TILL
Tennessee Valley Authority

5 JOHN UNDRILL
Arizona State University

6
7 GORDON VAN WELIE
Independent System Operator of New England

8 ANDREA WAGNER
ICF International

9
10 REBECCA WAGNER
Nevada Public Utilities Commission

11 * * * * *

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

P R O C E E D I N G S

(1:11 p.m.)

CHAIRMAN COWART: Good afternoon, everybody.

Let's begin. I'm Richard Cowart, Chair of the Electricity Advisory Committee. I will remind everyone as I always do at the beginning of these meetings that a transcript is being prepared of our proceedings, so please be sure to speak clearly into your microphone whenever you're speaking and be sure to turn off your microphone when you're not speaking for the benefit of those making the transcription.

We have the pleasure of welcoming to the committee a number of new members. I'm looking around and realizing that we've got some new folks here today. And I'll ask you as we go around the room and introduce ourselves for the new members to say a little bit more about themselves than maybe some of the veteran members do. And normally, we just say our names and our affiliation and then move on. But we'd like to hear from the new folks who are Sue Tierney, Janice Lin, John Adams is here, Paula Carmody, and Phyllis Currie, and I think Anne Pramaggiore will be coming in a little bit later. We'll ask her to introduce herself when she arrives. Anyway, welcome to you all.

1 I also have the pleasure of announcing that
2 we have -- the pleasure of letting you know, as the
3 veteran committee members know, that there is term limits
4 on this committee. And a number of us are going to be
5 leaving within the next six months or eight months due to
6 term limits, and so we've arranged for a succession in
7 the committee leadership. Sonny Popowsky and I are among
8 those who are term limited. And after six really
9 wonderful years on the committee, as of next March or
10 June depending, we turn into pumpkins and we need to be
11 replaced. Sue Tierney and Carl Zichella will become the
12 chair and vice chair of the committee to succeed us. And
13 this is a decision really made by Pat Hoffman. I am
14 pleased to be able to make the announcement myself having
15 talked to both Sue and Carl about it. We have some other
16 leadership transition decisions to announce a little bit
17 later on as well with the subcommittees.

18 With that as an introduction, let me just
19 begin by going around the room and ask you to begin
20 introducing yourselves. Pat?

21 MS. HOFFMAN: So I'm Pat Hoffman, the
22 assistant secretary for the Office of Electricity
23 Delivering and Energy Reliability. And your all advice is
24 much appreciated from my point of view, but I did want to

1 -- I'm going to let these guys introduce themselves, but
2 I wanted to recognize that we do have some new leadership
3 in our organization. And I'm hoping that all of the new
4 dashers, the new supervisors in our organization have
5 some time to come to the committee because we do evaluate
6 -- we do appreciate your opinion and your advice that you
7 give our organization. First is Liz Dalton has come on
8 board. She's now the new principal deputy assistant
9 secretary for our organization. She is going to be my
10 backup in everything and anything that needs to be done
11 in the organization. She did come from nuclear energy,
12 and she'll tell you a little bit more about herself.

13 We have Michael Pesin] who also joined our
14 organization. He is the new deputy assistant secretary
15 for our R and D division. His background was -- he
16 actually came from Seattle City and Light where he was
17 the technology strategy and manager for Seattle City and
18 Light, and had been engaged in numerous demonstration
19 projects for them. And so I'm hoping he will be able to
20 come by. If he's not going to be here today, he'll be
21 here tomorrow.

22 And then also joining us is Meghan Conklin,
23 and she is the new deputy assistant secretary for our
24 permitting division which looks at our transmission

1 projects, our transmission development congestion study,
2 1222, the technical assistance to the states, all those
3 activities will fall under Meghan.

4 And then the last person that we have new
5 joining our organization is Devon Streit, and she is in
6 charge of -- she's the deputy assistant secretary for our
7 infrastructure security and energy restoration, so she is
8 looking at all of our emergency response activities that
9 we do on behalf of FEMA and DHS, as well as the
10 coordination with the coordinated counsel and strategic
11 priorities when it comes to emergencies. So she has
12 joined the office as well.

13 And I would just like to give my thanks to
14 Rich and Sonny for all of their leadership for the past
15 six years. They have done a wonderful job in guiding the
16 committee and making sure that the topics we go through
17 are relevant and constructive, so I really do appreciate
18 all of the support that you've given the committee. And
19 I look forward to Sue and Carl in taking over the
20 leadership. You got great shoes to fill, but I know we
21 will have -- continue to have the engaging dialogue and
22 discussion. So with that, I'll turn it over to you.

23 MS. DALTON: I'll try to be quick, but, as
24 Pat said, I'm Liz Dalton. I have been with the Office of

1 Electricity for going on, I think, three and a half weeks
2 now, so very new to the organization and happy to be here
3 today. I have much -- appreciate you all participating
4 in these sessions. I'm coming from the Office of Nuclear
5 Energy within the Department of Energy where I've been
6 the chief of staff for the last three years working for
7 Assistant Secretary Pete Lyons up until his retirement.
8 I had the opportunity to engage closely with NEAC, the
9 Nuclear Energy Advisory Committee. And in fact, in
10 chatting with Matt and others yesterday, I questioned how
11 well we work with you all and have great positive
12 feedback and really look forward to working with you all.
13 So thanks, Pat. I'm happy to be here. I look forward to
14 meeting you.

15 MS. CONKLIN: Hi, everyone. I'm Meghan
16 Conklin. As I work for Pat as one of her deputy
17 assistant secretaries in a division that we call NEDD
18 that, as Pat mentioned, oversees allowed the transmission
19 permitting issues and also state and technical
20 assistance. And so I'm looking forward to working with
21 all of you. I've served in senior roles on Capitol Hill,
22 most recently as Democratic staff director of the House
23 Natural Resources Committee. And before that, I worked
24 on the Senate Energy and Natural Resources Committee. I

1 also worked at the Interior Department as their associate
2 deputy secretary and chief of staff to the Fish and
3 Wildlife Service. So I look forward to getting to know
4 all of you better. Thank you.

5 MR. MEYER: I'm David Meyer. I'm in the
6 National Electricity Delivery Division, that's the
7 division that Meghan heads, and I provide support to
8 Meghan and Pat and anybody else that I can help.

9 MR. ROSENBAUM: My name is Matt Rosenbaum.
10 I'm one of the two team leaders in the NEDD division.
11 But for the purposes of this committee, most know me as
12 the DFO, the [FACA] DFO, for the EAC. Thank you all for
13 coming.

14 MS. CARMODY: Hello. My name is Paula
15 Carmody. I'm one of the new members and really
16 appreciate the opportunity. I am people's counsel for
17 the State of Maryland. And what that means is that I
18 represent residential utility customers throughout the
19 state for five industries, gas, electricity,
20 telecommunications, water, and some transportation issues
21 at the federal and state level. So we generally have a
22 pretty active portfolio and certainly very much
23 appreciate the opportunity to represent consumers here.

24 MR. ADAMS: Good afternoon. My name is John

1 Adams. I'm principal engineer from the Electric
2 Reliability Council of Texas. My background is
3 operations engineering. I've supported operation staff
4 at [ERCOT], and before that for Eastern Lighting and
5 Power company for the last 30 years, I guess. My highest
6 level in operations was director of operations about five
7 years ago since I was involved in implementing our NODA
8 market and then currently in our market redesign or
9 market design group under Joel Mickey.

10 MS. WAGNER: Good afternoon, or actually
11 morning for me coming from the west coast. My name is
12 Rebecca Wagner. I'm a commissioner with Nevada Public
13 Utilities Commission for one more day, so I'm happy to be
14 here instead of there.

15 MR. ALMGREN: My name is Ake Almgren, and my
16 professional background is electricity transmission and
17 distribution from [low voltage Chapter 8 fiduciary] and
18 systems control. I was in generation as well as energy
19 storage. I also served on the PDM board where I chaired
20 the committee and also served on the public of the board
21 active power.

22 MR. BALL: I'm Billy Ball, Chief Transmission
23 Officer at the Southern Company.

24 MR. THILLY: Roy Thilly. I'm unaffiliated.

1 I was the -- ran in the joint action agency that invoked
2 power utility to serve 51 communities in Wisconsin, Iowa,
3 and Michigan. I also serve on the NERC board, but I
4 don't represent NERC here. And I co-chaired the Eastern
5 Interconnect Planning Cooperative on behalf of ATC.

6 MS. BROWN: Merwin Brown. I am a buyer's
7 professor of Sustainable Systems at the Georgia Institute
8 of Technology, and also on the board of directors of the
9 Tennessee Valley Authority.

10 MR. COE: Hi. My name is Carlos Coe, the
11 managing director for Millennium Energy. We are an
12 advanced power systems company focused mainly in
13 renewables and the energy storage.

14 MR. CENTOTELLA: Hi. I'm Paul Centotella.
15 And I, among other affiliations, have my own consulting
16 company, and am a former commissioner on the Public
17 Utilities Commission of Ohio.

18 MR. ROBERTI: Hi there. I'm Paul Roberti.
19 I'm a commissioner at the Rhode Island Public Utilities
20 Commission.

21 MR. SIOSHANSI: Good afternoon. I'm Ramteen
22 Sioshansi. I'm in the industrial and systems engineering
23 department at The Ohio State University.

24 MS. TIERNEY: I'm Sue Tierney from The

1 Analysis Group. We're lesser known than you guys are.
2 I'm so honored to be a part of this group. I know many
3 of you, if not most of you, and it's really great to have
4 a chance to say hello. I am a senior advisor at Analysis
5 Group and am in Boston and about to move to Denver where
6 I will now be a Rockies gal. That will be fun. That's
7 after 33 years. And if you see a couple of tears on the
8 ground, it's just because it's hard to leave Boston. I
9 have worked at the Department of Energy in the Clinton
10 Administration as head of policy and had a number of
11 state jobs in Massachusetts as head of environment and as
12 a public utility commissioner. And I have to say that
13 one of the things I'm spending most of my time on these
14 days is things associated with great integration,
15 reliability, markets associated with a clean power plant.
16 So that's how I'm working these days. Again, it's so
17 nice to be here.

18 MR. BOSE: I'm Anjan Bose. I'm a professor
19 at Washington State University where I teach electric
20 power engineering.

21 MR. SHELTON: I'm Chris Shelton. I'm vice
22 president of New Energy Solutions at the AES Corporation,
23 also not quite as important to make the distinction. I'm
24 responsible for our distributed energy and energy storage

1 teams at AES.

2 MS. SANDERS: I'm Heather Sanders, and for
3 the last month I've been with Southern California Edison,
4 so I'm the same person, new role. I am responsible for
5 the integrated grid strategy and engagement, so making
6 our new future happen.

7 MS. LIN: My name is Janice Lin. It's really
8 great to be here. I'm one of the new people. I'm the
9 managing partner at Stratagen Consulting. We do
10 strategic advisory work exclusively in clean energy. I
11 co-founded the California Energy Storage Alliance. I am
12 the co-founder and chair of the Global Energy Storage
13 Alliance and the chair of Energy Storage North America
14 which is one of the largest grid connected storage
15 conferences in the world. Thanks.

16 MR. GELLINGS: Hi. I'm Clark Gellings. I'm
17 with the Electric Power Research Institute or EPRI. I'm
18 a fellow there.

19 MR. LAUBY: Mark Lauby, Senior Vice President
20 and Chief Officer of NERC.

21 MS. CURRIE: Phyllis Currie, another new
22 person. Up until July, I was general manager of Pasadena
23 Water and Power, Pasadena, California, and also I was
24 president of the California Municipal Utilities

1 Association that is the legislative group for public
2 power there. And I formerly was chair of the board of
3 American Public Power Association. I've been pleased to
4 spend the last 14 years at Pasadena. Prior to that, I
5 was the chief financial officer at LAPWP.

6 MR. VAN WELIE: Good afternoon, everyone.
7 Gordon Van Welie, CEO of ISO New England.

8 MR. MORRIS: Representative Jeff Morris from
9 Washington State. I chair the technology, energy, and
10 communications and our development committee there, and
11 the National Conference of State Legislative Energy Task
12 Force, and I support my political hobby with my energy
13 company that helps commercialize clean tech technologies.

14 MR. TILL: David Till, Chair of the Power
15 Delivery Subcommittee, and since July the senior manager
16 of Performance Analysis with the North American Electric
17 Reliability Corporation.

18 MR. BROWN: Hello. I'm Merwin Brown. I'm
19 chair of the Energy Storage Subcommittee of this full
20 committee. I'm also co-director of Electric Grid
21 Research at the California Institute for Energy
22 Environment which is housed at the University of
23 California Berkeley.

24 MS. REDER: I am Wanda Reder. I chair the

1 Smart Grid Subcommittee within the EAC. I'm the chief
2 strategy officer at S and C Electric Company, and I also
3 serve as a board of director on [Nitroply].

4 MR. POPOWSKY: Hi. I'm Sonny Popowsky. I
5 was the consumer advocate of Pennsylvania for many years,
6 now retired, and I'm the vice chair of the EAC.

7 MR. COWART: All right. Thank you very much,
8 everybody. I have to say that as I hear the short
9 recitation of people's interest and expertise I am
10 constantly impressed by the group that DOE has assembled
11 here. So congratulations to the department actually for
12 attracting you all to this committee. We have one bit of
13 business here, the ethics briefing. Are we prepared for
14 that right now? At point -- I know the new members have
15 received their ethics briefing, and I know that the old
16 members have all received their ethics briefing, so I
17 know we've all been briefed. If there's an additional
18 formality that we need to go through once again, the
19 department will let us know.

20 We also announced at the beginning of every
21 one of these meetings that the public is invited to
22 address the committee by signing up. There will be a
23 sign-up sheet today and tomorrow actually. And what we
24 do is reserve time at the end of the meeting tomorrow for

1 any member of the public who wishes to address the
2 committee. So if there are members of the public present
3 who wish to address the committee, please make a point of
4 signing the sign-up sheet which will be posted in the
5 foyer. All right. I think, Pat, it's up to you.

6 MS. HOFFMAN: So what I thought I'd do is
7 give a little bit of an update of what's going on in the
8 department, some of the things that we're currently
9 looking at, so maybe some of the success stories, things
10 that we accomplished. September 30th, of course, is the
11 end of the fiscal year for the Department of Energy. And
12 then hopefully with the continuum resolution and budget
13 we will have a new year starting up with work that we'll
14 continue to do. But I did want to give you an update,
15 first of all.

16 The QTR, we did release the Quadrennial
17 Technology Review earlier this month. For those of you
18 that aren't aware, it is a sister document to the
19 Quadrennial Energy Review. But the technology review is
20 an update of the prior document that was developed by the
21 Department of Energy where the goal was to take a very
22 hard look at what some of the technology options are,
23 what some of the solution sets are for a wide variety of
24 activities that is under the jurisdiction of the

1 Department of Energy. So we talk about nuclear
2 technologies, fossil technologies, grid technologies, and
3 use technologies such as vehicles, buildings, and it's a
4 very comprehensive document that looks at a rich set of
5 technologies and options for advancing the industry writ
6 large -- so it's a big document. It is up on the
7 website. I encourage you to take a quick scan of it,
8 look at it, think about some of the things that are in
9 there. Specifically for the electricity chapter and
10 section which I believe is Chapter 3, it really goes
11 through the whole kind of plethora of technologies that I
12 think the committee has talked about.

13 And I'll have to say I thank the committee
14 members that have participated in the newer stakeholder
15 sessions that we held in the development of the
16 Quadrennial Technology Review. I think the document is
17 extremely valuable as a result of your input, so I do
18 appreciate that. We are going to post some additional
19 documents that supported the development of the
20 Quadrennial Technology Review. Some of these are already
21 available on the web, some of them will be posted as soon
22 as they're finalized. The ones that are available are
23 the cyber and physical security background paper. The
24 flexible and distributed energy resources paper is also

1 posted, and the transmission and distribution component
2 section of the QTR is posted. The sections that we still
3 have yet to post are the design architecture and
4 concepts, electrical energy storage, measurement
5 communication and control. Those are three areas that
6 we're still finalizing in the sections, and we'll have
7 those posted soon.

8 With respect to -- I had some time to think
9 about some of the accomplishments that our organization
10 has had over the last year. And I thought while I was
11 doing that for our organization, I'd just share a couple
12 with you today, some of the things that I think we're
13 pretty proud of in looking at what we've accomplished for
14 the fiscal year 2015. First and foremost, which I think
15 most of you are aware, September was the final -- in
16 fact, September 30th is the final day we can allocate
17 funds and close out funds for the Recovery Act. We have
18 successfully done every sort of financial transaction
19 that we were required to do. Some of it is just like
20 there was a small amount of money left on contracts which
21 we had to clean up and work out, so we did everything --
22 now that doesn't mean that all of the contracts have
23 ended. Some of them are still going with industry funds
24 and the cost shared funds as part of the program. And we

1 will continue to follow that and continue to work on
2 that, but there are numerous reports that are on the
3 website that go through and take a hard look at the
4 success stories and recovery act on the smart grid
5 investments but also some of the lessons learned. So I
6 think that's a significant advancement that has gone on
7 there.

8 Some other things that are also things to
9 take note of with respect to energy storage, we've been
10 working with Washington State and Uni Energy
11 Technologies. They did license of Vanadium Redox Flow
12 Battery technology that was developed in partnership with
13 Pacific Northwest National Laboratories and funded by our
14 office. They are looking at installing different case
15 studies and looking at the use of flow batteries as a
16 support for the electric system.

17 In the area of microgrids, the State of
18 Vermont is working on a resiliency project in Rutland,
19 Vermont. And this was a partnership with the Vermont
20 Public Service Department with the state. And we're
21 really proud of some of the partnerships that we can work
22 out with the states. But we're looking at a microgrid
23 with energy storage and some photable ticks, but the goal
24 was to go after emergency situations to be able to

1 provide power during emergency -- time periods of
2 emergency. And so it was done in association with our
3 emergency facilities in the local region.

4 The Pacific Northwest National Laboratory had
5 a dedication in August for their new systems, engineering
6 laboratory. If anybody has some time or opportunity to
7 go visit PNNL, it is a fantastic facility that's looking
8 at modeling and computation and control tools for the
9 electric grid. They're also going to have a training
10 facility which is going to engage in the cyber side of
11 things. It's a very worthwhile facility that just opened
12 up in August.

13 For emergency response, even though, knock on
14 wood, I've got to be quiet, we didn't have any major
15 hurricanes that hit the mainland United States. We did
16 have some activity that affected Guam and Hawaii and
17 Martin Marietta Islands. But surprisingly we actually
18 did activate for 13 different incidents for emergency
19 response and for our organization. Nine of them were
20 tropical weather events, three of them were severe
21 weather events including like cold weather, and then one
22 wild fire we did provide some support and activation for
23 the wild fire side of things.

24 From a cyber security point of view, we had

1 some technology that was licensed. It was a technology
2 that was developed by Oak Ridge National Laboratory, and
3 it was really looking at trying to take and analyze the
4 functioning of control systems and taking a hard look at
5 some of the source code without having disclosure of the
6 source code, so it was a technology that has been
7 licensed. So that is -- at least it's good to get the
8 technologies from the laboratories and transfer out into
9 the marketplace.

10 So with respect to transmission, we did
11 release two environmental impact statements. So that's
12 pretty good from our point of view. And we are working
13 to finalize what we're calling a pre-application process.
14 The Department, and rightfully so, I would say the
15 government at large has been challenged on can we
16 effectively look at environmental permitting and the need
17 to actions and do this in a very efficient manner, still
18 taking into consideration all of the environmental
19 regulations that we have to follow but to work to make
20 this efficient. So we have developed a pre-application
21 process where we work with any sort of developer to make
22 sure that they have the right materials coming into the
23 Department, so that we can effectively process the permit
24 and the request for either a presidential permit or a

1 NEPA application that's under our responsibility.

2 Going into 2016, I would say that we're going
3 to continue to push the major thrusts in our organization
4 that we are currently working on with cyber security
5 looking at transmission, looking at technologies,
6 advanced technologies. But some of the other things that
7 are coming out in the dialogue that I just want to raise
8 attention to the committee for the sake of if you have
9 interest in the future taking a look at some of this as
10 well, the Administration did announce a smart cities
11 initiative. And from our organization, what we're going
12 to contribute as part of that is really the grid side of
13 it, investing in the grid architecture in saying, how can
14 we continue to invest? And you'll hear that theme
15 probably more and more with what I have to say. We are
16 really trying to take a look at how do we continue to
17 invest for the future? And so it's best seen in the city
18 infrastructure, but it's also the best thing to optimize
19 the services and the value that the grid providers,
20 consumers, and also from a resiliency point of view. How
21 do we prioritize some of those investments and those
22 investment strategies?

23 The second area is really just continuing to
24 look at the control system software, data, data

1 management, building off the smart grid technology,
2 building off of sensors, and really trying to capitalize
3 as much as we can from data analytics from being able to
4 see if we can look at asset management, to look at outage
5 management, but to continue to look at technology and
6 capabilities for the sector from a resiliency point of
7 point. And the third one I hinted to earlier, and that's
8 really trying to help with some of the discussions of how
9 do we invest for the future, making sure that we have an
10 all-hazard approach, look at whether it's looking at
11 climate, whether it's looking at physical security,
12 whether it's looking at cyber security. We really want
13 to take a strong effort to look at if priorities are in
14 these strategies near term or long term for investing in
15 the future.

16 One of the things that will come out probably
17 over the next year is the National Academy is doing a R
18 and D opportunity to look at risk and resiliency for the
19 sector. And so I'm hoping that as that -- as the
20 National Academy concludes their work we'll be able to
21 engage the committee on that. So with that, those are
22 some of my initial thoughts. And I know we're going to
23 have a great meeting with some great discussions going on
24 today with the agenda. And I look forward to a dialogue

1 with you in the future. Thank you.

2 MR. COWART: Pat, thank you. Our next agenda
3 item is an update on the grid modernization initiative.
4 And I believe Bill Parks is here to do that.

5 MR. PARKS: Kevin and I are here, and Kevin
6 is going to walk you through the presentation.

7 MR. COWART: All right.

8 MR. LYNN: So good afternoon, everybody. My
9 name is Kevin Lynn. And I'll just give you a brief
10 update today on the grid modernization initiative. So
11 why are we doing the grid modernization initiative? I
12 think we've given you a few presentations on this before.
13 I think the emergent threats, whether they be cyber,
14 physical, extreme events, the onset of renewables,
15 variable generation, both on the transmission and
16 distribution system, plus a host of new services that are
17 coming in presumers looking at distributed energy
18 resources are all sort of general drivers coming from the
19 system moving us from the 20th century into the 21st
20 century. These are some broad drivers that we work with
21 on the QTR in terms of what are some of the five broad
22 drivers that are driving us from this 20th century grid
23 to the 21st century. So the aging infrastructure being
24 one. Looking at a mix of different kind of generation,

1 variable generation, both looking at variable generation
2 wind and solar on the transmission side but also looking
3 at reverse power flow, things like reverse power flow on
4 that distribution, growing demands for more resilient and
5 reliable grid, things with Hurricane sandy, Hurricane
6 Katrina and others, again this growing supply --
7 opportunity for customers to participate in electricity
8 markets through presumers and then also the emergence of
9 the ICT information, communication and control
10 technology, to be able to control systems, to be able to
11 get visibility on the system, actually do controls in a
12 whole new way that we haven't been able to do in the
13 past. So from this, we've been looking at our vision and
14 really been focusing on a more -- one thing I think from
15 the grid modernization perspective, at least from my
16 perspective and I'm originally from -- worked at Sun Shop
17 for several years, but we focused on different attributes
18 of the system, whether it be can we build a more reliable
19 system, can we build a more resilient system or
20 affordable or more clean system?

21 One thing I think we want to try to do with
22 this particular initiative is how can we focus on
23 multiple attributes at once? Can we build a reliable,
24 resilient, affordable, clean system? Looking at all of

1 these different attributes and trying to do them all at
2 the same time. So that's kind of, I think, one of the
3 things that we've really tried to focus on. And as we
4 move forward with this initiative, we're trying to -- as
5 we get five, ten years down the road, how can we push
6 that forward looking at again public policy like this,
7 trying to make things more clean with renewable portfolio
8 standards or energy efficiency portfolio standards.

9 Also, one of the things that's a big piece of
10 this is increasing innovation, so developing a platform
11 for innovation on the system is one of the key -- really
12 key pieces of this. And also again to mitigate risks and
13 to secure the nation in terms of cyber and physical
14 threats. So these are the key attributes of the
15 modernized grid. Forget the color. I'll try to do
16 better with colors next time. But in terms of looking at
17 how can we do all of these -- manage all of these
18 attributes simultaneously? So again, reliable, secure,
19 affordable, flexible, sustainable, and resilient. And
20 one of the things that we're trying to do as part of our
21 grid modernization lab consortium is actually these are
22 -- there's a lot of different definitions in terms of --
23 and all in terms of the baseline across both nationally
24 and across regions of the country. What do we mean as

1 part of this group modernization initiative when we say
2 reliable, when we say secure, when we say resilient? We
3 are working with a national out consortium to try to
4 determine very strong, very firm definitions and what
5 those mean both nationally and then across different
6 regions of the country. So as we make progress, we'll
7 actually be able to measure success against those
8 baselines. So that's one of the key things that we're
9 trying to do as part of this.

10 So we've talked about this before, but these
11 are the six different technical thrust areas that we work
12 within the multi-year program plan. We've got 13
13 different programs from across the Department of Energy
14 that are moving into these six different areas. There's
15 at least six different chapters of the multi-year program
16 plan. So institutional support, starting from devices
17 and integrated systems, looking at characterizing new
18 devices, how can they support providing ancillary
19 services and other grid services to the grid, looking at
20 inner operability standards, looking at testing standards
21 to see how multiple different devices can support the
22 system all at once, looking at sensing of measurements,
23 looking at new ways of low cost visibility both on
24 buildings, the distribution system, the transmission

1 system, and looking at the analytics to take all of that
2 data and be able to do something meaningful with it with
3 operators.

4 System operations and power flow, how can we
5 build new grid architectures, new control paradigms to
6 control all of these different devices that are going on
7 in the system? New design and planning tools, how do we
8 know -- in ten years from today, how are we going to
9 design a system that can actually utilize all of these
10 new assets on the grid in a real way and a low cost way
11 and a beneficial way for everyone? Then institutional
12 support, how can we really reduce the risk for regulators
13 as all of these new devices are coming on the system,
14 being able to help them understand and develop, give them
15 the tools so they can actually implement many of these
16 research and development implications coming out of these
17 six different areas?

18 So I think as Pat mentioned, the QTR, much of
19 what we've done within the department of this multi-year
20 program plan comes directly out of the Quadrennial Energy
21 Report. It's a specific high level call out for in
22 chapter 3 of the Quadrennial Energy Report. Also, we
23 work closely with the QTR as well. And all of those
24 things were stakeholder and came into both the multi-year

1 program plan as well as the QER and the QTR. We're in
2 the middle. We're expecting to get back quite a host of
3 different proposals out of an integrated lab call for
4 modernization where we've had 14 different national labs
5 propose areas out of the multi-year program plan and
6 giving us proposals. We're expecting those tomorrow.
7 We're, in the near future, looking at ways where we can
8 actually do funding opportunities together across 13
9 different programs. We are working on that right now.
10 Obviously we're also looking at CRADAs and other ways we
11 can provide technical assistance, and that also ties back
12 to the lab call itself.

13 This is our organizational structure. I
14 think one of the things that take it way across is we
15 have each one of these lower -- we have our executive
16 committee, which Pat is the chair of. Looking with S4,
17 what David Daniel sent from energy efficiency and
18 renewable energy, and Melanie Kenderdine from EPSCoR, the
19 DOE leads, Bill Parks is the chair, I'm the vice chair,
20 as well as our national lab leads, Carl Imhoff] and
21 Brian Hannigan who have been here before as well. We
22 also have our six technical team leads, representatives
23 from each one of the national labs that lead each one of
24 those six technical areas that I just showed before,

1 devices, institutional, design and planning, et cetera,
2 that lead a whole host of about 65 different national lab
3 members, about ten within each one of those different
4 areas that are focused on actually using this structure
5 to respond to the lab call that's going on right now. So
6 this is a broad stretch of the energy -- Electricity
7 Advisory Committee is up there as well advising us as
8 well.

9 So this is some of the broad areas of the
10 grid modernization lab call. I mentioned some of the
11 foundational analysis creating -- you know, one of the
12 things was really just trying to create a baseline. What
13 do we mean by reliability, what do we mean by resilience,
14 and what does it look like across the country? That's
15 one of the things that we ask from the national labs.
16 Core activities include -- help us develop a baseline or
17 sort of an overall structure for evaluation for grid
18 architecture, a sensing measurement strategy that we can
19 apply across the board. Device characterization, what
20 kind of services can devices provide? Those are some of
21 the core activities we worked with. The pioneer regional
22 partnerships were one year partnerships. We were going
23 out to places like California, Vermont, Hawaii, across
24 the country trying to help them with their grid

1 modernization efforts more specifically. And then
2 foundational technical areas, basically within the
3 multi-year plan, we have developed all sorts of different
4 targets within the multi-year plan in each one of those
5 six different areas. Join proposals across multiple labs
6 to apply and then try to address each one of these areas
7 for FY16, that's in the multi-year program.

8 And then one of the questions that we've had
9 is -- when you have all of these six technical areas, how
10 do you pull it all together? What does that mean? So we
11 have these demonstrations where we're really looking at
12 how can we do demonstrations both on the transmission
13 system and the distribution system that basically take
14 all of those attributes and look at them in an integral
15 way. So how can we -- one of the major achievements when
16 we're trying to pull these areas together is wind solar
17 power systems. So can we basically help utilities --
18 instead of having a 15 percent reserve margin, look at --
19 with generation, look at maybe a 10 percent reserve
20 margin using distributed energy resources, using a
21 variety of new tools and technologies that are coming out
22 of the R and D efforts. Within the multi-year plan,
23 making it more affordable, maintaining the same level of
24 reliability. And at the same time, when you're pulling

1 all of these distributor energy resources, can you make
2 it maintain security as well when you're bringing all of
3 these different devices into the system? And you may be
4 needing more reserves as you bring in more clean
5 technology, like wind and solar into the system, can you
6 really lower reserves, generation-based reserves, while
7 bringing all of those clean devices onto the system and,
8 of course, maintaining resiliency?

9 So a second demonstration as are on the
10 distribution system where we're looking at developing
11 increasing the amount of clean energy, looking at a more
12 reliable system, focusing on microgrids, targeting fewer
13 outages and shorter recovery times. And again, when
14 you're pulling all of this DER onto the system, can you
15 maintain security when you have all of these new devices
16 on the system? And I think one of the more important
17 things that we've heard from the EAC a number of times is
18 trying to develop the right set of tools for folks to be
19 able to implement these new strategies. If you're trying
20 to modernize the grid and understand the implications of
21 a modernized grid -- most people don't have the tools to
22 figure out what it means to put hundreds of thousands of
23 distributed energy resource devices on the system. How
24 do we build those new tools so we can help and form

1 regulators, utilities, and others, the impacts of what
2 this means ten years from now? What does that mean?
3 What do those tools look like? So that's one of the
4 things that we're trying to build here as well as one of
5 these demonstrations.

6 So I think our request really from this
7 committee, and I think you have a lot of great ideas that
8 I've heard just even this morning, we have this
9 multi-year program plan. We're going to try to finalize
10 Version 1 of it in the next few weeks, but we're also
11 going to actually try to look at a Version 2 coming in
12 the spring of next year. And we're going to have
13 multiple different workshops on each one of the chapters
14 led by one of the national -- by the grid modernization
15 lab consortium. Getting your input between now and then
16 and attending these different workshops and providing
17 subject matter experts to attend those workshops would be
18 very helpful, I think, for us.

19 Also, as I mentioned, all of these solicitor
20 proposals are coming in tomorrow for our grid
21 modernization lab call. They're covering a range of the
22 activities they covered here this afternoon. Getting
23 your input on once we actually do some of the selections,
24 helping us sort of -- giving us ideas on how to shepherd

1 some of these projects through because some of these are
2 one year projects but many of them are three year
3 projects. And many of them will have implications for
4 all of the people in this room in terms of R and D and
5 what comes out of them, getting your input on that, and
6 again participation at all of the technical workshops.
7 We expect not only to have workshops that will help us
8 with MYPP but also we hope to be teaming with EPSA to be
9 doing -- just getting more regional information across
10 the country so this can be more impactful to all of the
11 different parts of the country. So with that, I'll take
12 questions, if we have time for questions.

13 MR. COWART: Any questions on this? Because
14 I think we'll then turn to a discussion that Anjan is
15 going to lead about the grid modernization working group.
16 Merwin?

17 MR. BROWN: Merwin Brown, University of
18 California. Maybe you said this and I didn't catch it,
19 but on the lab call, did you sort of pre-allocate how
20 much dollars was going to go to each area, or did you
21 just leave the whole thing open and sort of let the
22 ground-swell determine the allocation of where dollars
23 get spent?

24 MR. LYNN: So we did designate a certain

1 amount of dollars. We had two -- so it was basically
2 about a \$200 Million set of solicitations. One we called
3 foundational which looked across multiple offices,
4 funding important areas out of the multi-year program
5 plan. The other was more program specific which focused
6 on -- again still on a multi-year program plan but within
7 each one of the different programs areas of activity.
8 But we did on the foundational side look at, hey, for a
9 baseline, how much money do we think we need to do for a
10 baseline? How much do we need to do for a grid
11 architecture evaluation? So we did targets and values
12 for that. And that's available on the web by the way.
13 We can provide it.

14 MR. COWART: Billy?

15 MR. BALL: Billy Ball, Southern County
16 Transmission. Kevin, you mentioned maybe -- I think you
17 said maybe half a dozen technical workshops; is that
18 right?

19 MR. LYNN: That's correct.

20 MR. BALL: Are you trying to get all of those
21 in? It sounded like before the spring?

22 MR. LYNN: Well, we're trying to -- we would
23 like to have a Version 2. We would have liked to have it
24 earlier, but I think January is probably a reasonable

1 time to start having those workshops, so we were looking
2 probably in the January to March time frame. And we'd
3 like to have -- Bill can talk more about this too -- a
4 grid submit. So sort of, hey, we've got Version 1, we've
5 got all of this input across those six different chapters
6 for Version 2, and then sort of have a broader grid
7 submit so we could sort of talk more about the MYPP
8 itself, some of the early winds on the lab call, and also
9 just sort of pierce MYPP 2.0 as we go forward, and here's
10 some of the work that we've been doing.

11 MR. BALL: I would just encourage you to, if
12 possible, to get some dates out there as soon as
13 possible. That time of year right after the first of the
14 year, there's just meeting after meeting after meeting.
15 And I know that these would be some good things to
16 attend, and I would just hate them to get lost in the
17 chaos of the first of the year. So if you could send
18 those out as soon as possible, that would be great.

19 MR. MEYER: Billy, thanks for saying that.
20 We appreciate it. We're also trying to say -- work on
21 some of these -- hook up like to the NAERC meeting or
22 whatever else and then also EPSA is planning meetings as
23 part of the QDR 1.2, so we're trying to coordinate with
24 them, so we don't ask you to go to 18 different meetings.

1 So we're trying, but we may only be able to get it down
2 to like 15 or 14 or something.

3 MR. COWART: Along those lines, do you have
4 sort of a lineup for how you're carving up the topics for
5 the technical workshops, or are they more geographically
6 spread and everything is going to be on the table at
7 every one?

8 MR. LYNN: I mean, we want to do it by
9 chapter. So if you go back to -- or if I went back to
10 the actual breakdown here, so we have the six different
11 technical areas. You can't really read it, but we have
12 the six different technical areas each representing each
13 one of the chapters. We haven't decided where and when
14 exactly they are going to be, but hopefully there will be
15 some geographic disproportion, and we'll be all in the
16 same place.

17 MR. COWART: All right. Thank you. Anything
18 further? Anjan?

19 MR. BOSE: Okay. I thought I'll fill you up
20 on what the working group is doing. As you may remember,
21 we formed a working group last -- at the last meeting to
22 help with the grid modernization effort here. And I
23 think Kevin put up on the last slide the things that they
24 would like us to help with. We've had a couple of phone

1 conversations and a meeting this morning, and we're still
2 trying to lay out what the working group will do. So
3 just to give you an idea of why it's not more definite
4 than that is that what we had -- after the last meeting
5 actually, Bill and Kevin provided us with the drafts of
6 the six chapters, those six different areas in the NYPP.
7 So we had a chance to react to those on our phone calls.
8 As the NYPP, those six chapters are finalized within the
9 next couple of weeks, I believe. I think our job is to
10 sort of give the feedback on those six chapters. Five of
11 them are technical, as you noticed, and one of them
12 institutional.

13 One issue that we kind of first batted around
14 was the fact that these six chapters are not separate
15 chapters. The plan is an integrated plan of all those
16 together, and so the -- one of the thoughts that we had
17 was to write an executive chapter or help Kevin and Bill
18 write an executive summary off those chapters and how
19 they integrate. So the words that were batted about were
20 words like integration, reliability, planning, system
21 planning, system operation, simulation -- end to end
22 simulations, those kind of things. Those kind of bring
23 together to separate out grid research from component
24 research.

1 The other thing I think we're kind of working
2 with is the moving landscape as you heard that the QER
3 has a chapter on grid modernization, the QTR has a
4 chapter on grid modernization, and then of course this
5 whole thing is on grid modernization. And so Kevin says
6 that they were already taken care of, that all of these
7 map properly. But the QER, as Kevin pointed out, the
8 same team is going to -- the next thing they're trying to
9 do is to get more details on each of their sections. And
10 the first section they're going to work on is grid
11 modernization. So there's a chapter on the grid. So all
12 of these are moving. In the meantime, the lab call has
13 gone out, and we will have in another month or in the
14 next four to six weeks a set of projects that the labs
15 will embark on as has to do with addressing some of these
16 issues.

17 And finally, of course, people in DOE are
18 working with the budget tasks. So the future of these
19 issues, of course, depend -- the future of this research
20 is, of course, dependent on whether the money comes in or
21 not. So budget 2016 is sort of slipping away, I think,
22 and we're now working on budget 2017. So all of those
23 are kind of on the table for discussion. So if you have
24 any advise for the working group, we'd be happy to take

1 them.

2 MR. COWART: I should also point out for the
3 benefit of new members that this committee is a very
4 participatory committee. And the way we work is that
5 there are some established subcommittees, and then there
6 are working groups. And the established subcommittees
7 tend to stay in place for a long time year after year. A
8 couple of them are actually mandated by congressional
9 act. But the working groups are ad hoc and work on
10 projects that the committee members themselves feel are
11 important and need to be done. So we are constantly in
12 the process of recruiting members of the committee and
13 especially the new members of the committee because we
14 want to tap your brains as quickly and thoroughly as
15 possible. The committee doesn't really have a staff to
16 produce the written work that we produce. By intention,
17 the idea of a FACCA committee like this one is that we
18 ourselves are providing advice to the department
19 individually and through our deliberations as a group.
20 And for that reason, we don't hire staff to prepare
21 papers for us. We write them ourselves. So I'm saying
22 this now as the new members are sitting here to remind
23 you that we will be --

24 MS. TIERNEY: Why didn't you tell us before?

1 MR. COWART: We will be recruiting you, and
2 we want you to volunteer to work on the issue areas
3 really concerning you and where you can make a
4 contribution. We have such a huge amount of talent in
5 the room. I didn't want to let the moment pass as we
6 were discussing the launch of this new working group on
7 grid modernization. Thank you. We should, Sami, make
8 sure that we pass around the sign-up sheet. And people
9 should feel free to speak with other members or with me
10 if you want to talk about appropriate assignments and how
11 you can plug in and participate in the work of the group.
12 Anything further on the grid modernization?

13 Next is a panel that has been put together by
14 the energy storage subcommittee, one of the statutory
15 subcommittees, and Chris Shelton will lead that off.

16 MR. SHELTON: Okay. Great. Because I was in
17 the leadership meeting, I didn't get a chance to meet all
18 of the participants. Go ahead and come on up, the panel
19 participants. So before I introduce the panelists, I
20 want to give a little bit of a background. No slides
21 except for this one. We have been working on the energy
22 storage subcommittee focusing on trying to find new
23 ground where we could encourage additional analysis by
24 DOE in the area of energy storage adoptions within the

1 spirit of DOE's mission and our objective here as EAC in
2 advising their activities. Earlier this year, the
3 subcommittee came up with the idea of -- or it may have
4 been the end of last year, early this year, the idea of
5 high penetration of energy storage. So as a backdrop to
6 the panel, I want to encourage everyone here in case you
7 haven't heard about what we're trying to do here to think
8 about sort of the mid 2000s, maybe early 2000s, as
9 renewables were being brought on to the system and many
10 years before that. I believe this analysis actually
11 started in the '70s by what became DOE later. The idea
12 that if we were going to have a lot of renewables on the
13 electric grid, we needed to analyze that and think about
14 what it meant to have 30 percent of our energy on the
15 grid coming from renewables, or 50 percent as now
16 California and other folks are talking about.

17 The government in the form of DOE and NREL
18 did a lot of good work in exploring what it meant to have
19 a large percentage of renewables on the system, what the
20 implications would be, what we would need to work on as
21 stakeholders to advance the adoption and the absorption
22 of renewable energy on the electric grid. So that's the
23 analogy, I guess, that we're starting this panel with in
24 saying we felt like, as an energy subcommittee, that type

1 of thought and exploration of a high penetration of
2 storage had not been fully done. There are studies out
3 there that have attempted this. They've come at it from
4 different angles. A lot of them have been limited by
5 technology aspects and hurdles of wondering whether
6 technology would show up or wondering what the cost of
7 the technology would be and how that might limit the
8 amount of storage you would have.

9 What we're trying to do in this work product
10 and ultimately a paper that would come back to the
11 committee is explore without those constraints, assume
12 that technology evolution happens, and that there is a
13 quality efficient energy storage resource capability that
14 can be deployed. And then let's fast forward and think
15 about what does that mean, and then what do we need to do
16 if that's a possibility in our future. So that's sort of
17 the backdrop.

18 So before we go into the panel in detail, I
19 want to allow each of our expert panelists to come up and
20 share their perspectives on storage and also their
21 background and what they're working on, so that you
22 understand their perspectives and we get the benefit of
23 having their perspectives as a foundation for what we're
24 talking about today. So I want to start with Ed Cazalet.

1 He's from TeMIX and Megawatt Storage Farms. He has 45
2 years of experience in the industry, and he holds a Ph.D.
3 from Stanford, so let's go ahead and listen to what Ed
4 has to bring.

5 MR. CAZALET: Well, thank you. I know many
6 of you in the audience but certainly not everyone. I'm
7 going to be talking in the next five minutes about my
8 perspective on high penetration storage and particularly
9 the role transactive markets can play in support of that.
10 I'm a markets guy, but I'm also the guy that initiated
11 the concept of the mandate for storage in California, so
12 I'll talk about mandates versus markets, two Ms.

13 Next, my background, I've developed markets
14 such as automated power exchange, the first online power
15 exchange. I've been on the board of governors at the
16 California ISO, so I see it from that operator point of
17 view. And I've been working on storage for some time.

18 As Chris said, we've got -- doing really well
19 in renewables. We've got low-cost solar right now, and
20 it's getting cheaper. We got this quest for resiliency.
21 We're getting inexpensive, low-cost storage. We're
22 getting high volume manufacturing. I suggest that what
23 we're going to need is markets as systems where any party
24 can install storage when, where, and any size, and move

1 it when he wants to. We need coordinated decentralized
2 operation investment, and we need new business of
3 regulatory mile. Storage is going to change the game in
4 electricity just because it's a two-way system that is
5 neither generation nor load.

6 What's going to inhibit high penetration
7 storage? Attempts to centrally dispatch. Just think of
8 the problem when I've got millions of batteries out there
9 all made by different manufacturers, all a different age,
10 all a different state and charge and temperature and
11 degree of wear. I don't know exactly what those
12 batteries are because they're moving. Each of the
13 batteries is a different purpose for the -- it also may
14 have a grid purpose. How are you going to centrally
15 dispatch that? You can't. So we need systems that will
16 do it differently. One approach is to say, well, we'll
17 just aggregate that and create a virtual power plant out
18 of that. When you do that, you lose a lot of
19 information, you lose a lot of control, and you really
20 don't get what you want.

21 Along those same lines, well, we'll just
22 create this independent distribution system operator on
23 the distribution grid. It will act like an ISO for the
24 distribution grid and centrally dispatch all of those

1 resources. Same problem even more complex. And then you
2 got to coordinate it with the system operator. So an
3 impossible coordination problem. You've heard in this
4 panel the concept of transactive energy, and certainly
5 you've spent some money and time with PNNL necessary and
6 transactive energy. The approach to transactive energy
7 I'm describing here is different. It's got four big
8 ideas in it that are fundamental to the way the industry
9 has worked and ought to work. First off, it's not just
10 about spot pricing. It's about coordinating forward
11 investments by consumers, producers, transmission owners,
12 and that sort of thing using transactions that may
13 involve a negotiating process, involves price and
14 contracts.

15 Secondly, you spot transactions to coordinate
16 operations end to end on the grid. In this new
17 framework, all parties can act anonymously coordinated
18 through these transactions. And when you look at it very
19 fundamentally, there are only two products, energy and
20 the ability to move energy from one point to the other.
21 Start with a simple product rather than starting with
22 lots of complex problems. It creates new business
23 models. I have a book called Transactive Energy, a
24 Sustainable Business and Regulatory Model for

1 Electricity. You implement this on platforms like --
2 everybody is talking about platforms for transactions.
3 Here you have a platform in the middle. The set of
4 intermediaries help create a market, sets that energy
5 service providers, the presumer, the storage owners, the
6 producers and consumers all can receive offers to buy and
7 sell both current and forward so they know how to make
8 decisions.

9 The transport services parties can also
10 participate in this market in a similar way. What does
11 that look like from an individual facility? Imagine a
12 facility where a home, a business in this cartoon-like
13 facility where the car comes home, plugs in, and it knows
14 -- it can buy or sell power for the next five intervals,
15 five minutes after that, five minutes after that to the
16 rest of the day. The owner knows he needs the car
17 charged in six hours. It can be done in three hours. So
18 it goes and finds the cheapest set of five minute
19 intervals and buys the power in those five minute
20 intervals. Some intervals can reverse flow and it can
21 sell back power and make money.

22 The wind changes, the solar changes, it can
23 re-optimize that all done in a decentralized way, all
24 interacting. The same concept applies to the battery in

1 the home, the water heater, the generator, HVAC system,
2 anything out on the grid. This is what transactive
3 energy looks like when you implement it. So I'll be
4 coming back and addressing some of these issues during
5 the following discussion. Thank you.

6 MR. SHELTON: Okay. Next I would like to
7 invite Susan Kennedy up. She's CEO at Advanced Microgrid
8 Solutions doing work at the edge of the grid. So please
9 welcome Susan.

10 MS. KENNEDY: Thank you. I've decided to
11 change my name. I'm going to be called Donna Quixote.
12 I'm going to -- my job is to do everything that Ed
13 Cazalet says is impossible. Can I control the slides?
14 Yes, okay. So my background is I was Governor
15 Schwarzenegger's chief of staff and in that role did a
16 lot of the policy work on climate change, low carbon fuel
17 standards renewable portfolio standards. And before
18 that, I was Governor Davis's cabinet secretary during the
19 energy crisis in California where I led under the
20 emergency demand response campaigns called Flex Your
21 Power. We shaved 5,000 megawatts off peak using
22 voluntary building management systems.

23 In between those two stints in government, I
24 was sentenced to the Public Utilities Commission where I

1 focused for three years on mostly energy efficiency
2 renewables telecommunications, but I really -- my job was
3 to help straighten out the energy markets in California
4 and put in place what is now called the loading order
5 energy efficiency first, demand response first, renewable
6 second, fossil fuel third. And that is the loading order
7 which our procurement is still organized today in
8 California.

9 So the seminal experience for me though was
10 during the energy crisis where we had to figure out how
11 to control our fate by tapping into the demand
12 responsibility of the buildings themselves before we had
13 smart meters, before we had many of these technologies
14 that were out there. So I learned a tremendous amount about the
15 power of that. Co-founder in AMS was Jackie Pfannensteil
16 who was the -- she was a chairman of the energy
17 commission in California, and then she went to the Navy
18 as the assistant secretary for energy in the environment
19 where she did a lot of the Navy's microgrid work. So
20 Jackie and I started the company because we saw that in
21 California where we have moved the needle on renewables
22 to a great degree permitting 5,000 megawatts of
23 renewables in 2009 alone, and then 7,000 in 2010 -- or
24 the next year. We've sort of become the victims of our

1 success.

2 And when San Onofre nuclear facility was
3 taken off line, we suddenly had problems balancing the
4 load even though we had brought on -- we had a 44 percent
5 reserve margin in California. We had trouble getting the
6 load or the generation where the load was, so we realized
7 that the secret to moving forward is going to be
8 upgrading the distribution grid and focusing on demand
9 response and behind the meter. So what we did was focus
10 on the -- Southern California Edison was doing the first
11 all-resource procurement in California where demand
12 response and renewables and peaker plants, gas fired
13 would all compete in the same procurement. And so we had
14 to take this concept of using demand response with
15 battery technology and software and advanced software and
16 make it look, feel, act, value just like a capacity
17 resource that the utility could value alongside a
18 generation plant. And what Edison did was truly, truly
19 groundbreaking in that they bought a product, a capacity
20 product that came in the form of demand response and they
21 valued it in the same way they would value a peaker
22 plant. And so we won a 50 megawatt contract with
23 Southern California Edison. And so I now have one
24 revenue stream which is a capacity payment from the

1 utility. Now, I have to go and develop the additional
2 revenue streams that allow this new model to be economic.
3 So I'm just going to describe a couple of our projects so
4 you get sort of how we're doing this.

5 The first ten megawatts of our project is a
6 concentrated 26 commercial office buildings owned by one
7 owner, so we have one agreement with the owner. They
8 gave us their fleet of buildings in this particular area
9 concentrated around substations where we know the grid is
10 vulnerable. And by concentrating the largest systems, we
11 can develop as much of the building load as possible, we
12 are using the building load itself as the storage unit,
13 and we are able to shave 25 percent off their peak demand
14 reduction. It saves them almost a million dollars a
15 year. There's ten megawatts of firm dispatch able
16 capacity for the utility, zero emissions and zero
17 distribution upgrades. And so you can see by the -- we
18 are basically -- the batteries turn the building into a
19 hybrid electric building where it shaves its own peak,
20 and then we reserve enough capacity so when we get a
21 dispatch order from the utility we can develop the
22 designated amount of load, and we operate the whole 26
23 buildings as a portfolio. And so that ten megawatts will
24 always be there when the utility needs it.

1 Some of our projects are big industrial
2 facilities like waste water treatment plants where we're
3 using the batteries to firm and shape the on-site solar
4 that's already on the facility. And you can see from
5 this that not only does it -- because we are integrating
6 the solar with the batteries for the host customer,
7 they're saving an enormous amount, anywhere between 8 and
8 15 percent of their bill, and it helps to pay for the
9 system. In addition, we're also reserving the same
10 capacity for dispatch to the utility.

11 So in my view, the technology exists out
12 there today in order to lead to a world where penetration
13 of storage is very deep. But in order to really get full
14 penetration, we'll need to have building standards that
15 require all facilities to be able to store their own
16 energy, have advanced metering and auto demand response
17 built in. We don't think about energy efficiency in
18 California today because we put in place some of the very
19 forward leaning aggressive energy efficiency technologies
20 40 years ago. And today, it's an enormous asset,
21 enormously valuable, but we don't think about it because
22 the buildings come equipped with that.

23 Some day if you want to get to really deep
24 penetration, we can't think about the fact that --

1 someone has to pay to install the AMI and the ADR and the
2 storage stuff today, which makes it very cost
3 prohibitive. If all facilities came with that built in,
4 it opens up a lot of the -- takes a lot of the cost out
5 of the system. The distribution system -- right now, we
6 have these artificial lines between where the
7 distribution system begins and ends, and we have to be
8 able to eliminate that line. The distribution system
9 does not stop at the customer meter. That's an artifice.
10 And it's a market based artifice. So in order to -- if
11 you're really going to tap into it, there has to be some
12 -- a seamless integration so that we're using building
13 load that's backed by storage for conservation, voltage
14 reduction, and managing the distribution -- and avoiding
15 any of the distribution upgrades that are being planned
16 today. Rate design has to incentivize energy storage.
17 As simple as a differential between peak and off peak so
18 you can charge the batteries cost effectively at night so
19 that any utility can look at the levelized cost of energy
20 and be able to compare that to the distribution upgrade
21 or the capacity that they would be purchasing.

22 The market rules have to be clear that allow
23 wholesale participation. Right now, the contracts that
24 we're negotiating, it's unclear whether or not our

1 product can even be sold in the wholesale market, how
2 it's measured and settled. Well, utility can't value a
3 product if they don't know whether or not it can be used
4 at the wholesale level. They don't know how to value it,
5 so they can't issue contracts.

6 A couple of final points. The utilities
7 spent about \$100 Billion a year in 2014 on the
8 distribution system alone. We're chasing the load curve.
9 And if storage and auto demand response software is
10 deployed throughout, we can actually be reshaping the
11 load curve, and we can do it a lot more cost effectively
12 than we are today. We're at the very, very beginning of
13 being able to articulate what the various uses of energy
14 storage are. And I'm talking to host customers today
15 with a couple of our projects about the multiple uses
16 peak shaving they get, load shifting, load shaping
17 they're starting to get. We're seeing clients where
18 they've got enormous potential for negative demand
19 recapture if we can -- if we can set up the batteries
20 that way. The backup power, the power quality is an
21 enormous issue for most of these folks. So finding a way
22 to value that when -- on the customer side of the meter
23 is a key. Instituting the auto demand response, the
24 transparency, so this type of a resource at the disputed

1 level is controllable and transparent in real time to the
2 utility is absolutely critical. We're only at five
3 percent today where we even have a two-way verifiable
4 signal on load management, five percent. So we have a
5 long way to go before we can access the distributed
6 resources by the utilities.

7 The key in the long-term is going to be to be
8 able to have these distributed resources deployed, to
9 have this transparent communication system in place, and
10 to be able to literally manage demand below -- at the
11 feeder level for purposes of congestion relief or peaking
12 and spinning reserve and things where you don't need to
13 have a generation resource and move that energy from one
14 place to another to do it when you have the built-in
15 capability at the buildings themselves.

16 Finally, this is, I think -- the area that
17 we're working in as an aggregator of these resources,
18 we're really the pioneers at the grid edge. And
19 everything we're focused on is eliminating the lines
20 between the grid -- the customer side and the utility
21 side so that we can ascribe multiple values on both sides
22 of the meter to an energy storage system. For one energy
23 storage system that's installed can produce peak shaving
24 energy cost reduction, islanding capability, demand

1 response, solar integration, be integrated with EV
2 charging. On the utility side, it can be performed
3 dispatchable capacity, volt VAR optimization, generation
4 sync, and all of these products in the wholesale market.
5 And a distributed resource aggregator, I believe, is the
6 key in order to be able to put these in portfolios that
7 are utility facing not customer facing. So instead of us
8 going out and trying to sell our equipment to everybody
9 under the sun and then aggregating that load and trying
10 to sell it to the utility, we're actually designing these
11 installations in an area where the utility needs it in a
12 concentrated area so that it's a resource for the
13 utility. I'll stop there.

14 MR. SHELTON: Thank you, Susan. Next we have
15 John Shelk from Electric Power Supply Association.

16 MR. SHELK: Good afternoon. It's a privilege
17 to be here with so many folks I've worked with over the
18 years. And whenever I'm before a DEO audience, I always
19 have to say we are the other EPSA. While I worked with
20 Melanie [Kendradine] well into the last century, we kid
21 that the acronyms are the same, but we're still the
22 vintage private sector EPSA. Basically, this slide, I
23 think, folks are well aware of us. We have over 200,000
24 megawatts, fuel diverse megawatts. And the important

1 point I think for purposes of this discussion is that
2 over 95 percent of the membered megawatts are in the RTOs
3 and ISOs where our members are relying on market revenues
4 from energy capacity and ancillary service markets to
5 make investment decisions and to provide service.

6 I wish everyone had to be a member to get a
7 market based rate approval from FERC, but that is not the
8 case, so we have many nonmember competitive suppliers
9 that make up about 40 percent of the capacity in the
10 country. And I think it's important to say that
11 underestimates the importance of those dependent on
12 market revenues because there's many -- I think all
13 around the room know -- many regions of the country from
14 New England, New York, PJM, and certainly Texas are
15 almost entirely served by competitive suppliers.

16 We're very interested in energy storage.
17 It's an issue that we had a specific panel about at our
18 annual meeting this past year. We don't have a specific
19 association policy, so I'm making these remarks, and I
20 appreciate the chance to offer, I think, a point of view
21 you might not otherwise hear based on our overall policy
22 about well-functioning markets. This list is -- well,
23 let's see if we can advance the slides here. There we
24 go. I think this is well familiar to everybody, and I

1 won't go through it too much except to say that a lot is
2 already happening.

3 As everyone knows from technology changes
4 public policy changes, such as the clean power plant
5 which we certainly welcome. There's a lot of potential
6 for good things to happen. There's a lot of potential
7 for some unintended harmful things to happen. And based
8 on the discussion coming into the panel and Chris's
9 description, I sort of say on the uncle of some submit,
10 and I think that's sort of the premise of some of the
11 discussion that you have to have a high penetration of
12 energy storage to handle the rise of distributed
13 resources and renewables. I'm not here to say yes or no.
14 I'm the lawyer not the technical expert. I would just
15 point out that as we heard at our annual meeting and if
16 you look at some papers just yesterday, [Enese]
17 ClimateWire talked about a new paper from two professors
18 at Harvard who challenged the assumption that at least in
19 the short-term high penetrations of energy storage would
20 be needed. There was even an American Chemical Society
21 paper the last couple of months saying that emissions may
22 actually increase from storage. So the main point I'm
23 trying to make is I think it would be incumbent upon the
24 department and the committee to really take a

1 comprehensive view of all of the effects of having a
2 higher level of storage not assume or work backwards from
3 an end state that some might desire but instead define
4 attributes and functions and determine the best way to go
5 about it.

6 This is a rather busy slide. You can look at
7 it later. I would simply say that the most important
8 point for me in this one -- and I'm glad to discuss any
9 of the seven, but the key is really the impact on energy
10 market price formation. It is the largest single source
11 of revenue for generators such as those I represent and
12 others in these competitive markets. And as I mentioned
13 at the outset together with capacity market revenues
14 really determine the investment decisions including new
15 investment, maintaining existing resources, as well as
16 decisions about retirement. We already know that the
17 resource mix is changing. It will continue to change.
18 That change will accelerate. But the one thing we know
19 it's not overnight. So whether you pick a future
20 percentage of any level, the balance of the resources are
21 still going to have to be met from things that are not
22 related to storage, and you certainly can't bolt on or
23 add a high level of storage without looking at how it
24 impacts the rest of the market. And this isn't something

1 that I'm just saying that we're just saying because
2 that's who we are and this is our source of revenue.

3 To his credit, Secretary Moniz has been very
4 actively speaking about energy price formation issues in
5 recent weeks in [Borums]. Most importantly, the Federal
6 Energy Regulatory Commission began a project on this
7 topic over three years ago now at the staff level and
8 publicly really very vocally since the fall of 2013.
9 Just earlier this month, the commission launched a notice
10 of proposed rulemaking that's really the low hanging
11 fruit of how do you deal with some mechanical aspects of
12 how energy prices are formed in these markets that these
13 plants rely on. And it's really around pretty technical
14 things that are important but nonetheless technical like
15 syncing up the dispatch intervals and the financial
16 settlement intervals and looking at other aspects
17 particularly scarcity pricing.

18 But the commission most importantly into the
19 credit of all five commissioners on a bipartisan basis,
20 they spoke of the importance of tackling a broader set of
21 energy price formation issues. And I mention this first
22 because I think it underscores the importance of the
23 issue. It can't be ignored. It shouldn't be ignored.
24 So other policies and options that might be pursued

1 should take this into account. And it's not just a
2 theoretical problem, it's a problem that's already
3 happening today. So if renewables increase their
4 penetration because they're cheaper or because of policy
5 mandates, either way the conundrum that we're now facing,
6 and I think we all have to grapple with in this context
7 and others is these are essentially low to zero marginal
8 cost resources at a time when the market design
9 essentially dispatches plants on a marginal cost basis.
10 So we already have the challenge.

11 Subsidies make the challenge arguably more
12 intense. I think as the commission whose forward in
13 price formation and they've said they're going to look at
14 four topics uplift drivers, uplift transparency,
15 mitigation, and energy market offer caps. You are going
16 to see folks -- and again, this is one since I've got
17 members with water renewables and nuclear and gas, you
18 can imagine some of the differences internally. But I
19 think as the price formation issue moves forward, you're
20 going to see people come to the floor with proposals to
21 deal with the existing challenges not so much in what
22 would happen with storage. And storage could -- frankly
23 could go in two different directions, and so I think some
24 of the work that needs to occur is to try to quantify

1 that or at least be aware of it. So obviously at off
2 peak hours, shoulder time, a storage charging could
3 actually increase demand during those times and address
4 some of the loathe and negative prices that exist today.

5 On the other hand, when storage is discharged
6 depending on all of the rules and the issues that Susan
7 and Ed mentioned, you could actually have a crashing of
8 the market. So at a time when energy price is already at
9 historic lows, decisions are being made about investment.
10 The take-away here isn't to say that a storage is good or
11 bad. It's something I think that's coming. We are going
12 to see more of it. My only point, I appreciate the
13 chance to make it, is that we sort of have to take and
14 should take a very comprehensive view to make sure we're
15 looking at this from all of the different angles not
16 presupposed and end state but talk about functions and
17 needs. And it's referred to in Order 755 that's helped
18 storage so much on the frequency side define the
19 function. And they'll let people compete on a market
20 basis to provide that function in a cost effective
21 manner. So again, I appreciate the chance to participate
22 and look forward to the discussion. Thanks.

23 MR. SHELTON: Thank you, John. I'm sure
24 everyone is chomping at the bit to have a little bit of

1 conversation about this. We will have plenty. So next I
2 want to invite Mark Irwin up from Southern California
3 Edison. He's director of technology development and
4 responsible for energy storage, the energy storage area.
5 Thanks.

6 MR. IRWIN: So thank you for having me here
7 today. And I'm going to obviously share a little bit
8 different perspective and some different thoughts than
9 the rest of the panel. My role and my history, I've
10 spent a lot of time in power project development and
11 renewable contracting, in the last four and a half years
12 in energy storage. We've had the great opportunity at
13 Edison to have two ARRA projects that the DOE has
14 supported that's actually a lot of our experience that
15 I'm going to talk about today. So that's helped form
16 what we're doing, and we're really appreciative of that.
17 And I saw the list of opportunities coming up, and I know
18 I've signed a couple of letters to support on different
19 things that are being proposed here in the next few days,
20 so we look forward to continued participation in many of
21 the DOE programs.

22 So first of all, what is Edison doing? And
23 I'm going to try to put a box around what we're doing and
24 what I'm talking about, so what I'm focused on is utility

1 owned storage. You heard Susan and Ed talk about market
2 opportunities. At Edison, we're buying market only
3 products in the market. We're buying demand resource
4 products in the market. We're looking at developing
5 utility owned storage for the distribution system that
6 will support the distribution system and also participate
7 in the market when distribution doesn't need it. So it's
8 a little different, little different angle, and it's an
9 angle I think we're one of a few that are playing in that
10 space.

11 First of all, what's our work informed by?
12 So we've had for a little over 20 years our electric
13 vehicle technical center where we have done work in
14 testing batteries initially for transportation, but we've
15 tested battery chemistries for both transportation and
16 grid in the last few years as we've seen storage, grid
17 storage emerge, and as we've had the two ARRA projects.
18 We've looked at system and subsystem lab testing. We've
19 looked at field demonstrations and pilots. We have our
20 large [e Hatch By] project which is one of our DOE
21 demonstration projects. The other is our urban smart
22 grid demonstration project actually has four different
23 storage systems in that broader smart grid demonstration
24 project. So we've learned from those. We've recently

1 deployed our first pilot project that we deploy just
2 before this summer out on the distribution system to
3 solve a particular problem so different from
4 demonstration where we try to show what a device can do.
5 We've actually got a device out there that's reliant, the
6 system is reliant on it. And we're moving towards a
7 greater system deployment.

8 So again, I talked about what we call dual
9 use storage, applying energy storage as a distribution
10 asset and when there's no distribution function need
11 which people have described before, Susan did a great job
12 of talking about the peaking of the system, the
13 distribution system has some needle peaks that we do a
14 lot of our planning and asset build about. As we go on
15 and flatten those peaks out obviously it will change the
16 build but today we see storage as helping us meet those
17 distribution peaks which occur fairly infrequently, and
18 so there's a lot of time for the device to participate in
19 the market when we're not in that situation.

20 So on the distribution system, one of our
21 biggest challenges is, and we think a right area for
22 utilities generally is what's the value look like? So
23 the value we know is the distribution asset we're going
24 to defer. And we can decide, okay, we've got a wires

1 upgrade at a particular location, and we can look at what
2 that cost defer is. Things that we're starting to learn
3 that we know there's value to but we don't have all of
4 the value to yet is what can we do about equipment life
5 extension, whether it's extended the life of a
6 transformer by not putting as heavy duty on it, whether
7 it's providing voltage support instead of an alternative
8 device that's doing that. Some of the unknown values
9 that people in storage space are wanting to take credit
10 for and quantify, but I don't think we've yet proven what
11 they are and exactly how to value them. And I think
12 that's some of the things we're talking still about in
13 market space. But distribution space, what's the value
14 of power quality and improvement? What's the value of
15 DER integration? Can we enhance that with storage?
16 What's that incremental delta? Is there value in the
17 reactive power capabilities? There's value, what is it?
18 How can we improve that? What's the uplift and
19 reliability, if any, from a distribution storage device?
20 And other identified values. So this is an area that we
21 think is really ripe for work. And I think it's
22 challenging for utilities to say, I want to build
23 something when somebody hasn't proven the value streams.
24 And I think the market value streams we can assess and

1 think about, but I think we're still challenged by the
2 distribution market streams. And this is some of the
3 work we're doing as a company today, but it's also some
4 of the work we think that is good to be done in the
5 research area.

6 So just to conclude my remarks really, you
7 know, some of the gaps we see as we -- in deploying
8 systems is around reliability of system. So when we
9 started deploying these systems from our ARRA grant, we
10 were contracting for these systems in 2011, 2012, started
11 deploying them a little bit after that. We found a real
12 lack of grid readiness of systems. Now, I'd say we've
13 had five years that we've progressed through this. We've
14 seen tremendous improvement. We've bought a number of
15 systems over the past few years. But we still don't see
16 universally good quality product particularly in the
17 integration side.

18 I think we have battery systems that work,
19 but the software integration and integration into the
20 grid which is another challenge on top of that is an area
21 we see still for further improvement. The value streams
22 that I talked about being able to see what they are and
23 be able to show that we can capture them and capture them
24 simultaneously. The challenge is also if you see five

1 value streams that are each worth 100 and some of them
2 take something that looks like simultaneous operation, or
3 maybe it is simultaneous operation, can you get 100
4 percent of all five, or can you get 95 percent of one and
5 93 percent of the other and 50 of the other? How does
6 that really work? How do we validate that?

7 And then I think the last is something that I
8 heard described in a lot of things that you're working on
9 in smart grid space is around communication and control.
10 And I know Susan mentioned that also. Communication and
11 control of all of these devices out on the system is
12 going to be crucial to be able to integrate them together
13 in a very rapid manner that's what storage can help do,
14 but they all have to work together effectively to make
15 that happen. So thank you for this opportunity, and I
16 look forward to the discussion of the rest of the panel.

17 MR. SHELTON: Okay. Thank you, Mark. And
18 thank you for the rest of the really great insights for
19 what we need to address and think about. I want to make
20 sure that I set clearly again the objective. And John
21 mentioned that we don't want foregone conclusions of a
22 high penetration of renewables or of storage. And I
23 think we -- I want to be clear again the purpose for
24 exploring this is precisely some of the things that John

1 has raised. If we find out that a high penetration of
2 storage for whatever -- however that occurred is going to
3 cause price formation issues, it's important that we've
4 explored the concept of having a lot of storage before
5 that happens. This is exactly the type of thing that we
6 want to explore in this -- in the high penetration of
7 energy storage paper. And it's meant to focus on the
8 latent benefits of such a world and also the latent
9 challenges of such a world. And that's the intention.
10 So in that spirit, we are going to do a little bit of a
11 round table session now for about 15, 20 minutes. And
12 then we'll open it up to the rest of the group as well.
13 So to continue the discussion, I had sent around a few
14 thoughts to the panelists beforehand just to encourage
15 some thinking on this. So I want to start with Ed.

16 I'll direct the first question to Ed. As an
17 instrument to support thinking about a high penetration
18 of energy storage, let's assume it's 2030 and there is a
19 high penetration of storage according to the industry at
20 the time. So at that time we think, wow, we have a lot
21 of storage on the grid in 2030. You as someone in the
22 past who has put out a number for California, for
23 instance, of the amount of storage California should be
24 taking seriously, what is a high penetration of storage?

1 Kind of on a percentage basis of peak power and energy,
2 what would that look like in your view? And I would say
3 anybody else can jump in after Ed.

4 MR. CAZALET: Now, I think -- since you
5 brought up California, let's talk about California. For
6 2030, the target for renewables is 50 percent. And there
7 have been studies done by E3 that show tremendous amounts
8 of over generation during significant portions of the
9 year that would be wasted energy that we'd somehow have
10 to buy more renewables to provide. So that would take,
11 just eye-balling it, say about -- using storage to
12 recover about half of that and about half of it from rate
13 reform and various other things, that would take about
14 ten gigawatts or about 20 percent of the peak for
15 storage, but it has to be storage of a duration of at
16 least six hours or eight hours according to E3. If you
17 just think about how much time the sun is up, you'd want
18 to store at least six or eight hours of that solar to be
19 cost effective.

20 MR. SHELTON: Does anybody else want to jump
21 in on that?

22 MS. KENNEDY: I would just say I would
23 measure it in terms of how much of the distribution
24 system can be -- or the upgrades can be replaced by

1 storage. In some of the studies I've seen on the
2 potential for cost effective deployment of volt VAR
3 optimization and conservation voltage reduction in any
4 given area, there's 30 to 40 percent of the feeders that
5 could cost effectively be mitigated with some kind of
6 demand response as opposed to expending money on
7 distribution upgrades. So I think if you look at -- I
8 think if 30 or 40 percent of those feeder lines can be
9 handled with storage, I think it would be enormous.

10 MR. SHELK: I wouldn't want to, as you
11 mentioned -- on the correct percentage. I think honestly
12 we'd prefer it to be market driven based on relative cost
13 and technology and the different uses. But I think again
14 to the price formation thing, I'm encouraged and
15 appreciate your comments about that because what's going
16 to happen is -- and this may happen anyway, by the way,
17 for other reasons that we can talk about, but certainly
18 in these high percentage of storage scenarios, capacity
19 markets are going to be becoming increasingly important.
20 And even as when I'm looking around the room the folks
21 that we've had many capacity market discussion on over
22 the years, they are not for the faint of heart. They are
23 fighting words in the great republic, I mean the State of
24 Texas where folks know, I think, about the battle there.

1 So if you're going to have a lot of storage, you're still
2 going to have -- pick the percentage. You're still going
3 to have the balance of the resources.

4 And in these competitive markets, unless
5 we're going to go back to the completely unregulated
6 model which is a whole other scenario, the capacity
7 market has become incredibly important, so I appreciate
8 your earlier comments because again it's easy to say,
9 okay, we'll do that. But as folks know in the present
10 day, they're very controversial, they're essential
11 particularly. And people forget, by the way, that a lot
12 of the attributes of some of these resources including
13 storage is that it shaves the peak, and people say that
14 forgoes the need for peakers. But people forget that
15 it's not only the peakers that are being compensated at
16 peak. Everybody is being compensated at peak. So if you
17 reduce the compensation at peak, and you're running less
18 often as may well happen with all of these things that
19 are happening and many of our members are pursuing them,
20 again at the end of the day you're going to have
21 resources that the compensation scheme is going to need
22 to change. So as you're changing all of these dials on
23 the system, higher storage, you're going to have to have
24 other compensation mechanisms primarily capacity markets.

1 MR. IRWIN: Chris, just one quick comment. I
2 think the -- I agree with my panelists. I don't have a
3 particular percentage. Although, I think Ed had one. I
4 think what's really important is what's it there for. I
5 think we -- Susan described California, Ed described
6 California, very high RPS. We're really after
7 eliminating all of that curtailment. We're after that
8 opportunity. I think nationwide it's going to differ
9 about what state policy is for renewables. I think
10 that's one. And it's also going to differ around what do
11 we have for zero or low incremental cost resources. The
12 more of those we have, the more the opportunity is to
13 recover and to have value and storage. The more we have
14 a common group of easily dispatchable resources that have
15 a larger incremental cost to them, I think the smaller
16 storage penetration. And so we'll see that. As we see
17 the capacity markets vary around the country, we see the
18 ancillary services market vary, we'll see the storage
19 penetration vary based on those issues too.

20 MR. SHELTON: So, Mark, I think that gets to
21 the next question. I mean, we've already thought of one
22 implication of having a significant amount of storage is
23 the price formation aspect and what that might mean in
24 terms of the structure of the market side. And you

1 mentioned in your presentation about the distribution
2 value streams. If you had a lot of storage in the
3 system, have you thought about the system wide? Are
4 there any system wide implications? If there were a
5 significant amount of storage dispatchable throughout the
6 system, are there sort of unexpected benefits and have
7 you all explored that, and how should that be explored, I
8 guess, if you have thoughts on that?

9 MR. IRWIN: So I guess when you think about
10 system wide benefits, I would say, first of all, this is
11 a question I'm thinking about on the fly about system
12 wide benefits, but I think that as you have these
13 communication control capabilities, which is really what
14 we're talking about, storage being a high speed resource
15 and being able to aggregate and understand and respond to
16 need whether that's a market price signal need or whether
17 that's a reliability need, we have to have the speed of
18 resource to supply. I think broader storage deployment
19 will create more value opportunities. I think as I
20 mentioned in my talk, one of our biggest challenges today
21 is to really understand what that value proposition looks
22 like. And I think in the market space people have done a
23 good job. And I think the other thing that will happen
24 is we'll have to see -- as we see these opportunities and

1 these value-op propositions, we'll have to see where does
2 that leave for market? You know, how much of that device
3 is going to be in market? But in this broad deployment
4 of storage, is there some unique opportunity? I think
5 that's not something we've kind of explored, or I would
6 say discovered yet. We're certainly in kind of a step
7 process, and I think we're trying to step through it as
8 fast as we can, but I don't think we're there yet.

9 MR. SHELTON: Are there any other derivative
10 benefits or impacts that anyone else has explored? I
11 know, Ed, you've talked about the transactive energy
12 side. Or Susan, have you started to look at the system
13 wide aspects in terms of reliability planning?

14 MR. CAZALET: So I think when we get to 2030
15 in states like California or particularly Hawaii which is
16 the target of 100 percent renewables, things look very
17 different. Price formation is on the customer side in
18 variance load and usage. There's no generation to
19 dispatch. So what's the marginal cost? There is no way
20 to calculate marginal cost. So you have a very different
21 market. Capacity markets won't exist. They'll be
22 replaced by forward markets for energy. In other words,
23 customers buy and own storage and renewables or they
24 contract for it on a long-term basis. And the spot

1 markets are between customers saying, I've got excess,
2 does my neighbor want it? So you get a very different
3 price formation. And with these long-term contracts you
4 have the investment secured. So that creates quite a
5 different approach. And in this new form, I think you'll
6 find the regulatory compact is much less necessary. It's
7 highly decentralized, and you have a much more stable
8 investment system. Just think of what Solar City is
9 doing in terms of its solar and storage products. And
10 that's a model for how you contract with end users and
11 finance all kinds of resources. Very different from
12 today's utility centric model.

13 MR. SHELTON: So as a final question before I
14 ask you each to sort of wrap up your organized thoughts
15 here before we go on to additional questions, and maybe
16 this is best for Susan. How would we get to a state
17 where there is a lot of storage, a penetration of 20
18 percent let's say, as Ed threw out there? Who is in the
19 driver's seat, and is it evolutionary or more do we need
20 some type of action to be taken to make -- in such a
21 world, did an action need to be taken to make the high
22 penetration of renewables possible or high penetration of
23 storage?

24 MS. KENNEDY: That's sort of a

1 chicken-and-egg question. I mean, I think it's
2 evolutionary in that -- I'm just using my experience as
3 an example. I had to go to the utility a year before
4 they even did their procurement in order to talk about
5 what a hybrid product would look like. That was both
6 demand response and generation because they had to think
7 well in advance how they would even set the RFP
8 parameters to be able to buy it. So there was a lot of
9 forethought into what they were going to do with the
10 asset far removed from the policy debate agent what you'd
11 like to see. So in that respect, they actually moved the
12 market by actively buying something that wasn't fully
13 baked. So they're moving the market that way. So that
14 way, I think it's evolutionary. Did they do it because
15 there was a pressure from the regulators on a mandate? I
16 think there's a thumb on the scale. They bought five
17 times what they had to buy in terms of storage because
18 they saw products that actually could -- they could use
19 in their system. They were given the flexibility to do
20 that. So I think it's a chicken-and-egg, but it will be
21 evolutionary based upon need. If they don't need it,
22 they won't buy it, or it's a dead end.

23 MR. SHELTON: Right. So to translate, to get
24 to any scenario that had such a high penetration of

1 storage, it would have had to have met -- clearly have
2 met needs?

3 MS. KENNEDY: Some need.

4 MR. SHELTON: And that could happen in the
5 existing system, or we need some type of transformative
6 change to really get the full benefit?

7 MS. KENNEDY: I think the market will -- the
8 market rules have to change.

9 MR. SHELTON: Right.

10 MS. KENNEDY: Right now all the market rules
11 dictate. They're buying things they don't need.

12 MR. SHELTON: Okay. So I want each of you to
13 chime in to the degree that you like. What we're trying
14 to do with the high penetration of energy storage paper
15 is collect thoughts about what should be explored today
16 in the analysis. And John brought up price formation.
17 Obviously we've mentioned a couple of others here. But
18 if you were trying to direct that analysis, what do you
19 think we need to focus on the most sort of to wrap it up?
20 And you all have mentioned some of these in your previous
21 remarks, but I wanted to give you one last input here.

22 MR. CAZALET: I think retail terrors, you can
23 call that price formation of the retail level which is
24 where prices as I mentioned are going to be formed

1 because that's where most of the transactions occur in
2 the future much less so the whole sale level. And then
3 what's the interface to existing wholesale markets as
4 that changes? What's the interface to the distribution
5 grid that fits in with this framework? As I mentioned,
6 you can have one that's an ISO for the distribution grid,
7 but you can also have one that's much more transactive in
8 the sense that the distribution operator acts as it does
9 today and customers buy and sell from the distribution
10 operator for transport, but they interact directly with
11 the interface to the wholesale grid for energy. Very
12 different and much simpler and much more effective way to
13 design the platforms for California and New York or
14 Hawaii in my opinion. Research on that would be helpful.

15 MR. SHELTON: Susan?

16 MS. KENNEDY: I would say the lowest hanging
17 fruit is rate design. But it also needs to assume a
18 fixed -- somewhat of a fixed charge for utilities for the
19 -- to pay for the distribution system.

20 MR. SHELK: Can I just echo the thought that
21 this should be evolutionary? It won't be revolutionary
22 otherwise. Frankly, it would likely backfire as we've
23 seen other examples. I have a great deal of respect for
24 what California is doing. I lived there for a brief

1 time. And New York and Hawaii. But we have 47 other
2 states that have different opinions, and I think it's
3 important to keep those choices in mind. This will
4 continue to be a state-by-state industry in terms of
5 those kind of choices. So I just -- I started talking
6 about the vintage EPSA. And I do remember being actually
7 here in 1978 when we thought we knew gas was something --
8 as a senator once said, it was like using good bourbon to
9 brush your teeth, so congress banned it.

10 I started this job ten years ago, 150 coal
11 plants were on the drawing boards. We went through the
12 nuclear Renaissance, so I don't want to come across as
13 the lightweight here, but the point is that we think we
14 know enough to know what's going to happen and what's
15 needed. And we often find out we're wrong and people
16 that try to push it too fast too far end up losing the
17 tortoise and the hare race. So it may sound
18 counterintuitive to those who want storage, but I think
19 the past history is be reasonable, be evolutionary, be
20 comprehensive in the effects. And in 2030 or 2025,
21 you'll have more storage wisely whether it's 10 percent
22 or 50 percent or whatever as opposed to really trying to
23 push it and assuming that every state and every region
24 needs the same amount.

1 MR. SHELTON: So can I ask a follow-up on
2 that? So what does -- in terms of directing a
3 recommendation to DOE, what form would that -- your
4 comments there take? Is it maybe that it needs to be
5 recognized that it's regional or that it -- you know, on
6 the comprehensive side?

7 MR. SHELK: All kidding aside, I'm the lawyer
8 not the physicist and the market designer, and seriously
9 I think folks are aware -- if you haven't seen it, there
10 are papers now out there. As I said, the Harvard paper
11 just came out. There's another paper from the American
12 Chemical Society or published by them through some other
13 authors. Severin Borenstein and James Bushnell have a
14 working paper at the [highcol] in California at Berkeley
15 on 20 years of restructuring. They're touching on these
16 issues. So there are people around this table and around
17 the country far wiser and brighter than I am. I'm just
18 simply making the plea to include them in the discussion
19 to make sure you're looking at it comprehensively. And I
20 like your approach of saying it's going to be different
21 in different states or you will inevitably get a push
22 back that will detour you if not deter you or deter the
23 country. So I think DEO is well-equipped to do this.
24 They've done it before. They've got the right people to

1 do it. I'm just hoping that -- and I'm reassured by the
2 conversation today that it will be a comprehensive view.

3 MR. SHELTON: Yes. Mark?

4 MR. IRWIN: Thanks, Chris. I think a couple
5 of things. First of all, I agree with my colleagues that
6 it will be evolutionary rather than revolutionary, but
7 the evolution is being led by a number of states,
8 California, Hawaii and New York pointed out as I think
9 really important ones. And I think the other thing is it
10 will be in all of the above strategy. And when I say all
11 of the above, there will be behind the meter customer
12 activities in storage. There will be market only
13 activities in storage. And there will be grid or grid
14 and market activities. And I think each of those creates
15 a research opportunity for DOE. I think the customer
16 side and the rate side and rate design in getting the
17 right rate design so we get the right price signals to be
18 able to respond to demand response as an example. The
19 right price signals for energy efficiency. Storage can
20 help with those. I think on the market side to be able
21 to make sure we get market value of all of the different
22 pieces and transparency and trade it in the wholesale
23 markets. And I think on the distribution side, and I'd
24 say not even distribution but on the grid side is to

1 really spend some time and effort on figuring out how to
2 monetize all of those benefits for the distribution side.
3 And I think the success of storage will be all of the
4 above is to find out what are the most successful, let
5 them compete against each other, let's figure out which
6 is the best economically. And it will be different in
7 different markets. It will be different with different
8 customers. So I think providing that opportunity really
9 will be the key to this high penetration success in the
10 future.

11 MR. SHELTON: Okay. Great. With that, we
12 are about one hour in. We had -- an hour and a half. So
13 I would like to turn it over to Richard to help us find
14 out where the questions are coming from, and we'll open
15 it up to the broader group.

16 MR. COWART: All right. Questions and
17 comments. I try to keep track of when people's cards go
18 up, but I apologize in advance if I take you out of
19 order. It looks like -- I'm sorry.

20 MR. SHELTON: Three over here.

21 MR. COWART: Yeah, I've got three over here,
22 right. It looks like Ramteen was probably first.

23 MR. SIOSHANSI: Okay. So I think Merwin is
24 actually before me, but I'll go out of turn. Ed, I'm

1 curious about two aspects of your vision. One is that to
2 that broadly over generalize, the U.S. has gone -- the
3 organized markets in the U.S. have gone away from simple
4 markets and decentralized coordination to -- centralized
5 coordination. And some people would argue that there are
6 physical realities, nonconvexities, nonlinearities that
7 can't be ignored, can't be repealed, so you need
8 centralized coordination. So how does that sort of jive
9 with your vision of market and price design, and is it a
10 nonstarter in the U.S. and where we've gone over the past
11 20 years?

12 MR. CAZALET: I'll address your question, and
13 we can have a deeper discussion. Perhaps the research
14 could address that issue. But the physical limits -- and
15 what I'm proposing would observe the physical limits of
16 the market, you know the transmission, the congress laws,
17 all of that sort of thing. Just because you -- you're
18 still going to have the same power flow models in what
19 I'm proposing. Instead of centrally dispatching
20 generation and storage and transmission simultaneously,
21 you do it more incrementally. In other words, you use
22 the dispatch to suggest the prices you pay for
23 transmission from point to point as opposed to using --
24 centrally dispatching both generation and storage because

1 we have to be able to bring the rest of the market into
2 this dispatch which is all of the distributed energy
3 resources and all of the end customers. Unless you have
4 a reportable process, you're going to not achieve the
5 full value. So I think you can make an incremental
6 interface to the existing markets that will enable you to
7 do what I'm proposing.

8 MR. COWART: Merwin?

9 MR. BROWN: Merwin Brown, University of
10 California. I'd like to see if I have the correct
11 impression from the panel. My impression is that the
12 high penetration of energy storage is going to be
13 primarily a distribution phenomena not much in the
14 transmission level area with big storage like compressed
15 air, pump tide row, or even large battery systems. Is
16 that a true perception? If it's not a true perception
17 then how might you characterize it's going to look?
18 We've been using 2030 as an example down the road of will
19 it be mostly distribution, mostly transmission, or some
20 kind of even mix? What would it look like in other
21 words?

22 MR. IRWIN: So I think at least from my
23 perspective when I talked before I think there's three
24 types of systems. I think when you're behind a customer

1 meter it's a small system, it's fitting that customer's
2 need. When you're on the distribution system, it's still
3 a fairly relatively small system. It's a few hours. It
4 could be three or four, five hours of storage, but it's
5 still again a few megawatts, three four, two megawatts.
6 I think when you're on the market facing system that's
7 really there for market facing, you will absolutely see
8 people building to economies of scale. You'll see --
9 when you're chasing that market only opportunity, you've
10 got to get economy to scale, and you got to get fast
11 response. Whether that in the end will drive compressed
12 air storage and other things I think is still up in the
13 air. I think those technologies are trying to come
14 forward at different price points to be able to do that.
15 I think we also need to see a market demand for that
16 larger -- longer duration system. I think Ed described
17 some studies he had seen that drives for six to eight
18 hours of storage. Six to eight hours of storage
19 generally is driving away from shaving a distribution
20 peak. It's really driving to a market only type of
21 application or a market driven application. So that's
22 when those bigger systems, at least from what I've seen
23 and from what we've experienced, that's when you're more
24 likely to encounter them.

1 MR. CAZALET: In fact, generally I agree. I
2 think no matter where you put storage on the grid it can
3 provide a lot of different services. But if you put it
4 closer to the load, you can provide more services. So
5 six hours of storage on the distribution grid can provide
6 local services as well as integration of renewables. I
7 think one of the things that's going to drive the
8 location size of storage is the quest for resiliency via
9 microgrids. And I don't think we need too many more
10 events on the east coast or different events across the
11 country where the customers are going to be demanding
12 resiliency in their grid and storage is an essential
13 element of that. And we want to put the storage where it
14 can also produce that value for customers.

15 MS. KENNEDY: I would agree. While there are
16 values associated with very large transmission levels,
17 storage is a 20 megawatt pumped hydro is -- the
18 locational constraints on where that is located makes it
19 very little different from a 20 megawatt peaker plant.
20 And so I think the locational value increases
21 dramatically the closer you get to the load itself.

22 MR. SHELK: A quick point I'd make is that
23 even if it's -- as I think you've heard from those who
24 know this better at the distribution, obviously you're

1 going to have wholesale of market effects for the reason
2 that your prior presenter talked about what happens when
3 loads are shaved at the peak and that sort of thing. So
4 even though it's physically at the distribution level,
5 you're still going to have to look at the wholesale
6 effects.

7 MR. SHELTON: We got quite a backlog of
8 questions.

9 MS. PRAMAGGIORE: Do you want me to follow-up
10 on this?

11 MR. COWART: Yes.

12 MS. PRAMAGGIORE: Mine is a follow-up just on
13 this question. Could I jump the line? Is it really
14 empirically settled whether the value proposition is
15 highest at the distribution system versus at the
16 wholesale? I mean, I can really see situations where you
17 would want an arbitrage between both of those, and I bet
18 we don't know that. And maybe that would be something
19 DOE could look at.

20 MR. IRWIN: So I think from our perspective,
21 the distribution system has opportunities for value.
22 What it has in, in fact, our urban smart grid project, we
23 looked at distribution located all the way down to the
24 last transformer before the customer, so eight customers

1 off of a storage device way down there with the
2 hypothesis that that was the biggest value to chase. The
3 other side of it is, the diseconomies of scale of smaller
4 deployment. And so I don't think we think it's a fact at
5 this point. I think we're trying to look at on the
6 distribution system what are those value streams, what --
7 do we chase them, what did it look like? In a high DER
8 environment that's driven by the distribution system then
9 you're going to have more distribution upgrades to build
10 and more opportunities to shave that peak whether it's
11 with the distributed energy resources or DER plus storage
12 to kind of shape that into the right shape with the load
13 there. I think that's still yet to come. And I think
14 that is an area that's ripe for consideration.

15 MR. CAZALET: I think in the ideal world it's
16 pretty clear to me that the value is highest in the
17 distribution grid, say, at least the substations. But
18 the problem is our markets are so screwed up. You got
19 distribution operators. You've got transmission
20 operators. You've got different ways of recovering
21 costs. You got different modes of dispatch. It's all so
22 screwed up that I don't think we're going to -- it's
23 going to make a difference if you had to put in a storage
24 plant today, you'd have to work through all of those just

1 as Susan is and say, okay, if I put it on the
2 distribution grid, can I get any benefits from the
3 California ISO or vice versa? It's a mess.

4 MS. KENNEDY: I will say that the value at
5 the wholesale level is probably a little bit more known
6 today. Whereas the value at the distribution level,
7 there's so many unknowns. It's the greatest untapped
8 potential because we haven't figured out -- we haven't
9 yet crystallized how to extract those values. So I would
10 say it's not -- it's the greatest untapped potential at
11 the distribution level.

12 MR. SHELK: But I think to the question, I
13 think you're exactly right. That scenario should be
14 examined because at least as I've heard people talk about
15 the subject and you hear analysts -- this is something
16 that Wall Street analysts are starting to do conference
17 calls about. So when that happens, you know people are
18 looking for fun and the opportunity -- and my impression
19 thus far is, as I think folks widely know, the limited
20 charging and discharging of the batteries limits the
21 potential. But if there's some breakthrough from some
22 smart person in a garage somewhere working on it today
23 that we suddenly have the ability to overcome that
24 obstacle then that scenario should be examined because

1 that could very well be the 2025, 2030 world that might
2 emerge, so it should be examined for sure.

3 MR. COWART: Paul.

4 MR. CENTOTELLA: I want to follow-up on a
5 couple of the price formation questions that -- this is
6 Paul Centotella. Follow-up on a couple of the price
7 formation questions. One is taking pricing down within
8 the distribution system, and whether or not you see
9 differences in value depending upon where you are in
10 distribution. And clearly there could be some in terms
11 of VAR support. There could be some in terms of marginal
12 losses. There may be other values. And what kinds of
13 things and how should DOE go about looking at that,
14 Number 1? And Number 2, I want to push back on John just
15 a little bit with his supposition about the importance of
16 capacity markets because it occurs to me that storage is
17 disproportionately benefited in capacity markets since it
18 provides capacity without necessarily providing energy
19 and wondering whether or not we shouldn't be looking at
20 what happens in a high storage situation where you have
21 flatter and less volatile peaks and what that means in
22 terms of the ability to support resources.

23 MR. SHELK: On the second one, I think that
24 should be examined as well. I mean, I think maybe I was

1 looking at it too statically, but I think right now what
2 I've heard and read in memos from the discussion we had
3 at the annual meeting from outside folks was that as you
4 all know and I know you know this well, others do, that
5 you've got resources like a base load plant that their
6 primary source of revenue is the energy market. So the
7 assumption -- and of course as soon as you use that word
8 we should all be careful whenever we ever use it. But if
9 the assumption is that you're going to reduce those
10 prices that these resources are depending on then the
11 logical place to make it up is in the capacity market.
12 It may be that as we -- and the department and you all
13 get into the various multiple level of effects what
14 you're talking about could happen, and it may very well
15 flatten it out. And I'm not saying exclude those
16 scenarios. I think every scenario should be looked at
17 that's reasonable, otherwise, we're going to miss
18 something that might come down the road.

19 I'm just trying to make the appeal, and maybe
20 it was unnecessary to make it as strongly as I did but to
21 make the appeal that as you all are looking at this be
22 mindful of what's going on at 888 First Street and
23 elsewhere in the department on this broader topic because
24 while we all want to get to 2030, I hope not to be

1 starting to be a fossil fuel by 2030, we have to get to
2 2030. And what I worry about notwithstanding all the
3 good intentions of a report having spent half my career
4 up on the hill is that a report like this gets waved
5 around, it's the headline of, we can have 90 percent fill
6 in the blank by tomorrow and all the caveats and all the
7 discussion in the report gets lost. And maybe I'm
8 ultra-sensitive on the day when the committee is meeting
9 in 45 minutes to start work on the energy bill. And if a
10 report like that existed today saying we could do 50
11 percent storage notwithstanding any of these nuances and
12 considerations I would stake my career on an amendment
13 being offered to mandate it or support it with subsidies
14 or some such so. I wish congress were as wise as the
15 folks in this room, but I'll just leave that statement as
16 it stands, and you can draw your own conclusions.

17 MR. IRWIN: And to respond to the first part
18 of Paul's question about the distribution values being
19 very locational specific is absolutely correct. And I
20 think the challenge will be, first of all, once we can
21 see what that value look likes in different places, and
22 we can actually try it out then we'll see that valuation,
23 and then we'll want people to compete to supply that
24 product and whether that's in a market based competition

1 with market only resource, market driven resource,
2 whether it's customer sited device, whether it's utility
3 device, we'll want to see how we compete to keep the cost
4 as cost effective for our rate pairs. It's possible, but
5 we first have to be able to unlock that value and then
6 see -- we're working on planning tools and other things
7 to be able to plan this much more complex distribution
8 system in the future and be able to figure out those
9 values and unlock them and then go out and acquire the
10 asset to do that.

11 MR. COWART: Carlos.

12 MR. COE: One thing that kind of surprised me
13 in this discussion, I wanted to say this question and get
14 your reaction to it. Do you think energy storage is at
15 or beyond the tipping point where you think the
16 deployment of this is a foregone conclusion?

17 MR. CAZALET: In certain locations, yes.

18 MR. SHELK: I hate to be the skunk at the
19 garden party. If you look at least what the energy
20 storage association itself is saying on a recent UBS
21 analyst call and other projections, there's going to be
22 storage to be sure, but the headline again was 46 percent
23 annual growth rate for the next ten years, but it's still
24 gotten into the hundreds maybe over a thousand megawatts

1 deployed in a system of, what, 900,000 megawatts. So I
2 think it's going to continue. At what rate? I can't
3 predict and wouldn't hazard to guess. But at least from
4 what I'm hearing and reading from folks on Wall Street
5 that are looking at this, it's not going to be -- I think
6 one of the headlines said it best. It said the storage
7 conversation begins, emphasis on begins, and I wouldn't
8 say it's preordained one way or the other. Now, it's out
9 of the money most of the time depending on the location
10 and the uses that you're hearing about today.

11 MS. KENNEDY: And I would just from the
12 perspective of a company that's focused on the end users,
13 the appetite is enormous and the costs are just coming
14 down to commercially reasonable pay-back periods where
15 the benefits are palpable. I mean, the resiliency alone
16 is a huge benefit to installing storage. And we're
17 analyzing more than a thousand megawatts of load data
18 today. And I mean, they're knocking on our door trying
19 to find ways they can install it. The appetite is there.

20 MR. IRWIN: I think from our -- at least from
21 my perspective, it's fair to say that certain
22 applications are at a tipping point. I think that number
23 of applications is still much more limited than we'd like
24 to see. The work DOE has done on price forecast of

1 energy storage has been very helpful for people around
2 setting targets and thinking about that. I think as we
3 think about setting targets for that tipping point, I
4 think from my perspective, wide deployment, we're not at
5 that tipping point. We believe we'll be there. Will we
6 be there in two years? We think it's not likely. Will
7 we be there in five? It's maybe. Will we be there in
8 seven? It's more likely. But I think it has to do with
9 where does research go on cost and where does research go
10 on value. So a lot of the things we've talked about
11 today have been value. We haven't talked about the cost
12 side, but there's still great work to be done, and we're
13 seeing that supported by the DOE and by also capital
14 investment and adventure capital. And we think there's
15 great promise there, but that's what we think will really
16 take for a true tipping point where a lot more
17 applications tip positive.

18 MR. COWART: Now I have Gordon and Jeff.

19 MR. VAN WELIE: Chris, first of all,
20 congratulations, great panel. I'm really enjoying the
21 debate. I have a question here for Ed and the panel at
22 large. It was Ed's discussion on transactive energy
23 model that sort of stimulated this. And it occurs to me
24 that we already have a very well-functioning transactive

1 energy market model operating in the United States that
2 has many of the attributes that you described. So most
3 of the infrastructure is built on a forward contracting
4 model, the operations are coordinated via actions in the
5 spot markets, and it has a very high penetration of
6 storage. So you naturally may be asking what is this
7 energy system? It's called the natural gas industry.
8 And I've learned a lot about the natural gas industry
9 unfortunately in the last ten years. And the reason that
10 this system works quite well is that the system operator
11 can cut you off if you haven't contracted on a forward
12 basis, on an end-to-end basis in terms of the molecules
13 and the transportation to get to your burner. And so I'm
14 curious about your view of whether policy makers and
15 regulators would allow the electric industry to have the
16 system operators cut all people who haven't contracted.
17 Because I think there's a very different construct in the
18 electric industry where eventually policy makers and
19 starting with the most recent Energy Policy Act of 2005
20 declaring folks to be the overseer, over liability, and
21 so forth after the big blackout in 2003 eventually said
22 the grid has to serve the load. And the grid has to be
23 built out to meet the peak demand on the load. So
24 there's a very different construct there, and I'm curious

1 as to your thoughts on whether policy makers will ever
2 let go on electric system reliability in order for you to
3 reach the transactive energy model.

4 MR. CAZALET: Well, it's getting very
5 complicated. I think you described a lot of what goes on
6 in gas markets as being transactive, but that was at the
7 wholesale level. I don't know that anybody is cutting
8 out gas supply to residences right now. But the idea
9 here is that when you've got people who can put in their
10 own storage, put in their own PV, they're taking on much
11 of their own reliability and resiliency responsibility,
12 so should we be -- we should feel free to cut them off, I
13 would think, because they've chosen essentially to leave
14 the grid, and they shouldn't feel obligated to pay for as
15 much of the grid until they're going to take care of it,
16 use it. So if you've got a lot -- customers are making
17 forward contracts either buying their own systems or
18 forwarding contracting with third parties then their
19 basic needs ought to be provided. If you've got people
20 who don't have the means to do that, we can have special
21 programs for that. But once you've got those forward
22 contracts in place then you can allow the spot market to
23 do the allocation of scarcity. So when the prices get
24 very high, nobody's hurting, everybody's got the

1 opportunity to conserve and sell to their neighbors at a
2 very high price above what their basic needs which
3 already have been contracted for them.

4 MR. VAN WELIE: Ed, I guess just a quick
5 follow-up. I think the problem is for those consumers
6 that are chosen to disconnect from the grid, I think it's
7 fine. They've made their choice. I think the problem,
8 and this sort of connects back to the price formation
9 problem, is that most consumers, I think, are looking at
10 partially self-supplying, so they don't have the ability
11 to completely disconnect. They are looking to
12 essentially arbitrage between their own generation
13 locally and the wholesale market, and they are given the
14 right by the regulator to connect to the grid whenever
15 they want and draw their energy that they need. And so
16 that then leads to the requirement to pay for not only
17 the wire but everything attached to the wire. And I
18 think that's the problem.

19 MR. CAZALET: So I understand the questions
20 you're raising. This would be a good thing for the
21 committee to delve into.

22 MR. MORRIS: Great. Thank you. Jeff Morris
23 from Washington State. And I have a question for Mark
24 and maybe Susan then, a 1A question for Susan. During

1 the last presentation on grid modernization, I thought it
2 had kind of transcending itself to your presentation,
3 Mark, which is you're talking a lot at the analytics
4 around DER planning. And I'm a huge DER supporter and
5 push it wherever I can go. But the question I have is
6 I'm kind of taking some of my life science hats I wear in
7 different venues. When they had the advent of the basing
8 algorithms with software and advanced processors, they
9 immediately went to a bunch of P words. And we tend to
10 operate in our words. And I'm going to use the surfing
11 analogy since you're both from California. The R words,
12 resiliency, reactive, are all in the back of the wave so
13 to speak. And DER kind of puts you on top of the wave.
14 But it seems to me what we're missing are the P words
15 which are the ones that these new tools, if we push them
16 out, these basing algorithms to give you more predictive
17 viewability of what your customers are doing allowing you
18 to be more preventive as opposed to reactive, it might be
19 a longer range tool we should be focusing on as opposed
20 to the R words. So can you comment on that a little bit?

21 MR. IRWIN: So I think that in the planning
22 tool space generally I think the predictive analytics is
23 absolutely a place we're spending a lot of time, and I
24 think that's another place that's really valuable for

1 research. The question is at the end of the day is
2 what's the balance between the customer demand and the
3 capability of that part of the system to supply, and do
4 we balance it with demand response as an example? It's a
5 great easier balancing tool. Do we balance it with DER?
6 Do we balance it with storage? And I think the question
7 is on every circuit being able to understand what that
8 imbalance looks like, being able to have a resource
9 portfolio that fits it, and then being able to create a
10 response process to do that. But it all starts with
11 what's the match look like and what does the distribution
12 system capability look like? So it starts there, it goes
13 through then what are the resources, and then do we run
14 into a system constraint. Because obviously even if
15 there's a mismatch on that circuit and that circuit has
16 the ability to import or export to match it, we're still
17 okay. Right? So I think those planning tools are going
18 to be what really drives, and that brings one piece
19 together. The other side is the communication and
20 control and fast response of demand and generation
21 resources and storage resources. So those are all
22 critical places for research and work.

23 MR. MORRIS: Great. Thanks. Susan, just
24 before you go into that, my second question for you is

1 you talked about the lack of aggregators and the DER
2 space. And to me, it's always an area that's lacking its
3 project developers to bring some of these projects
4 because people want shared risk. Can you elaborate about
5 your vision about what those aggregators would look like
6 and who they might be and who would have ownership in
7 developing them?

8 MS. KENNEDY: I'm going to give you my card
9 as soon as we're done here. First of all, I just want to
10 comment on what you raise. I think it's incredibly
11 important that we focus on the analytics on how one would
12 use storage whether you're at the utility or at the
13 distribution level or end use customer. Without the
14 ability to design it around your specific needs, it's
15 just a very expensive energy efficiency tool. But our
16 rate design is almost singularly focused on influencing
17 customer behavior. So storage behind the meter simply
18 gives them the ability to shape their load, the utility
19 tariff to respond to whatever the utility rate design is
20 telling them to do. So I think having the analytics
21 around the building load management and the predictive
22 capability and how they'll use it is incredibly important
23 to make the market function. I think -- we think like
24 pioneers in this space. There aren't a lot of developers

1 for behind the meter projects like ours, and we're having
2 to spend a lot of time cutting the path on designing how
3 do you measure and settle for these types of resources
4 behind the meter. I have contracts today where it's
5 absolutely unclear how you -- I don't even know what the
6 telemetry requirements are for the projects we're
7 developing today. Because they're still waiting for
8 answers in terms of from the CAISO on how they're going
9 to view it as how it's going to be bid into the wholesale
10 market or how the PUC is going to see it. So we are -- I
11 think when you get projects that come online, and
12 developers like us, and I think -- again, I'm giving
13 Edison a lot of credit for going as far out on a limb as
14 they have. When these projects start to come online, you
15 will see them replicate at a geometric rate. But some of
16 these issues have to be solved today. And then you'll
17 see, I think, aggregators. There's a lot of -- I think
18 aggregators are a key, key group that will be able to
19 figure out how to extract multiple benefits on one side
20 of the meter and multiple benefits on the other side of
21 the meter. That's a developer role in my view.

22 MR. COWART: Thank you. Janice?

23 MS. LIN: Just to build on that, your
24 comment, Susan, I think that that's a role that DOE can

1 certainly assist with exploring some of the nuts and
2 bolts of how do we get these systems deployed? What does
3 metering the telemetry look like? And once we figure
4 that out and make it doable in a particular jurisdiction
5 then to extract out what's the framework, the approach
6 and the best practices that maybe other locations can
7 borrow from, so you don't have to reinvent the wheel in
8 every corner of the country. But actually my question is
9 for Chris. It's a process question. This is in the
10 spirit of being a new person and maybe wanting to
11 volunteer and help out more. But my question is what is
12 the goal of this working group? And I completely agree
13 with many of the points made that it should not be to
14 presuppose that high penetration is a good thing. Though
15 at the same time at least in the work that I've done in
16 California and elsewhere, one of the frustrating things
17 is we have this system as it's been designed and built
18 and operated for like 100 years, and so often the
19 question of where do you put storage and how do you use
20 it, it's based on this status quo system that never
21 really contemplated the fact that you could
22 technologically have a lot of storage in the system and
23 use it for system wide benefit. So I wonder -- and so
24 it's the question about the goals and the approach of

1 maybe next steps.

2 And I also have a suggestion. So one goal
3 that this working group could take is to look at
4 scenarios. And some of the scenarios that I've heard
5 discussed are, is it going to be large and centralized,
6 is it going to be distributed, what is the mix, what does
7 this incremental evolutionary approach look like? Maybe
8 it could be a totally clean sheet of paper which says --
9 it's like if we just had a grid and designed it from
10 scratch and had a lot of storage comprehensively, what
11 would be the benefits and what would be the cost? Are
12 those chemical engineers really accurate in saying it
13 would make GHGs go wacky and be crazy? Or could it be --
14 could one of the outputs of this working group be a
15 methodology and a framework and an approach that can be
16 recycled and used to come up with the optimal amount of
17 storage? So these are all questions that I think no one
18 has really ever done before, and if that's something that
19 this working group undertook and then resulted in DOE
20 initiatives, that would be super, duper interesting. I
21 know it would certainly be helpful for California.

22 And then the final -- I had a scope question
23 and then related to the linkage. Would the scope include
24 the electrification of transportation? And secondly, how

1 would this link up to the earlier presentation, the
2 modern 21st century grid effort? And I'll stop there.
3 I'm so excited. Thanks.

4 MR. BROWN: -- (off mic) that in my
5 presentation.

6 MR. SHELTON: Okay. So Merwin will cover
7 that in his presentation. I think we have another
8 question. Janice, yes, is the answer. I don't know if
9 it was a question that could have a yes-no answer.

10 MR. COWART: Janice, the answer to your other
11 question is yes, we welcome you as a volunteer.
12 Congratulations.

13 MR. SHELTON: I forgot to lock that one down.
14 Sorry about that. We are approaching it through a
15 scenario basis. I would say the temptation always on the
16 AC papers is to sort of do the work so we're not actually
17 doing the work, we're exploring the work that can be done
18 so that needs to be the bias but that -- exactly.
19 Because what we're trying to do is form a list of things
20 properly scoped that DOE should consider doing. Right?

21 MR. COWART: Anjan, you're next.

22 MR. BOSE: In all of these storage
23 discussions, it always comes up that we -- if only the
24 market can be fixed we can get better penetration and

1 usage of the batteries. But I was wondering, if the
2 market is not fixed -- I come from an area of the country
3 where there's no organized markets, but even more than
4 that I think -- I can think of many, many states where
5 it's going to be a long time before there's an arbitrage
6 in the distribution system. You are going to have retail
7 type markets. So if the value of storage is in the
8 distribution systems then I was wondering if under the
9 present circumstances if there are already scenarios
10 where there's a value to the utility for putting in
11 storage systems. And I sort of heard Mark Irwin kind of
12 hint that there is already. I mean, what I'm coming from
13 is that most distribution companies are going to be in
14 their stage where they're mandated to serve the customers
15 whether they have DERs or not. And are there systems
16 where you can defer upgrades and so on by putting in
17 storage devices?

18 MR. IRWIN: So my earlier comment to the
19 question about the tipping point I think is really the
20 issue. I think there is value. The biggest value we
21 find particularly in a very urban utility is we have a
22 lot of underground systems. And when we're having to do
23 a lot of civil work particularly locations where we see a
24 freeway crossing or something like that that's new, or

1 we're impacting a lot of underground structures, we have
2 a very expensive upgrade. Storage is still relatively
3 expensive. We've got opportunities to defer. Do we have
4 opportunities to cost effective defer? I'd say that
5 would be very unusual. I think we see with where we see
6 prices going and where we think it's likely for prices to
7 go. We think that that will expand. I think -- we did a
8 white paper in 2010 that said we thought it was going to
9 be economic for storage in 2020 to deploy on
10 distribution, and it would be reasonably prevalent. I
11 don't think we've necessarily changed that view. But we
12 do have a mandate in the state to do something, and that
13 mandate is to go do something that makes sense.

14 I think right now we see value streams we can
15 capture. Those value streams aren't sufficient by
16 themselves to justify the investment. If it's just on an
17 economic basis, we think there's other value
18 opportunities that we need to explore. And I think I
19 listed those earlier. And we believe that the cost of
20 storage is going to continue to come down dramatically.
21 And I think that whole coalescence is what we're still
22 driving for, and we can't wait to start to figure out the
23 value until storage comes down. We have to do it
24 simultaneously. And quite frankly, our state has

1 encouraged us to do that.

2 MR. CAZALET: So I think the issue, if you
3 don't have markets then it's up to the legislature to
4 create mandates, whether it's an RPS mandate or
5 resiliency mandate or a storage mandate or clean energy
6 mandate, to help guide the utilities. Because most of
7 their planning won't be able to take into account all of
8 the larger issues the legislating people would like to
9 consider.

10 MS. KENNEDY: I would say without a market
11 structure that allows the various attributes of an energy
12 storage system to be valued and paid for through market
13 forces, there is value but it's because the alternative
14 is so expensive. On the customer side of the meter, the
15 only place where it's cost effective is whether the
16 prices of energy are so steep or so painful for the
17 consumer that it's more cost effective to put in a
18 storage system. The same thing is for the utility. In
19 an area where they have incredibly expensive
20 alternatives, storage is going to be cost effective. So
21 the question is not is there value because there is
22 value. The question is, is it cost effective without a
23 market structure that incentivizes?

24 MR. COWART: Merwin, the last word is yours.

1 I pass.

2 MR. BROWN: Merwin Brown, University of
3 California. Some people say that energy storage is just
4 an alternative to solving problems on the grid. In other
5 words, it can replace a generator or replace demand
6 response or it's in competition with those. And so
7 that's one vision of it going forward. It's just an
8 option. Others have said that it's a paradigm shifter
9 technology because for the first time in the history of
10 the electric industry you can talk about now warehousing
11 the product in the delivery system, and so that has
12 consequences then ratifications that could be very
13 dramatic, change a lot of things. I guess the question
14 that I want to ask, do any of you have any thoughts on
15 looking into the future which role is energy storage
16 going to play? Will it reach high penetration with just
17 competing with the others that have been around, the
18 other solutions, or do you see a potential for it to be a
19 paradigm-shifting situation? And if it is, perhaps you
20 can tell me what that would look like.

21 MS. KENNEDY: My answer is storage is going
22 to do to the electric industry what storage did to the
23 telecommunications industry. It's going to completely
24 change it.

1 MR. SHELK: Of course, we don't deliver
2 electricity with individual phones that we get at the
3 Apple store, and that's -- this is an interconnected
4 system financially, physically, operationally, and so
5 while you can do with a small amount of batteries what we
6 all have in our pockets, this system is not quite -- at
7 least I would argue -- necessarily analogous to that.
8 Although, it may get to that point, but it's going to be
9 in a different way precisely because of the difference in
10 what we're delivering.

11 MR. CAZALET: In the industries including the
12 closely associated natural gas industry have been
13 fundamentally changed by storage where you have storage
14 both at the -- at both ends of the pipeline. And without
15 that, it would be a very different industry. And we're
16 now able to envision that for storage for electricity.

17 MR. IRWIN: So my response, Merwin, first of
18 all, I think in the near term often it's going to be a
19 choice. Right? I think that as we get better at
20 understanding the value proposition and the costs
21 continue to come down, we'll see wide deployment. And
22 that will be transformational in that the grid will have
23 a different set of capabilities. I think in states where
24 we have -- a lot of the policy issues we have in

1 California where we have a drive-to-drive carbon out of
2 the system, I think you'll see that transformation happen
3 sooner because there's a big policy support for that
4 transformation. We see the renewables out there. We
5 have to find a way to integrate them cleanly, so that
6 transformation will come. We're not yet, in my mind, to
7 the deployment today of transformational resources.
8 We've contracted for a number of resources. Susan has
9 talked about hers. We've contracted with others, with
10 actually Chris's company, AES. A lot of those resources
11 are out from 2016 through 2021. So they're out a few
12 years. So the contracting is transforming in the early
13 deployments that Susan's company has talked about are
14 transforming our ability to do that. But the big arrival
15 of resources is still a number of years away. So in the
16 meantime, we're going to see some incremental decisions,
17 but eventually transformation, I think, clearly will
18 occur.

19 MR. BROWN: If I may follow-up. Give us some
20 advice on how we should treat it in this committee for
21 the study we're doing. Should we look at it as a
22 transformational thing or just say it's for the time
23 frame we're talking about it's sort of just more energy
24 storage growing evolutionary but as a competing element

1 of other solutions?

2 MR. IRWIN: So the time frame Chris framed
3 was 2030. I didn't know what the time frame for 2030 in
4 our state of California. I think we will be
5 transformational in that window. I think that Hawaii --
6 I think Ed pointed out another place that clearly will be
7 transformational. I'm not as close to New York, but I've
8 certainly heard things about New York that would say
9 that. I think the question is what's state policy in
10 other places, and is it broadly transformational or is it
11 incremental in between? I think that's not clear to me.

12 MR. SHELTON: So I think in the interest of
13 time, we had a very thorough discussion, I appreciate all
14 of the questions from everyone on the committee. Please
15 join me in thanking the panelists and for taking all of
16 our questions and their great content that we started
17 with. So thank you.

18 (Applause.)

19 MR. COWART: Thanks, Chris. And thanks,
20 panelists. That was really terrific. We are going to
21 take a short break. I think the schedule that we handed
22 out has a ten-minute break. I think realistically we're
23 going to start back at 4 o'clock.

24 (Whereupon, the PROCEEDINGS were

1 adjourned.)

2 * * * * *

3

1 CERTIFICATE OF NOTARY PUBLIC

2 I, Carleton J. Anderson, III do hereby
3 certify that the forgoing electronic file when originally
4 transmitted was reduced to text at my direction; that
5 said transcript is a true record of the proceedings
6 therein referenced; that I am neither counsel for,
7 related to, nor employed by any of the parties to the
8 action in which these proceedings were taken; and,
9 furthermore, that I am neither a relative or employee of
10 any attorney or counsel employed by the parties hereto,
11 nor financially or otherwise interested in the outcome of
12 this action.

13

14 Carleton J. Anderson, III
15 (Signature and Seal on File)

16

17 Notary Public in and for the Commonwealth of
18 Virginia

19 Commission No. 351998.

20 Expires: November 30, 2016